

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION

BEFORE THE ATOMIC SAFETY & LICENSING BOARD

- - - - -x

In The Matter Of: :  
CAROLINA POWER & LIGHT COMPANY, :  
(Shearon Harris Nuclear Power :  
Plant) :

- - - - -x

Washington, D.C.

Thursday, October 14, 1999

Deposition of DAVID A. LOCHBAUM, called  
for examination, pursuant to notice, at 10:10 a.m.,  
at the offices of Shaw Pittman, 2300 N Street, NW,  
Third Floor, Washington, D.C., before Mario A.  
Rodriguez, a notary public in and for the District  
of Columbia, when were present on behalf of the  
respective parties:

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

## 1 APPEARANCES:

2 On behalf of Carolina Power &amp; Light

3 Company:

4 JOHN H. O'NEILL, JR., ESQ.

5 WILLIAM R. HOLLAWAY, ESQ.

6 Shaw Pittman

7 2300 N Street, NW

8 Washington, D.C. 20037

9 (202) 663-8000

10

11 On behalf of Nuclear Regulatory

12 Commission:

13 SUSAN L. UTTAL, ESQ.

14 U.S. Nuclear Regulatory Commission

15 Washington, D.C 20444

16 (301) 415-1582

17

18 On Behalf of the Board of Orange County

19 Commissioners:

20 DIANE CURRAN, ESQ.

21 Harmon, Curran, Spielberg &amp; Eisenberg, LLP

22 1726 M Street, NW

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1 Suite 600  
2 Washington, D.C.  
3 (202) 328-3500

4

5 ALSO PRESENT:

6 JAMES A. DAVIS, Materials Engineer  
7 KENNETH C. HECK, Operations Engineer  
8 U.S. Nuclear Regulatory Commission

9

10

11

12

13

14

15

16

17

18

19

20

21

22

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

## C O N T E N T S

1		
2	WITNESS	EXAMINATION
3	DAVID A. LOCHBAUM	
4	BY MR. O'NEILL	7
5		E X H I B I T S
6	NUMBER	IDENTIFIED
7	Lochbaum 1	15
8	Lochbaum 2	22
9	Lochbaum 3	23
10	Lochbaum 4	30
11	Lochbaum 5	50
12	Lochbaum 6	74
13	Lochbaum 7	91
14	Lochbaum 8	113
15	Lochbaum 9	118
16	Lochbaum 10	121
17	Lochbaum 11	129
18	Lochbaum 12	134
19	Lochbaum 13	141
20	Lochbaum 14	147
21	Lochbaum 15	167
22	Lochbaum 16	175

ANN RILEY & ASSOCIATES, LTD.  
 Court Reporters  
 1025 Connecticut Avenue, NW, Suite 1014  
 Washington, D.C. 20036  
 (202) 842-0034

1	Lochbaum 17	183
2	Lochbaum 18	195
3	Lochbaum 19	203
4	Lochbaum 20	210
5	Lochbaum 21	214
6	Lochbaum 22	231
7	Lochbaum 23	236
8	Lochbaum 24	238
9	Lochbaum 25	241
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

## P R O C E E D I N G S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

Whereupon,

DAVID LOCHBAUM,

a witness, was called for examination by counsel and, having been first duly sworn, was examined and testified as follows:

MR. O'NEILL: First instructions to the court reporter: To transcribe everything during the deposition except during breaks or mutual off-the-record discussions when nothing should be transcribed.

Interrupt when necessary to clear up any doubts about a question or an answer that you have since what you transcribe is what's important.

Please transcribe the attendances and the exists and entrances of any individual during the deposition.

And we've already introduced ourselves prior to going on the record and we note that you have all of the individuals for the record at the moment.

I'll ask you to mark all exhibits prior to

1 commencing an examination and we'll agree on a  
2 number.

3 And you might take a moment to explain to  
4 the witness the manner of transcription to make sure  
5 that he understands how this is being conducted.  
6 And you can go ahead and do that if you wish.

7 (Pause.)

8 EXAMINATION

9 BY MR. O'NEILL:

10 Q Mr. Lochbaum, you have been deposed  
11 before, have you not?

12 A Yes, I have.

13 Q Indeed you have been deposed by me before.

14 A Yes, I have.

15 Q Have you been deposed since the time that  
16 we were together for a deposition?

17 A No.

18 Q If at any time you want to take a break,  
19 please speak up and we'll do that.

20 If you don't understand something, please  
21 speak up and I'll clarify my question. If you do  
22 not ask for a clarification, then I will assume that

1 you understand the question and we'll go on with  
2 your answer that will reflect your response to the  
3 question.

4 I'm sure you realize that your answers  
5 must be truthful, and there are serious consequences  
6 if they are not.

7 You understand that?

8 A Yes, I do.

9 Q Mr. Lochbaum, before we started, you  
10 indicated that, responding to the notice of  
11 deposition in this case, that you had brought with  
12 you some documents. Would you be kind enough to  
13 explain what documents you've brought with you.

14 A I have the documents that were in the  
15 declaration that was filed or dated March of 1999  
16 that are not documents that are publicly available,  
17 the ones I accessed on the Internet, like the NRC  
18 information notices and what not.

19 What I do have are the ones that weren't  
20 commonly available, and those are the January 2nd,  
21 1981, NRC inspection report that's referenced in the  
22 declaration, the August 5th or 25th, the date's kind



1 of hard read there, 1981 NRC inspection report  
2 that's also referenced in the declaration; the  
3 August 13th, 1981, inspection report that's  
4 referenced in the declaration; the September 14th,  
5 1981, inspection report that's referenced in the  
6 declaration. And that's it.

7           These are not necessarily the complete  
8 inspection reports; portions of them are just  
9 dealing with long-term storage or quality control,  
10 and not in every case are they the full inspection  
11 report. They are just the portions I relied upon.

12           Q     You might give a copy of the stack to the  
13 staff as well.

14           A     I have three copies. I don't know who  
15 gets the three, but I have three complete sets.

16           Q     I'll take a copy and one for the staff.

17                     And if we make one an exhibit, we can give  
18 it to the court reporter.

19                     Mr. Lochbaum, the notice of deposition  
20 instructed that you produce at the time of the  
21 deposition documents upon which you have relied or  
22 intend to rely with respect to contention 3 and

1 which have not been previously produced to Carolina  
2 Power & Light Company by the board of commissions of  
3 Orange County.

4 A That's correct.

5 Q The documents that you have just described  
6 on the record are all of the documents that are  
7 responsive to that request; is that correct?

8 A The declaration referred to some  
9 information notices, NRC inspection manual chapters  
10 and so on. Those are available on the Internet and  
11 I did not have a hard copy. So those are relied  
12 upon as cited in the declaration, but I don't have  
13 hard copies to produce today.

14 Q Okay. Other than information that was  
15 cited in the declaration; is there any other  
16 information, any other documents, as that term is  
17 used broadly, which includes videotapes, electronic  
18 data or anything else, that you have relied upon or  
19 intend to rely upon with respect to contention 3 in  
20 this proceeding?

21 A Yes.

22 Q And what other information is there?

1           A     During discovery, we are getting some  
2     documentation from CP&L. Talking to counsel, Diane  
3     Curran, the understanding was we are not going to  
4     provide copies of stuff that we get from CP&L. So  
5     we intend to rely on that information or those  
6     documents, but we didn't produce them today under  
7     that understanding.

8           Q     Okay. Now, other than information which  
9     Carolina Power & Light Company has produced to the  
10    board of commissioners of Orange County, and I will  
11    use the acronym BCOC to save my voice, and the  
12    information which has been referenced in your  
13    declaration, some of which is produced here today,  
14    is there any other information upon which you have  
15    relied or intend to rely with respect to contention  
16    3 in this proceeding?

17          A     No.

18          Q     Mr. Lochbaum, when did you first become  
19    involved in any way in the spent fuel pool expansion  
20    at the Carolina Power & Light Company, Harris plant?

21          A     It was summer of 1998, June or July. I  
22    was contacted by a staffer on the -- I believe it

1 was the Chatham County Commission, and asked to  
2 attend the NRC meeting in Rockville between CP&L and  
3 the NRC staff to discuss the re-racking project.

4 I attended that conference, I believe it  
5 was in July. July 14th strikes a bell, but that --  
6 I don't have an exact date in July. But it was July  
7 of 1998 I attended that public meeting, provided  
8 comments back to the Chatham County staffer.

9 Q And how did you provide those comments?

10 A I believe it was either a fax or an  
11 e-mail.

12 Q Did you provide a copy of the fax or  
13 e-mail in the documents that were produced by BCOC?

14 A No, because I did not rely on them.

15 Q My question is; did you -- well, were  
16 those comments provided to Chatham County or to  
17 Orange County?

18 A Chatham County.

19 Q And those comments were with respect to  
20 this application that it was not yet filed by CP&L?

21 A It was well before the application, yes.

22 Q And do you have a copy of those comments

1 in your files?

2 A I don't know. I don't believe I do, but I  
3 don't know for a fact.

4 Q But in any event you're not relying on  
5 them in any way?

6 A No.

7 Q And they are not informing any facts that  
8 you're going to rely on in addition to your  
9 opinions?

10 A No, not at all.

11 Q Okay. Subsequent to attending the meeting  
12 in July of 1998 and in providing comments to Chatham  
13 County, what was your next involvement in the, at  
14 that time, nascent license application?

15 A Sometime earlier this year,  
16 January/February time frame, I was contacted about  
17 reviewing the application that was filed by CP&L to  
18 see if there was -- just to take a look at it and  
19 provide any comments or questions or whatever.

20 I believe I was contacted by -- I was  
21 either contacted by the Chatham County staffer or by  
22 Jim Warren of NC Warren. At the moment I can't

1 recall which -- who contacted me.

2 But in any event, I did review the  
3 application and was later contacted by Diane Curran  
4 about providing some commentary or declaration as to  
5 the concerns I raised or had.

6 Q And this you believe was in January of  
7 '99?

8 A January or February. I don't recall.

9 Q Do you recall any other involvement with  
10 the Harris spent fuel pool between July '98 and  
11 January/February '99?

12 A Yeah. Following the meeting in July,  
13 there were some issues -- as a member of the public  
14 going to an NRC public meeting, you're not allowed  
15 to say anything. It's observation only. So there  
16 were some concerns I had, sort of some questions I  
17 had in my mind that I couldn't ask. So I contacted  
18 the licensing man -- person who attended the July  
19 meeting for CP&L whose name escapes me right now.

20 I e-mailed him because that had been on  
21 the sign-up list with -- saying I had some concerns.  
22 I would like to give CP&L the chance to address them

1 first.

2 And that individual arranged for a telecon  
3 -- well, that individual contacted me back, said  
4 they'd like to see the questions before they  
5 determined whether they would answer them or just  
6 include them in their application.

7 They reviewed the questions and then  
8 arranged a telecon with me sometime last year, maybe  
9 September/October, I forget the exact time frame,  
10 around there, in which they provided via telecon  
11 answers to those questions or those issues.

12 And I followed up that telecon with a  
13 letter to the plant manager at Harris I believe,  
14 saying, appreciating that they had responded to me  
15 in that way and documenting those, that meeting.

16 MR. O'NEILL: I'd ask the court reporter  
17 to mark as Exhibit 1 three pages. One is a letter  
18 from David A. Lochbaum to J.W. Donahue, dated August  
19 31, 1998, a one-page letter. And, as part of  
20 Exhibit 1, a second letter dated July 29, 1998, from  
21 David Lochbaum to J.W. Donahue.

22 (Lochbaum Deposition)

1 Exhibit Number 1 was marked  
2 for identification.)

3 BY MR. O'NEILL:

4 Q Mr. Lochbaum, have you had a chance to  
5 review what has been marked as Exhibit 1?

6 A Yes, I have.

7 Q And are these two letters that you just  
8 described in discussing correspondence with Carolina  
9 Power & Light Company after the July meeting?

10 A Yes, they are. They filled in the gaps.  
11 The individual I contacted, the licensing individual  
12 was Kevin Shaw, and the site manager was Mr.  
13 Donahue. The dates are earlier than I thought, but  
14 they are the letters that I referenced or talked  
15 about.

16 Q During the briefing in July, was there a  
17 discussion by Carolina Power & Light of the  
18 alternative plan for qualifying certain piping and  
19 welds that no longer was a QA documentation  
20 available?

21 A I recall that there was, yes.

22 Q At the time you addressed this letter to



1 Mr. Donahue, you did not raise any concerns about  
2 the alternative plan; is that correct?

3 A That is correct.

4 Q And is it true that after you raised these  
5 concerns, you participated in a phone conversation  
6 with members of the Carolina Power & Light Company  
7 staff?

8 A That's correct.

9 Q And during that conversation, was there a  
10 technical discussion on the issues that you had  
11 raised?

12 A Yes, there was.

13 Q During that discussion did you raise any  
14 questions regarding the alternative plan?

15 A No, I did not.

16 Q During the July 1998 meeting, wasn't there  
17 a fairly full discussion of the alternative plan as  
18 one of the issues that would be addressed in the  
19 license application?

20 A Yes, there was.

21 Q Did you have any concerns with respect to  
22 the alternative plan during that discussion by

1 Carolina Power & Light in July of 1998?

2 A Not at that time, no.

3 Q What happened between that presentation in  
4 July of 1998 and the time contentions were filed by  
5 BCOC where you raised questions concerning the  
6 alternate plan?

7 A I actually got to see what the alternative  
8 plan was on paper instead of just bulleted items in  
9 a presentation and look at it in a little more  
10 detail.

11 Q So I take it between this exchange that is  
12 represented by Exhibit 1 and when you were contacted  
13 by, first, Chatham County or Jim Warren and then Ms.  
14 Curran, that you had no involvement with the Harris  
15 spent fuel pool expansion program?

16 A I believe that's true. I don't recall any  
17 other contacts.

18 Q Okay. What happened then after  
19 January/February 1999? What happened next?

20 A Between that and filing the contention?

21 Q Correct.

22 A After Diane Curran had me prepare a

1 declaration, it was reviewed by the other expert  
2 witness, Gordon Thompson and Diane Curran, and there  
3 were some comments either by telecon or by fax that  
4 were incorporated into the final declaration that  
5 was submitted -- I think it's dated the end of  
6 March. Actually, I have it with me. It's March  
7 31st, 1999.

8 Q Have you been retained as an expert by the  
9 board of commissions of Orange County?

10 A I am an expert witness. Retained to me  
11 implies monetary compensation, and there is no  
12 monetary compensation, so I am an expert witness but  
13 there is no financial involvement at all.

14 Q So you're independent?

15 A Very independent, yes.

16 Q Okay. And you're -- and as you just  
17 indicated, you're not being financially compensated  
18 by the board of commissioners of Orange County in  
19 any way?

20 A Occasionally we've gone down for a meeting  
21 and they've picked up a lunch where there were a  
22 bunch of people sitting, but no travel expenses, but

1 other than an occasional lunch, which I believe is  
2 two to date, there's been nothing other than that.

3 Q And what about NC Warren or Chatham  
4 County, are they compensating you in any way?

5 A UCS is paying my salary and expenses.

6 Q By the way, is Orange County a member of  
7 the Union of Concerned Scientists?

8 A I don't know.

9 Q Do they contribute financially to your  
10 organization?

11 A Not to my knowledge, but they may. I  
12 don't keep track of stuff like that. And that also  
13 applies to NC Warren and others. I just -- I don't  
14 know. They may or they may not, I don't know.

15 Q And I take did you haven't retained Ms.  
16 Curran as your counsel?

17 A Not on this issue. UCS has in the past  
18 retained Diane Curran.

19 Q Okay. But today she is not your counsel,  
20 you're independent?

21 A That's correct.

22 Q Okay. And obviously Ms. Uttal is not your

1 counsel either?

2 A That's correct.

3 Q So you're here counsel-less?

4 A I'm my own counsel. I prefer to say that  
5 rather than counsel-less.

6 Q That's fine.

7 MS. CURRAN: I think we are getting into  
8 some legal territory here, and it's my view that Mr.  
9 Lochbaum is acting as an expert for Orange County  
10 and that I'm entitled to counsel him in this  
11 deposition.

12 You know, if this comes up as an issue, I  
13 guess we'll have to talk about it.

14 MR. O'NEILL: It would occur to me that if  
15 you represented a party, that party would know that  
16 you're representing them.

17 THE WITNESS: Not this party. That would  
18 be a bad assumption.

19 MR. O'NEILL: I would ask the court  
20 reporter to mark as Exhibit 2 a two-page document  
21 entitled David A. Lochbaum, which appears to be his  
22 curriculum vitae.

1 (Lochbaum Deposition  
2 Exhibit Number 2 was marked  
3 for identification.)

4 BY MR. O'NEILL:

5 Q The document should be just the two-page  
6 resume and not certificate of service which is  
7 unnecessary. Okay.

8 Mr. Lochbaum, is this your resume?

9 A Yes, it is.

10 Q Did you prepare it?

11 A Yes, I did.

12 Q Was it filed in response to an  
13 interrogatory in this proceeding?

14 A I don't know.

15 Q Did you provide it to counsel for BCOC to  
16 allow her to file it?

17 A I provided it to Diane Curran because she  
18 asked me for it. I don't know what she did with it.

19 Q Okay. But you did prepare this?

20 A Yes, I did.

21 MR. O'NEILL: I'm going to at this time  
22 mark as Exhibit 3 a transcript of the deposition of

1 David Lochbaum in another proceeding taken in  
2 Indiana.

3 (Lochbaum Deposition  
4 Exhibit Number 3 was marked  
5 for identification.)

6 BY MR. O'NEILL:

7 Q And the date on it is February 3rd, 1999.  
8 Mr. Lochbaum, would you look at the last  
9 -- page 316 of the deposition.

10 A Yes.

11 Q Is that your signature?

12 A Yes, it is.

13 Q And the date of the signature is February  
14 18, '99?

15 A That's correct:

16 Q And you reviewed the transcript before you  
17 signed it?

18 A I'm not sure I reviewed this one or not  
19 because the one I reviewed was not stamped  
20 confidential. There was an issue of  
21 confidentiality, and there was a second deposition,  
22 because I did not sign the confidentiality

1 agreement.

2 Q Well, let me give you the original that I  
3 have which is the same one which appears to have the  
4 original signature which was bound and also has the  
5 seal and affidavit of the court reporter.

6 A There is a -- there was a separate page  
7 about the confidentiality because this was struck  
8 out before I signed it.

9 Q Okay.

10 A So with that caveat or explanation, yes.

11 Q And at the time of this deposition, you  
12 answered questions truthfully to the best of your  
13 knowledge and belief?

14 A Yes, I did.

15 Q And there is nothing that you would take  
16 back today that you answered back in February?

17 A I think, given a second shot, I might  
18 answer questions a little better, but not because it  
19 was incorrect or false.

20 Q One of the reasons I introduced this, it  
21 will save us from reploting old ground --

22 A I suspected that.



1 Q -- to have that already in the record.  
2 Since February of 1999, have you been  
3 promoted at UCS?

4 A No.

5 Q So you're not an officer or a member of  
6 the board at UCS?

7 A No, I'm not.

8 I'm not sure that would be a promotion,  
9 but I'm not.

10 Q Okay. Looking at your resume on page 1, I  
11 note that during the period November '87 to 9/96,  
12 one of the items that you indicated you were  
13 responsible for was "vertical slice assessment of  
14 the spent fuel pit cooling system, and for  
15 confirmation of licensing commitment implementation  
16 at the Salem generating station."

17 Do you see that?

18 A Yes, I do.

19 Q What is the spent fuel pit cooling system?

20 A At Salem, that's the system that cools the  
21 spent fuel pool. They call it a spent fuel pit.

22 Q So it's the same as a spent fuel pool at

1 most pressurized water reactors?

2 A It's similar. There are slight  
3 variations, but it's the same functions, yes.

4 Q And what kind of assessment did you do of  
5 the spent fuel pit cooling system at Salem?

6 A It was a vertical slice. We looked at  
7 procedures, design, basis requirements, changes to  
8 the design basis requirements over time as far as  
9 modifications and new requirements imposed;  
10 Maintenance practices, modifications. They  
11 re-racked the pools, we looked at data evolution,  
12 operation of the system, emergency procedures and  
13 response.

14 Basically everything that touched the  
15 spent fuel pool was looked at in the vertical slice.

16 Q Did the Salem spent fuel pit have a  
17 cooling and cleaning system similar to the one at  
18 the Shearon Harris plant?

19 A It had filter demineralizers, so it was  
20 similar, yes.

21 Q And the cooling system was intended to  
22 remove the heat from the spent fuel pool or pit as

1 they called it there?

2 A That's correct.

3 Q And what was the ultimate sink for the  
4 heat that was removed from the spent fuel pit at  
5 Salem?

6 A The ultimate was the Delaware Bay.

7 Q And what kind of a heat transfer system  
8 was involved in that particular system?

9 A They had a spent fuel pit cooling loop  
10 that transferred the heat to a service water system  
11 that transferred its heat to the Delaware Bay  
12 ultimately.

13 Q And is there any difference between that  
14 system and the system at Shearon Harris?

15 A There are differences, yes.

16 Q What are the differences?

17 A There's quite a few differences. There is  
18 a -- the spent fuel pit cooling system at Salem is  
19 not safety-related. It's not a class 1 evac system.  
20 It's seismic, just as the one at Harris, but there  
21 are differences such as that, and those lead to  
22 changes in how the instrumentation is and how the

1 procedures are structured and set up.

2 Those aren't all of the differences, but  
3 those are probably the primary, key differences.

4 Q Have you studied the spent fuel pool  
5 cooling and cleaning system at Shearon Harris?

6 A I have not do a vertical slice. I haven't  
7 looked at it in that same detail, no.

8 Q What have you done with respect to your  
9 review of the spent fuel pool cooling and cleaning  
10 system at Harris? And we'll just call it the  
11 cooling system to avoid that each time.

12 A I looked at the application that was filed  
13 by CP&L that described the work they had done in  
14 support of the application request. I also went to  
15 the public document and reviewed the FSAR chapter on  
16 the cooling system, but I didn't find anything there  
17 that I relied on to get back to the earlier question  
18 about documents produced or cited.

19 So that's pretty much what I did to look  
20 at the cooling system at Harris.

21 Q Now, in the production of documents by  
22 Carolina Power & Light to BCOC, there's quite a few

1 documents that related to the design of the cooling  
2 system at Harris that were produced; is that not  
3 true?

4 A There were quite a few produced and also  
5 quite a few cited in references.

6 Q And, in fact, you spent a day reviewing  
7 those documents in Raleigh, did you not?

8 A Going through those documents. I wouldn't  
9 -- we were screening the documents to find out which  
10 ones we wanted to request. That's a little  
11 different than, you know, reading and comprehending  
12 what was there.

13 Q Did you review the drawings of the spent  
14 fuel cooling system?

15 A We've requested several drawings. I can't  
16 say that I've studied them at this point.

17 Q Now, you say you've requested, but in fact  
18 all of those documents have been provided to BCOC,  
19 have they not, that you requested?

20 A I don't know.

21 Q You don't know?

22 A I don't know.

1 Q So since the documents have been provided  
2 to counsel for BCOC, you have not reviewed them?

3 A I have received some documents from Diane  
4 Curran. I have not reviewed all those documents  
5 yet.

6 Q Okay.

7 A And some of those documents produced did  
8 include some drawings, but I have not reviewed them  
9 yet at this time.

10 Q Do you recall that you made a presentation  
11 to the board of commissioners of Orange County in  
12 Chapel Hill on April 7th, 1999?

13 A I remember making a presentation. I  
14 wouldn't swear that it was April 7th. But I do  
15 remember making a presentation.

16 MR. O'NEILL: I'd ask the court reporter  
17 to mark as Exhibit 4 a set of slides entitled Risky  
18 Business: Spent Fuel Storage at Harris Nuclear  
19 Plant, dated April 7, 1999.

20 (Lochbaum Deposition  
21 Exhibit Number 4 was marked  
22 for identification.)

1 BY MR. O'NEILL:

2 Q Does this refresh your recollection of the  
3 date of your presentation?

4 A Yes, it does. April 7th must have been  
5 the date.

6 Q Are you aware that copies of the  
7 videotapes of that presentation were produced to  
8 Carolina Power & Light?

9 A No, I'm not aware.

10 Q Are you aware that it was videotaped?

11 A I knew there were cameras there. I don't  
12 know if it was for live or for videotapes. So I  
13 don't know. I'm not in possession of a copy and I  
14 have never seen one, so I don't know.

15 Q You can take my word that it was  
16 videotaped.

17 A I trust you then.

18 Q During that presentation, do you recall  
19 making the following statement, and I quote: "The  
20 Harris cooling system is better than the average  
21 plant in the country"?

22 A I believe I did make that statement, yes.

1 Q And on what do you base that statement?

2 A On the fact that it's a state class 1E  
3 system, and most plants in the country are not class  
4 1E systems. And also safety-related, most plants --  
5 most cooling systems in the country are not  
6 safety-related.

7 Q Is there anything else on which you base  
8 that statement that the Harris cooling system is  
9 better than the average plant in the country?

10 A Those two are the primary reasons. I  
11 can't recall any other.

12 Q What is the benefit and why would you say  
13 it is better to have a class 1 safety grade system  
14 as part of the cooling system? What is the  
15 advantage?

16 A I'm sorry. Could you --

17 Q What is the advantage of having the class  
18 1 safety grade cooling system as opposed to not  
19 having a safety grade cooling system?

20 A By being class 1, it means that the  
21 cooling system is backed up by the on-site emergency  
22 power source, in this case diesel generates. It's



1 part of the original analysis and it's not a  
2 contingency measure that may work. It's already  
3 analyzed to be part of the plant's design.

4 Q What about the pedigree of the piping of  
5 the system, is there a difference between a system  
6 that is a class 1 system such as at Harris and  
7 systems at other plants?

8 A In this case, it's a distinction somewhat  
9 lessened by the fact that at all the plants, they  
10 are all seismic design. I hate to say all. At most  
11 plants, if not all, they are seismically designed,  
12 which tends to narrow that gap between  
13 safety-related and non-safety-related.

14 But even with that narrowing of the gap,  
15 there is a difference in the pedigree for a  
16 safety-related system, and the safety-related system  
17 is a higher quality or designed to higher standards  
18 than a non-safety-related system.

19 Q And what advantages does it provide to  
20 Harris to have it designed to higher standards?  
21 What is the benefit to the Harris plant?

22 A The problem I'm having is, when you say

1 "to the Harris plant," if you say, what's the  
2 advantages of it, -it's safer and things like that.

3 Q Right.

4 A But the benefit to the Harris plant would  
5 be actually disincentives. It costs more than it  
6 would otherwise. So depending on how you look at  
7 safety, it's who benefits from that.

8 Q Well, presumably Carolina Power & Light  
9 will benefit from a safer plant.

10 A I think that's why we are here today, so  
11 I'm not sure --

12 Q Well, and certainly everyone would benefit  
13 from a safer plant; is that correct?

14 A Again, there seems to be some contention  
15 over that, so that's why we're here today. So I'm  
16 not sure that's a given.

17 Q What else have you done to familiarize  
18 yourself with the design and quality of the spent  
19 fuel cooling system at Harris?

20 A In addition to the previous answer?

21 Q Correct.

22 A Nothing in addition to the previous

1 answer.

2 Q Okay. Have you been involved in the  
3 review of the spent fuel cooling system at any plant  
4 other than Salem?

5 A Yes, I have.

6 Q And what plant was that?

7 A Well, most notably was the Susquehanna  
8 Steam Electric station in Pennsylvania.

9 Q And that's a boiling water reactor?

10 A Yes, it is.

11 Q And the spent fuel pool in that plant is  
12 inside the containment?

13 A Yes, it is.

14 Q And the spent fuel pool at the Harris  
15 plant is in a spent fuel pool handling building?

16 A That's correct.

17 Q And what involvement did you have with  
18 respect to the cooling system at Susquehanna?

19 A As part of a power upgrade project, I was  
20 on a team that was evaluating systems for assurance  
21 that they could meet all the requirements after  
22 power uprate.

1 I was assigned to look at the spent fuel  
2 cooling system at Susquehanna in light of that  
3 project or under that project.

4 Q And what aspects of the cooling system did  
5 you look at?

6 A It was similar to a vertical slice in that  
7 we looked at design requirements, we took the  
8 numbers that had been projected for after power  
9 uprate in terms of heat loads, flows and so on.

10 We also looked at operating experience to  
11 see if margins would be compromised by the  
12 additional power uprate requirements, and tried to  
13 make sure that all design, licensing and operator  
14 requirements would be fulfilled after power uprate.

15 Q Was the spent fuel pool cooling system at  
16 Susquehanna a safety-related system?

17 A It had portions that were, but it was not  
18 safety-related as is, the Harris spent fuel cooling  
19 system.

20 Q In addition to Salem and Susquehanna, have  
21 you been involved in the spent fuel pool cooling  
22 system at any other plant in any way?

1           A     I have worked at plants where I was, for  
2     example, the Browns Ferry plant where I was a shift  
3     technical advisor and a reactor engineer, and the  
4     involvement with the fuel pool cooling system at  
5     those plants is more from an operational standpoint.  
6     The ability or inability of the fuel pool cooling  
7     system to do things put limits on what reactor  
8     engineers could do in terms of fuel movements and  
9     fuel unloading and so on.

10           Likewise at the Hatch plant where I was a  
11     reactor engineer, I had operational reviews or  
12     interfaces with fuel pool cooling, but not from a  
13     design standpoint as at Susquehanna and Salem.

14           Q     Have you worked at any plant during  
15     construction of the plant?

16           A     Yes, I have.

17           Q     And what plant was that?

18           A     The Hatch plant was in the tail ends of  
19     construction. In fact, the radwaste system, of  
20     which I was a system engineer, was the last system  
21     on unit 2 to be pre-op'd and accepted for operation.  
22     That was my assignment.

1                   And then I went to work at the Grand Gulf  
2 Plant during its initial construction.

3           Q     And did you have responsibilities as a  
4 construction engineer or on the operations side?

5           A     It was on the operations side.

6           Q     As a start-up engineer?

7           A     As a start-up engineer, yes.

8           Q     Have you had any experience as a  
9 construction engineer?

10          A     No, I have not.

11          Q     Have you had any responsibility for  
12 welding at a nuclear power plant?

13          A     No, I have not.

14          Q     Have you had any responsibility for  
15 construction quality assurance or quality control at  
16 a nuclear power plant?

17          A     I have in a standpoint -- I worked for a  
18 brief while for General Electric, and one of the  
19 assignments was at the Grand Gulf Nuclear Power  
20 Station. The plant owner or plant licensee asked me  
21 to go through the nonconformance reports that were  
22 written against GE products and services during the

1 tail end of construction to ensure that they were  
2 resolved, dispositioned, make sure that there  
3 weren't any that were missed.

4 A lot of those involved -- they used a  
5 head -- bolt, take out the main steamline plugs and  
6 missed, they hit the vessel instead of the plug. So  
7 a lot of these were to ensure that, you know,  
8 equipment was either repaired, reworked or accepted  
9 as is or there was some kind of disposition.

10 So I had to review hundreds of those  
11 things and track them down.

12 Q Have you been responsible for writing or  
13 modifying QA procedures?

14 A Well, also at the Grand Gulf plant for GE,  
15 one of the things I had was -- the independent  
16 safety engineering group was being formed in  
17 response to NUREG 0656 -- I think it's 0646 or 0656.  
18 I can't recall offhand. But you are required to  
19 have an independent safety and engineering group.  
20 One of its responsibilities is to periodically  
21 verify the adequacy of the on-site QA/QC group.

22 So I wrote the procedures for the

1 independent safety and engineering group to perform  
2 that audit function.

3 Q By the way, have you reviewed the QA  
4 procedures that are being used to commission the  
5 spent fuel pool cooling system for unit 2 for pools  
6 C and D?

7 A If they were in the application, I did.  
8 There were also some documents like that that we've  
9 requested that I have not yet reviewed.

10 Q Do you know what NDE stands for?

11 A Yes, I do.

12 Q What is it?

13 A Non-destructive examination.

14 Q Have you been responsible for NDE at any  
15 nuclear plant in any way?

16 A Not in a traditional sense. I've done a  
17 lot of examination that didn't result in  
18 destruction, but not NDE as you use it.

19 Q Have you ever qualified as an NDE  
20 examiner?

21 A No, I have not.

22 Q Have you been responsible for NDE



1 examiners at any nuclear plant?

2 A No, I have not.

3 Q Have you ever welded materials together?

4 A No, I have not.

5 Q And I believe you indicated earlier you  
6 have not had any responsibility as a welding  
7 engineer.

8 A That's correct.

9 Q Have you ever been responsible for the QA  
10 or QC inspectors at a nuclear plant?

11 A No, I have not.

12 Q Have you serviced on any ASME code  
13 committees?

14 A No, I have not.

15 Q Are you an expert in material science?

16 A No.

17 Q Are you an expert in corrosion of  
18 materials at a nuclear power plant?

19 A No, I'm not.

20 Q Are you an expert in stress analysis?

21 A No, I'm not.

22 Q Are you an expert in failure analysis?

1           A     I've been trained in root cause analysis,  
2     so with that slice of it, that's a smaller subset  
3     than failure analysis in a broad sense.

4           Q     Tell me what your experience has been in  
5     failure analysis.

6           A     As an STA, shift technical advisor at  
7     Browns Ferry, part of your job is to figure out what  
8     happens: Do the post trip analysis, do the  
9     preliminary determination when a piece of equipment  
10    fails as to what caused it and what happened.

11           So in addition, for certain things we were  
12    required to write the licensee event reports that  
13    were later submitted to the NRC. That involved --  
14    sometimes if it was an area within my system  
15    responsibility, I would do the failure analysis,  
16    find out what happened.

17           For the areas that were not within my  
18    responsibility, as the STA I was responsible for  
19    working with whoever was responsible to identify  
20    what the failure was and get that information in to  
21    the licensee event report or the post trip report or  
22    whatever the proper document was.

1 Q Are you an expert in the causes of  
2 degradation of stainless steels?

3 A No, I'm not.

4 Q Are you an expert in probability and  
5 statistics as it applies to engineering design?

6 A No.

7 Q What is the diameter of the piping at the  
8 union 2 spent fuel pool cooling system?

9 A I don't know. I doubt it would be all the  
10 same diameter.

11 Q What are the diameters if they are not all  
12 the same?

13 A I don't know.

14 Q Any idea?

15 A No.

16 Q What is the thickness of the piping at the  
17 Harris spent fuel pool cooling system for unit 2?

18 A I don't know.

19 Q What is the materials of the piping for  
20 the spent fuel pool cooling system for unit 2?

21 A Some of it, if not all of it, is stainless  
22 steel.

- 1 Q What kind of stainless steel?
- 2 A I'd have to look at the report. I don't  
3 recall.
- 4 Q Are there more than one kind of stainless  
5 steel?
- 6 A Yes, there are.
- 7 Q Do they have different properties?
- 8 A Yes, they do.
- 9 Q Do they have different resistance to  
10 degradation based on the type of stainless steels?
- 11 A Yes, they do.
- 12 Q What kind of weld process was used for the  
13 field welds for the unit 2 spent fuel cooling  
14 system?
- 15 A I don't know.
- 16 Q How many weld presses were made for each  
17 field weld on the spent fuel cooling system?
- 18 A I don't know.
- 19 Q Are you aware of how many welds are in the  
20 spent fuel cooling system for unit 2?
- 21 A No.
- 22 Q Total welds?

1           A     No, I'm not.

2           Q     Do you know what percentage of them were  
3 vendor welds and what percentage of them were field  
4 welds?

5           A     I know the range. I don't know the  
6 numbers.

7           Q     What was the range?

8           A     Between zero and a hundred.

9           Q     What is the design pressure of the spent  
10 fuel cooling system for unit 2 for pools C and D for  
11 Harris, design pressure?

12          A     My recollection is 150 pounds per square  
13 inch gauge, but I'd have to go back and look at the  
14 documents to be sure. That's just my recollection.

15          Q     What is the actual maximum pressure that  
16 that piping or welds would see in the operation of  
17 the system?

18          A     It would be the shutoff head of the pumps,  
19 but I don't know what that is.

20          Q     Do you know -- well, what is the level at  
21 which the suction and discharge is connected to the  
22 spent fuel pool from the top of the pool to the

1 point of suction discharge in feet?

2 A I don't know.

3 Q How deep were the spent fuel pools at  
4 Harris?

5 A I don't know.

6 Q Approximately?

7 A Approximately 45 feet.

8 Q Relative to the total depth of the pools  
9 that you think is 45 feet, about where do you  
10 understand the suction and discharge to be in the  
11 pool? At the bottom?

12 A The pump suction?

13 Q The suction of the spent fuel cooling line  
14 suction and discharge?

15 A The suction and discharge are above the  
16 bottom. I'm not clear what question you're trying  
17 to ask here.

18 Q I'll try to be more clear. I'm sorry.

19 The spent fuel pool configuration is like  
20 any swimming pool, it has a bottom, sides and a top.  
21 And it's open at the top; is that correct?

22 A That's correct.

1 Q So it's open to atmosphere?

2 A That's correct.

3 Q Okay. And then the sides of the pool have  
4 some openings; is that correct?

5 A That's correct.

6 Q And among the openings in the side of the  
7 pool is a suction to the spent fuel pool cooling  
8 system where the water is taken from the pool, goes  
9 through the pump to the heat exchanger and then is  
10 returned to the pool; is that correct?

11 A That's correct.

12 Q Now, my question is, given -- assume for  
13 the moment that you're correct and that the depth of  
14 the pool is 45 feet.

15 A Approximately 45.

16 Q And that there is someplace along from  
17 zero feet at the top to 45 feet deep at the bottom  
18 -- where do you understand the suction discharge  
19 lines to lie on the sides of the pool?

20 A My understanding is the suction line is  
21 basically at zero feet. I don't know where the  
22 discharge line is.

1 Q Okay. And the purpose is not having it  
2 close to the top so you can't drain the pool; is  
3 that not correct?

4 A That is not correct.

5 Q That is not correct?

6 A I believe your question was not having it  
7 at the top?

8 Q The reason that you have it at the top is  
9 so that you won't drain the pool, for example, if  
10 you had it at the bottom.

11 A That's correct, but I don't think that's  
12 the question you asked me.

13 MS. CURRAN: I think the word "not"  
14 slipped in there.

15 BY MR. O'NEILL:

16 Q Well, let me reformulate the question.

17 Why, Mr. Lochbaum, would you have the  
18 suction and discharge lines at the top of the pool  
19 as opposed to the bottom or the middle of the pool?

20 A So you don't inadvertently drain the pool.

21 Q And that is indeed the design at Shearon  
22 Harris; is it not?



1           A     I told you I don't know where the  
2 discharge is. I understand that they meet that  
3 requirement, but I don't know exactly where that  
4 design is.

5           Q     Okay. Now, if it is true that the suction  
6 discharge are more or less at the top of the pool,  
7 what could the maximum pressure seen by the piping  
8 be, since it's opened to atmosphere?

9           A     It would -- if the pump is running, then  
10 it would be the discharge pressure at the pump,  
11 particularly if there was a valve downstream that  
12 was closed, and that section of the pump would see  
13 whether the shutoff -- if the pump is not running,  
14 then it's just going to be the elevation head.

15          Q     Okay. But you don't know what the maximum  
16 operating pressure would be as set forth in much of  
17 the documentation you had a chance to look at?

18          A     I seem to recall a number of 45 PSIG, but  
19 I wouldn't swear to that because it may be  
20 overdrawing my memory banks here.

21          Q     Okay.

22                   (Discussion off the record.)

1                   MR. O'NEILL: I'd ask the court reporter  
2 to mark as Number 5 a two-page document entitled  
3 David Lochbaum, Nuclear Safety Engineer.

4   (Lochbaum Deposition  
5   Exhibit Number 5 was marked  
6   for identification.)

7                   BY MR. O'NEILL:

8                   Q    Did you write this, Mr. Lochbaum?

9                   A    No, I did not.

10                  Q    Who wrote it?

11                  A    Anita in our Cambridge office.

12                  Q    Did you review it?

13                  A    I provided input to it, but I don't --

14                  Q    Is the information in this one-page  
15 write-up entitled David Lochbaum, Nuclear Safety  
16 Engineer, correct and accurate to the best of your  
17 knowledge and belief?

18                  A    Well, there's two points. In the third  
19 paragraph, the last sentence, "Finally, three years  
20 after they first sounded the alarm," that sentence,  
21 it was actually closer to four years.

22                                   And the last sentence or last paragraph

1 which is a one-sentence paragraph, you know, it's --  
2 I'm not going to argue that that's true or not,  
3 whether we have that reputation, but we have that  
4 editorial right, I guess, to claim that.

5 Q Where is this document from?

6 A You handed it to me.

7 Q I understand, but where did it come from?

8 A It looks like it came from the Union of  
9 Concerned Scientists web site.

10 Q And, indeed, if we were looking at the web  
11 site, the little x's would be where your picture is.  
12 But we weren't able to print that out.

13 A Right. A good thing. It wasn't one of my  
14 better photographs.

15 Q In the fourth paragraph, and I'll read  
16 this paragraph for the record, "Concerned about  
17 nuclear safety and fed up with NRC complacency, Dave  
18 joined USC in 1996. , 'When I raise safety concerns  
19 on the UCS letterhead, the NRC pays attention,' he  
20 says -- a welcome change from the patronizing and  
21 dismissive response he received previously. And pay  
22 attention they do, as the 1997 closure of the Maine"

1 -- I assume that's M-A-I-N-E.

2 A Supposed to be, yes.

3 Q -- "Yankee Plant attests. See Nucleus  
4 Article, fall 1997."

5 Do you take credit for the closure of the  
6 Maine Yankee Plant?

7 A I do not, no. UCS does. I do not.

8 Q I see. Is there any evidence that you  
9 have of complacency by the NRC in connection with  
10 the license application that we're discussing today  
11 for the spent fuel pool at Shearon Harris? Are you  
12 concerned about NRC complacency here today?

13 A Not today. I'm concerned with answering  
14 the questions in the deposition.

15 Q I understand, but back to the question.  
16 Do you have any evidence or concerns with respect to  
17 this proceeding --

18 A Yeah.

19 Q -- at this plant with NRC complacency?

20 A Yes, I do.

21 Q And what is it?

22 A One of the contentions we raised had to do

1 with heat loads and some issues that was not  
2 admitted or accepted or whatever the right legal  
3 terms is by the SLB.

4 The NRC staff counsel had advised the SLB  
5 at the hearing that there was no merits to the  
6 contention we raised. And then shortly thereafter,  
7 after it was ruled out of bounds or, again, whatever  
8 the right legal term is, the NRC staff issued an RAI  
9 to CP&L on the very same subject.

10 So it's a little troubling to me or it  
11 concerns me that the staff would tell the SLB that  
12 this contention had no merit and then turn around  
13 and ask the CP&L the same questions about an issue  
14 that they had just weeks before said had no merit.

15 So either they are wasting CP&L's time or  
16 they are being a little bit less than forthright  
17 with the SLB.

18 Q So you think asking questions is  
19 complacent?

20 A No. I think telling less than the truth  
21 or not being forthright with the SLB, downplaying  
22 the seriousness of an issue that they themselves

1 believe to be an issue is in that complacent arena.

2 Q Does the NRC only ask questions when they  
3 believe there's a serious issue; is that what you're  
4 saying?

5 A I wouldn't say it under oath or not under  
6 oath, no.

7 Q Okay. Do you believe that the NRC staff  
8 was untruthful in this proceeding in telling the  
9 Atomic Safety and Licensing Board there was no  
10 reason to admit the contention on heat load?

11 A I think I answered your question saying it  
12 concerned me that they took one action in the SLB  
13 hearing and the later action contradicted what they  
14 said in the SLB hearing. It's up to somebody else  
15 to determine whether that was a false statement or  
16 not.

17 Q It's a pretty serious accusation to  
18 suggest that the NRC staff has made a false  
19 statement to the Atomic Safety and Licensing Board,  
20 isn't it, Mr. Lochbaum?

21 A Considering the other arenas that they've  
22 made similar false statements, I don't think that

1 that's that serious.

2 Q Other than that issue that you've just  
3 raised, do you believe that the NRC has otherwise  
4 been complacent in connection with the license  
5 amendment request relating to the Shearon Harris  
6 spent fuel pool?

7 A No. But also I need to qualify that that  
8 I wasn't really concerned with the NRC's performance  
9 on this issue.

10 Q You weren't?

11 A The safety issues that we raised  
12 independently I was concerned with. You know, I --  
13 at this point I don't really care what the NRC staff  
14 does.

15 Q Why do you not care what the NRC staff  
16 does?

17 A It goes back to the feeling that I don't  
18 believe the NRC staff is a strong or rigorous  
19 regulator.

20 Q So that goes to what Exhibit 5 discusses,  
21 that you can't trust the complacent NRC staff, but  
22 fortunately we have David Lochbaum, USC nuclear

1 safety engineer, protecting public interest. Is  
2 that sort of the pitch that you make here?

3 A No. The pitch I make there is the reason  
4 I joined UCS was I was fed up with the complacency  
5 of the NRC, and UCS was a way to get safety issues  
6 addressed in a more productive manner.

7 Q After the deposition in February we had  
8 occasion to ride back to Washington together, and in  
9 fact next to each other on the plane; is that not  
10 correct?

11 A That is correct.

12 Q And we had a discussion during that trip  
13 about your background and experience in nuclear  
14 power.

15 Is it not true that you told me that one  
16 of your problems is that your constituents of UCS  
17 constantly urge you to take a more aggressive  
18 position against nuclear power than you really would  
19 like to take? Do you remember that statement?

20 A I do remember that statement, yes.

21 Q So when you rail on about NRC complacency,  
22 is that part of what your constituents expect you to



1 say or is that what you really believe?

2 A That's what I really believe. You can  
3 look at statements before I joined UCS. I didn't  
4 become more critical of the NRC since I joined UCS.  
5 Perhaps more visible, but not more critical.

6 Q Okay. Are you aware that BCOC has  
7 proffered you as an expert on contention 3 only?

8 A That's my understanding, yes.

9 Q Are you aware that on September 3rd, 1999,  
10 in Orange County's supplemental response to  
11 applicant's first set of interrogatories you were  
12 proffered as an expert on both contentions 2 and 3?

13 A No, I'm not aware of that.

14 Q Did you have any discussion with BCOC or  
15 counsel to BCOC about which contentions that you  
16 would be an expert on?

17 A No, not that I recall.

18 Q Do you know why you were removed as an  
19 expert on contention 2 and now only are an expert on  
20 contention 3?

21 A We had some discussion in the last week  
22 about the way it is now. In fact, I didn't know it

1 was that way before. But the way it is now allows  
2 us to get by with the minimal resources we have.  
3 Gordon has time to look at contention 2. Whatever  
4 time I have I can look at contention 3. We don't  
5 have much time to do cross-review or overlap. But I  
6 didn't know that that was the reason because I  
7 didn't know it was that way before.

8 Q Do you agree with Dr. Thompson's position  
9 on contention 2?

10 MS. CURRAN: I'd like to -- I'm going to  
11 object here because it's my understanding the  
12 questioning that we agreed upon and that is in your  
13 notice of deposition relates to contention 3.

14 Mr. Lochbaum has come here prepared to  
15 talk about contention 3 and not contention 2.

16 MR. O'NEILL: Your objection is noted.

17 BY MR. O'NEILL:

18 Q You may answer the question.

19 A There is more to what Gordon Thompson has  
20 said that I agree with than I disagree with. There  
21 are probably parts that I would not agree with, or  
22 either I don't agree with or I don't have enough

1 understanding to agree. I'm on the fence basically.

2 Q I didn't make copies of this because I was  
3 concerned about the copyright admonition in the  
4 front, but is it true that you have written a book  
5 called Nuclear Waste Disposal Crisis, David A.  
6 Lochbaum, that was published in 1996?

7 A That's correct.

8 Q And this book was referenced in your --  
9 the information provided in answers to  
10 interrogatories, as one of your publications, was it  
11 not?

12 A Yes, it was.

13 Q Is the information in this book accurate  
14 and correct to the best of your knowledge and  
15 belief?

16 A It was when I wrote it. Since then, I've  
17 had a few people read it and said I missed something  
18 here. And I've had a few corrections noted, but I  
19 haven't -- not enough that we've issued an update or  
20 anything like that.

21 Q Are there any corrections that you would  
22 like to at this time state for the record that might

1 relate to spent fuel pools, criticality, cooling  
2 systems?

3 A No, the corrections have been made. I had  
4 a couple where there was a mark 1 instead of a mark  
5 2 in terms of containment design and so on that were  
6 relatively minor and don't affect this case in any  
7 way.

8 Q And the information in this book is indeed  
9 your position on these issues?

10 A They are my own positions. It was written  
11 before I joined UCS.

12 Q Do you consider yourself an expert on  
13 spent fuel coolers and spent fuel storage?

14 A I'm knowledgeable -- yeah, I would say I  
15 am an expert on spent fuel systems and storage.

16 Q Have you and Dr. Thompson discussed your  
17 views on spent fuel storage as set forth in this  
18 book?

19 A No. He obtained a copy of it early this  
20 year. And I don't know -- to tell you the truth, I  
21 don't even know if he's read it yet, so we haven't  
22 discussed it.

1 Q And you haven't discussed where his views  
2 as he's articulated them, may disagree with views  
3 that you have in this book?

4 A No, I really haven't.

5 Q So that wasn't why you decided that the  
6 two of you couldn't be compatible experts on the  
7 same contention 2?

8 A No. It wasn't a professional disagreement  
9 or even a personal disagreement for that matter.  
10 Nothing like that.

11 Q In Orange County's supplemental response  
12 to applicant's first set of interrogatories dated  
13 September 3, 1999, there are three proceedings in  
14 which it is indicated you have provided testimony.  
15 The first is Kick versus MedEd. Second, Yankee Row.  
16 And then number 4, instead of 3, is Seabrook Nuclear  
17 Power Plant.

18 Is that just a typo or was there a third  
19 one that somehow got deleted?

20 A There was a third one that never went to  
21 trial or never went to the SLB or anything like  
22 that. I provided a declaration that was never used.

1 Q And what was that?

2 A That was either Yankee Row or -- not,  
3 Yankee. I think --

4 Q When was that?

5 A It was about the time -- it was between 2  
6 and 4. It was between the Yankee Row first one and  
7 Seabrook.

8 Q Well, Yankee Row has a date 9873601LA,  
9 which suggests that it's '98; is that correct?

10 A That's what it suggests, yes.

11 Q What about Seabrook, when was that?

12 A Seabrook was also '98. It was toward the  
13 tail end of last year; whereas, the Yankee Row one  
14 was very early on. I think I filed a declaration in  
15 either January or February of '98 for the Yankee Row  
16 case.

17 Q And what is the declaration that was in  
18 between the two, you think that was Yankee Row or  
19 Vermont Yankee or you're not sure?

20 A It was for one of the plants in the  
21 northeast for Citizens' Awareness Network, I  
22 believe.

1 Q The one you have listed here?

2 A Was also Citizens' Awareness Network.

3 Q So that's two for Citizens' Awareness  
4 Network; is that correct?

5 A That's what I recall, yes. I'd have to go  
6 back to get the exact cite. But from recollection,  
7 that's what it is.

8 Q But you did provide a declaration?

9 A Yes, I did. What I don't know is that it  
10 was ever -- in fact, I don't think it was filed or  
11 even submitted. I think they decided not to pursue  
12 it.

13 Q Would you be kind enough, if it was filed,  
14 of giving us the docket number and the name of that  
15 proceeding. If it wasn't filed, then it wouldn't be  
16 responsive.

17 A I think the reason it was not included is  
18 it was not filed.

19 Q But you're not sure?

20 A I had a discussion with Diane. She asked  
21 me that question if it was filed, and we said it  
22 wasn't, so it was taken out. You asked me what it

1 was and stuff like that, and I just don't remember  
2 the exact --

3 Q Okay. So to clarify the record, because I  
4 was confused, your position is there was nothing  
5 filed in the third proceeding?

6 A That's correct.

7 Q Okay. Tell me about the Seabrook  
8 proceeding? That was the end of '98.

9 A The Seabrook owner had filed a license  
10 amendment request seeking to extend or seeking a  
11 one-time exception to a surveillance interval for  
12 steam generator 2 inspections.

13 Because of a mid-cycle outage, an  
14 unplanned mid-cycle outage, to do some work on  
15 controlling ventilation, they were in a situation  
16 where they would have had to shut down before the  
17 refueling outage to do the steam generator  
18 inspection, and they were seeking a one-time  
19 exemption.

20 That's what they were asking for. The  
21 application they submitted would have been for all  
22 times, changing the surveillance frequency from 18



1 months to 24 months.

2 The Seacoast Antipollution League who  
3 retained me or I volunteered again, it was the same  
4 kind of arrangement, was intervening in that case  
5 not to allow an all-the-time extension of the  
6 surveillance interval or increase in the  
7 surveillance interval.

8 Q What happened?

9 A My understanding is the SLB was formed.  
10 It was admitted. Some of the contentions were  
11 admitted. I forget the exact number. The parties  
12 agreed to a settlement to basically the licensee  
13 withdrew the license amendment request that rendered  
14 the proceeding moot, and a settlement was issued  
15 saying that everybody agreed to that.

16 Q And you filed a declaration in support of  
17 the contentions?

18 A I submitted some information to the  
19 counsel for Seacoast Antipollution League that they  
20 incorporated. I don't believe my declaration was  
21 filed as an attachment. I think the council  
22 incorporated the technical material into SAPL's own

1 document or submittal, but I think that, as I  
2 recall, that document stated that I was going to be  
3 the expert witness to address certain issues.

4 Q And what was your position with respect to  
5 this exemption request? Was it a 50.55a exemption?

6 A No. My understanding was it was a license  
7 amendment request under 50.91, 50.92.

8 Q It was a technical specification change  
9 then?

10 A Yes, that's correct. Because during the  
11 settlement phase and the negotiation phase, that was  
12 one of the options. If it would have been made a  
13 one-time-only exception, a license condition type of  
14 thing, that would -- because that's what SAPL could  
15 have agreed to and that's what the licensee actually  
16 wanted. But it ended up not being needed anyway.

17 Q Mr. Lochbaum, in the Orange County second  
18 supplemental response to applicant's first set of  
19 discovery requests in the first supplemental  
20 response to NRC staff's first set of discovery  
21 requests dated October 13, 1999, Orange County  
22 states, "David Lochbaum will provide a declaration

1 or sworn affidavit in the subpart K proceeding with  
2 respect to contention TC3. This is in response to  
3 the interrogatory request for the names and  
4 background of individuals or persons whom Orange  
5 County expects to provide sworn affidavits and  
6 declarations in the written filing."

7 What facts will you provide a sworn  
8 declaration or affidavit on?

9 A Which facts?

10 Q What facts can you attest to?

11 A I haven't completed my review of the  
12 discovery material, so I don't know what those facts  
13 will be at this time.

14 Q But your facts will be limited to  
15 information provided in the discovery material and  
16 the information we previously discussed that was  
17 attached to your earlier declaration or that was  
18 provided in discovery by BCOC to CP&L; is that  
19 correct?

20 A That is correct.

21 Q That's the universe of facts that you have

22 --

1 A Yes.

2 Q -- relating to this proceeding?

3 A That's correct.

4 Q And I understand that you will not be on  
5 the tour of the plant on Wednesday of next week; is  
6 that correct?

7 A I will be there Tuesday, the 19th. I  
8 don't know if that's a tour of the plant or not.

9 Q There is not a tour of the plant on  
10 Tuesday, the 19th.

11 A Then I will not be on the tour, that's  
12 correct.

13 Q What will you be doing on Tuesday, the  
14 19th?

15 A I believe there's some depositions being  
16 taken at the plant site, and I'll be supporting BCOC  
17 counsel in those depositions.

18 Q Okay. In response in general  
19 interrogatory number 3, BCOC states, again,  
20 referring to the same October 13, 1999, pleading,  
21 "David Lochbaum will provide a declaration or sworn  
22 affidavit in the subpart K proceeding with respect

1 to contention TC3."

2 Interrogatory number 3 requests  
3 identification of individuals who are experts and  
4 expected to provide sworn affidavits and  
5 declarations for the written filing.

6 On what areas as an expert will you  
7 provide written sworn testimony?

8 A Well, the snide answer would be the  
9 answers -- the areas covered under technical  
10 contention number 3, which were the quality  
11 assurance and the readiness of the spent fuel pool  
12 cooling system to be used.

13 Q I understand that. But we've established  
14 some areas that are related that you are not an  
15 expert. So now I want you to tell me what areas  
16 relating to contention 3 that you consider yourself  
17 an expert and, therefore, qualified to give an  
18 expert opinion.

19 A Go back to the areas we just went through  
20 with the yeses and nos. The areas of quality  
21 assurance, where this plant has completed -- has all  
22 the documentation necessary and the work necessary

1 to put this systems in service would be the areas I  
2 would be looking at in providing an affidavit or a  
3 declaration or some document.

4 Q But you will not be taking a position on  
5 corrosion, I understand, since you're not an expert  
6 in corrosion?

7 A I will not be saying whether a component  
8 is corroded or not because I don't have the ability  
9 to do that.

10 I can look at nothing and determine it  
11 wasn't addressed and that the level showing that  
12 this is -- all the bases have been covered, I can  
13 determine whether that has been done or not.

14 So I think there is a distinction -- those  
15 are my boundaries as far as what I --

16 Q And you certainly will not be giving an  
17 opinion on welding, for example?

18 A I will not be saying, looking at some of  
19 the information we just looked at in discovery and  
20 saying, you know, CP&L says this weld is good and  
21 I'll say, no, this weld is bad. I won't venture  
22 anything like that.

1           But if they have not a process in place  
2           that demonstrates that all the welds are adequate, I  
3           could point out flaws or gaps in that process.

4           MR. O'NEILL: Off the record.

5           (Discussion off the record.)

6           THE WITNESS: Before we resume, could I  
7           clarify two things that we talked about earlier  
8           today?

9           MR. O'NEILL: Sure.

10          THE WITNESS: One of them had to do with  
11          the retention and the expert witness part.

12          BY MR. O'NEILL:

13          Q     Yes.

14          A     I considered myself retained in the same  
15          capacity as Gordon Thompson, the difference being --  
16          there's two differences. One is I'm not getting  
17          compensated, whereas Mr. Thompson is, at least for  
18          his travel, perhaps for his time, I don't know. But  
19          UCS is a public interest group. We do things like  
20          this. That's how we get money from donors and  
21          stuff.

22          So I don't want to get UCS in a position

1 of selling out my services. You know, that's not  
2 how we are in business. So that's the reason we've  
3 made these choices in the Seabrook case and in the  
4 BCOC case.

5 The other distinction between myself and  
6 Gordon Thompson is he has signed a  
7 non-confidentiality agreement, and I cannot sign one  
8 of those in this case, and I didn't sign one in the  
9 Indiana/Michigan case. The reason being, as a  
10 public interest group and a safety advocate, if I  
11 find something in discovery that is a safety  
12 concern, I have to have the freedom to try to get it  
13 resolved in the public arena.

14 So I cannot sign a non-confidentiality  
15 agreement, even though that means I can't look at  
16 certain documents. That's the price I pay.

17 The second area I'd like to clarify was  
18 the discussion we had on the plane coming back and  
19 the pressure, the problem of people pressuring me to  
20 take positions or not. We do get UCS members who  
21 are not pleased with some of the positions I take,  
22 but that doesn't reflect in the board or my



1 management pushing me to be -- take positions that  
2 I'm not comfortable with.

3 In fact, it's generally the other way  
4 around. They try to tone down some of the rhetoric.  
5 They're not always successful. They didn't see the  
6 title, the Risky Business title, so they are not  
7 fully filtering all the stuff, but they try to rein  
8 it in rather than push it out. I just wanted to  
9 clarify those two points.

10 Q Have you inadvertently or advertently  
11 reviewed or looked at any document that was produced  
12 in this case that was marked proprietary?

13 A Not to my recollection. The reason I  
14 hesitated, I reviewed a licensing submittal that was  
15 stamped Confidential, but I don't think that was  
16 this case. I think that was the Millstone case.  
17 But it was in the public document room, so I think  
18 it had been stamped inappropriately.

19 And to the best of my recollection, that  
20 was the Millstone case and not the Harris case, but  
21 I may have those backwards.

22 Q And as I understand it, in connection with

1 the documents that were produced by Carolina Power &  
2 Light in this case that are stamped proprietary, you  
3 will not look at them?

4 A I will not look at them, that's correct.

5 Q Okay.

6 A And I also will not be involved in any  
7 discussions between other parties who have looked at  
8 them.

9 Q Okay.

10 MR. O'NEILL: I'd ask the court reporter  
11 to mark as Exhibit 6 a document dated May 27, 1999,  
12 entitled Orange County's Response to Applicant's  
13 Proposed Rewording of Contention 3, Regarding  
14 Quality Assurance.

15 (Lochbaum Deposition  
16 Exhibit Number 6 was marked  
17 for identification.)

18 BY MR. O'NEILL:

19 Q Mr. Lochbaum, I assume you have seen this  
20 document before or you have seen the contention  
21 written before.

22 A I've seen the contention written before,

1       yes.

2           Q     Did you draft this contention?

3           A     No, I did not draft this contention.

4           Q     Did you assist in the drafting of the  
5 contention?

6           A     I assisted in the drafting of the  
7 contention.

8           Q     Do you believe in this contention?

9           A     I do believe in this contention, yes.

10          Q     Let's look at it.

11          A     Okay.

12          Q     Take a moment to read the first paragraph,  
13 then we'll take it line by line.

14          A     (Witness complies.) Okay.

15          Q     Now, contention 3 begins by stating,  
16 "CP&L's proposal to provide cooling of pools C and D  
17 by relying upon the use of previously completed  
18 portions of the unit, 2 fuel pool cooling and cleanup  
19 system and the unit 2 component cooling water  
20 system" --

21          A     Excuse me. Did you want me to read the  
22 first paragraph on the first page or the first

1 paragraph of the contention?

2 Q The first paragraph of the contention.

3 A I read the wrong paragraph then. Give me  
4 a minute. Sorry.

5 (Pause.)

6 (The record was read as requested.)

7 BY MR. O'NEILL:

8 Q -- "Unit 2 fuel pool cooling and cleanup  
9 system and the unit 2 component cooling water system  
10 fails to satisfy the quality assurance criteria of  
11 10 CFR Part 50, Appendix B, specifically criterion  
12 XIII (failure to show that the piping and equipment  
13 have been stored and preserved in a manner that  
14 prevents damage or deterioration.)"

15 Let's focus on that. Isn't it true that  
16 the 50.55a alternative plan addresses the fact that,  
17 during the period of time from 1983 to 1999, CP&L  
18 freely admits that there was no quality plan for  
19 storage and preservation of that piping, welds and  
20 other components?

21 A That's correct.

22 Q Okay. So that's what we're addressing is

1 the fact that we have components and piping and  
2 equipment that was not stored pursuant to a quality  
3 program.

4 A That is correct.

5 Q Okay.

6 A Among others. That is not the only --

7 Q I understand. One at a time.

8 "Criterion XVI (failure to institute  
9 measures to correct any damage or deterioration.)"

10 Now, is it your criticism that the  
11 alternative plan fails to institute measures?

12 A In the sense of failure of not being fully  
13 adequate, yes.

14 Q Okay. And what is not adequate in  
15 connection with CP&L's commissioning plan, quality  
16 assurance plan and other plans and procedures  
17 adopted to commission the unit 2 spent fuel pool  
18 cooling system?

19 A I think in the paragraph that starts  
20 "Moreover" in bold.

21 Q Yes.

22 A "Fails to satisfy the requirements of 10

1 CFR, Section 50.55a for an exception to the quality  
2 assurance criteria because it does not describe any  
3 program for maintaining the idle piping in good  
4 condition over the intervening years."

5 Continue on: "Nor does it describe a  
6 program for identifying and remediating potential  
7 corrosion and fouling."

8 That is our concern with the failures to  
9 the three criterion above.

10 Q Okay. I want to go to criterion XVII,  
11 "failure to maintain necessary quality records to  
12 show that all quality assurance requirements are  
13 satisfied."

14 CP&L begins with the admission and the  
15 predicate that certain quality records were  
16 inadvertently destroyed and do not exist; is that  
17 correct?

18 A That is correct.

19 Q Therefore, the 50.55a plan, alternative  
20 plan, is all about an alternative demonstration of  
21 the quality of the spent fuel pool cooling system;  
22 is that not correct? That's the purpose of it?

1           A     That is its purpose.

2           Q     Okay. Now, is it your position that the  
3     50.55a plan is in itself inadequate because the plan  
4     does not describe a program for identifying and  
5     remediating potential corrosion or fouling?

6           A     The application is deficient. I'm not  
7     sure I've parsed it out discretely enough to say  
8     that it's because the 550.55a alternative plan  
9     doesn't contain it or the whole submittal does not  
10    describe it.

11          Q     This contention, and we have to be very  
12    concerned about the words because this is what I  
13    have to litigate. The words say "the alternate  
14    plan," that's the "it," "does not describe a program  
15    for identifying and remediating potential corrosion  
16    and fouling."

17                    Is that not what the contention says?

18          A     That's what the contention says.

19          Q     Is that what you mean?

20          A     Yes.

21          Q     Okay. Now, do you understand what 50.55a  
22    is all about?

1           A     In this application I do. It's used in a  
2     number of places, and I can't swear that I  
3     understand where 50.55a is used everywhere else, but  
4     in this application I'd say yes.

5           Q     Have you ever prepared a 50.55a  
6     application in your work for a utility to obtain an  
7     exemption to a code requirement?

8           A     I've not prepared one. I've been the  
9     reviewer for plans when I worked in licensing  
10    groups.

11          Q     Okay. What is the requirement, the code  
12    requirement that the 50.55a plan addresses? The  
13    code requirement.

14          A     You're talking about the ASME code  
15    requirement?

16          Q     Correct.

17          A     I don't recall offhand what the wording of  
18    that code requirement is.

19          Q     If you don't recall the wording, do you  
20    understand what requirement the 50.55a plan  
21    addresses?

22          A     The purpose of the code is to ensure, or



1 the function of the code is to ensure that there is  
2 a certain quality standard that are met prior to the  
3 use of any safety-related system.

4 Q Okay. Now, what specifically, very  
5 specifically, does CP&L say it cannot meet and,  
6 therefore, requires an alternative plan?

7 A It cannot meet the quality assurance  
8 documentation of the welds and the construction of  
9 the spent fuel cooling system on unit 2. It lost --  
10 some of the records were destroyed -- were  
11 inadvertently destroyed and so on. It lacks that  
12 pedigree.

13 Q So it lacks some records for certain  
14 welds. Anything else?

15 A Well, the commissioning plan, not the  
16 alternative plan, there were also some things that  
17 were not yet installed and they had to go out and  
18 verify that the installation was complete.

19 Q But that's not part of the 50.55a plan, is  
20 it?

21 A That's correct.

22 Q Because the 50.55a plan only goes to what

1 is an exception to the code requirements.

2 A That's correct.

3 Q The code requirements are you will have  
4 documentation with respect to each of the Section  
5 III piping welds; is that not what we're talking  
6 about?

7 A That's correct.

8 Q And CP&L says, with respect to certain  
9 welds, we don't have the documentation?

10 A That is correct.

11 Q The 50.55a plan is designed to provide an  
12 alternative to satisfy the intent of the code  
13 requirements with respect to the documentation of  
14 the welds; is that not correct?

15 A Would you read that again?

16 (The record was read as requested.)

17 THE WITNESS: In this case it does, yes.

18 I think it's been used in other applications

19 elsewhere.

20 BY MR. O'NEILL:

21 Q Of course. Now, is there anything else  
22 that the 50.55a plan is designed to address, to your

1 knowledge and understanding of this process which  
2 you are the expert on?

3 A I don't believe so, no.

4 Q Okay. For example, the 50.55a plan does  
5 not address the heat exchangers, does it?

6 A That's correct.

7 Q Why doesn't it address the heat  
8 exchangers?

9 A It's not required to address the heat  
10 exchangers.

11 Q Because the heat exchangers meet all the  
12 code requirements; is that not correct?

13 A I'm not going to swear to that, no.

14 Q Okay. But you have no reason to believe  
15 that the heat exchangers don't meet the code  
16 requirements?

17 A I've never looked at that question, so I'm  
18 not going to say yes, or no.

19 Q It's not part of this contention, is it?

20 A It is not part of this contention. That I  
21 can answer.

22 Q Do you happen to know how the heat

1       exchangers were stored?

2           A     I do not happen to know how the heat  
3       exchangers were stored.

4           Q     But the heat exchangers can be inspected  
5       carefully to ensure that, A, they meet the code  
6       requirements and, secondly, that they haven't  
7       deteriorated, can they not?

8           A     Yes, the heat exchangers can be inspected  
9       to ensure that, A, they met all the code and, B,  
10      that they haven't deteriorated, yes.

11          Q     Similarly, the pumps can be inspected, can  
12      they not?

13          A     The pumps can be similarly inspected, yes.

14          Q     The piping that is accessible and not  
15      embedded in concrete can also be inspected, can it  
16      not?

17          A     The piping -- even the embedded piping can  
18      be inspected, yes.

19          Q     Okay. But the piping that is accessible  
20      can be inspected both with respect to the ID and the  
21      OD, can it not?

22          A     Would you --

1           Q     The piping that is accessible that is not  
2 embedded in concrete can be inspected from both the  
3 ID and from the OD, can it not? Internal diameter,  
4 outside diameter.

5           A     Yes, it could.

6           Q     Okay. With respect to the welds and the  
7 accessible piping, even if the weld data reports are  
8 missing, they can be recreated, can they not?

9           A     I'm not sure that all the weld records can  
10 be recreated. There are certain -- no, you cannot  
11 recreate all the original weld data. No, you can't.

12          Q     Is it your position that you cannot  
13 recreate a weld data record for welds that can be  
14 inspected and their pedigree can be verified both by  
15 inspection external and internal?

16          A     Part of the original welds records, data  
17 records, includes the welder's name and  
18 qualifications, and it's hard to do that by  
19 inspection 18 years later, so data like that is not  
20 going to be able to --

21          Q     Isn't it true that there is a welder  
22 symbol that is inscribed next to each of the welds?

1           A     There is. I don't know offhand if the  
2 cross-reference between those symbols and the  
3 welder's name is part of the records that were  
4 retained or part of the records that were discarded.

5           Q     And you didn't review those records that  
6 were provided at CP&L's offices with respect to all  
7 of the welds and all of the piping and all of the QA  
8 records that have been amassed relating to that  
9 piping?

10          A     I believe I answered earlier, we requested  
11 some documents. I haven't had a chance to review  
12 those documents. So I stand by that previous  
13 answer.

14          Q     This contention, however, does not address  
15 the welds with respect to the accessible piping,  
16 does it?

17          A     No, it does not.

18          Q     And, indeed, the 50.55a application  
19 doesn't address the welds with respect to the  
20 accessible piping, does it?

21          A     That is correct.

22          Q     The only thing that this contention

1 addresses, is it not true, is the embedded piping  
2 and embedded welds?

3 A The way it's worded, that's correct.

4 Q Well, that's what we're talking about is  
5 the way it's worded, right? I mean, that's the  
6 issue.

7 A That's correct.

8 Q In fact, this was recrafted to make sure  
9 that the issue was clarified after the prehearing  
10 conference, and this pleading is, indeed, Orange  
11 County's recrafting of the contention?

12 A I understand that.

13 Q In the April 7th, 1999, presentation that  
14 you made to the commissioners and the public -- if  
15 you will look at Exhibit 4. And you didn't number  
16 your pages here, but if you look at --

17 A Yes, I did.

18 Q I'm sorry. Slide 7. Yes, you did. Thank  
19 you. Slide 7. The last bullet says, "But the  
20 alternative plan covers the system in 1983, not how  
21 the intervening 15 years (of rust and neglect?) have  
22 affected it."

1                   That's your bullet.

2           A     That's correct. That's my bullet.

3           Q     And when you discussed this bullet --

4           A     Time out. Because of our arms control  
5 program, we don't use bullets. That's my item.  
6 It's a small point, but they prefer me not to do  
7 that.

8           Q     I certainly would not want to be  
9 politically incorrect.

10          A     I appreciate that very much.

11          Q     Notwithstanding the fate of the Nuclear  
12 Test Ban Treaty yesterday.

13                   At the time you discussed this on April  
14 7th, 1999, didn't you say, with respect to the  
15 alternative plan, "It shows, "it" referring to the  
16 spent fuel pool cooling system, "would work fairly  
17 well if we were in 1983"?

18          A     I don't recall that. If you lifted it off  
19 the tape, then I won't dispute it, but it sounds  
20 like something I said.

21          Q     You went on to say, "But it does not show  
22 whether there are any problems since 1983."



1 A I believe that. I don't --

2 Q And that's your position?

3 A That's my position, yes.

4 Q So is it fair to say that if we focus on  
5 this contention, that we do not have to prove,  
6 because you are not disputing that we have  
7 effectively recreated the pedigree of the system as  
8 of 1983; that is, we CP&L, has recreated adequately  
9 in the alternative plan the pedigree of 1983, but  
10 you fault the alternative plan for not dealing with  
11 what happened between 1983 and today?

12 A No, I don't think that's a fair  
13 characterization.

14 For the embedded welds, we have an issue  
15 that the original quality assurance requirements are  
16 not met. The alternative plan is the alternative to  
17 meeting the code, and we contend that that's not an  
18 adequate -- an equal replacement.

19 And in addition to that, the alternative  
20 plan, even if it were an equal replacement, just  
21 hypothetically even if it were, it doesn't address  
22 deterioration since 1983 when the system -- or early

1 '80s when the system was originally constructed.

2 Q Okay. Now, I want you to square what you  
3 just said with what you said in April 7th, 1999,  
4 because what I understood you to say in reviewing  
5 your presentation and reading your item --

6 A Thank you very much.

7 Q -- that your concern is not that the  
8 alternative plan is not adequate. Your concern is  
9 not that the alternative plan is inadequate in doing  
10 what it purports to do, which is to say, look, we  
11 don't have the documentation, but we can show that  
12 this was a quality built system.

13 Rather, your complaint is we have not  
14 shown what happened after 1993. Are you backing  
15 away from that now?

16 A No.

17 Q Explain what you meant.

18 A If you go back as we earlier covered, the  
19 July 1998 meeting I attended and the questions that  
20 came out of that, that wasn't my full universe of  
21 concerns obviously, because there were issues that  
22 came up after that.

1                   So to look at that letter and the letters  
2 immediately after that and say, that's all my  
3 concerns on the Harris spent fuel pool is  
4 inappropriate, just as looking at that document  
5 where, in a very short presentation you're trying to  
6 highlight the problems with a proposal, that cannot  
7 be -- should not be, I guess it was, but it should  
8 not be interpreted to be the broad and comprehensive  
9 concerns with the proposal.

10                   MR. O'NEILL: I ask the court reporter to  
11 mark as Exhibit 7 the Declaration of David A.  
12 Lochbaum, Nuclear Safety Engineer, Union of  
13 Concerned Scientists, Concerning Technical Issues  
14 and Safety Matters Involved in the Harris Nuclear  
15 Plant License Amendment for Spent Fuel Storage.

16   (Lochbaum Deposition  
17   Exhibit Number 7 was marked  
18   for identification.)

19                   BY MR. O'NEILL:

20                   Q     Do you have in front of you what has been  
21 marked as Exhibit 7?

22                   A     Yes, I do.

1 Q Did you prepare this declaration?

2 A Yes, I did.

3 Q Turn to paragraph 14 on page 7.

4 A Okay.

5 Q There you state, "The alternative plan, at  
6 best, provides assurance that the condition of the  
7 unit 2 spent fuel pool cooling system when the  
8 facility was cancelled in December 1983 satisfied  
9 the quality standards specified in 10 CFR 50.55a."

10 Is it your position that the alternative  
11 plan satisfies the quality standards, at least as of  
12 1983?

13 A Well, you're throwing out my "at best"  
14 part.

15 Q All right. Well, I understand that, but  
16 I'm going to probe that.

17 But you have a chance now to say either it  
18 does or doesn't and, if not, why?

19 A At the time I wrote this and today, and  
20 all the periods between those two, I did not think  
21 -- I do not think that the alternative plan provided  
22 adequate assurance that the welds were adequate and

1 met all the requirements of 10 CFR 50.

2 Q Okay. Now, I want you to very carefully  
3 specify what is wanting in the alternative plan with  
4 respect to establishing equivalent quality of the  
5 welds in 1983.

6 I don't want to talk about between '83 and  
7 '99. I want to just focus on that one limited  
8 aspect.

9 I want you specify every concern and every  
10 issue where you believe, in your capacity as an  
11 expert, that the 50.55a alternative plan does not  
12 establish the quality of those welds as of December  
13 '83.

14 A Within that scope?

15 MS. CURRAN: I just need to interrupt here  
16 for a minute because I'm getting confused, because  
17 when you started this line of questioning, and I  
18 think it would just help to clarify -- when you  
19 started this line of questioning you were asking  
20 about the first criterion that's listed here and you  
21 said, that's what I want to talk about.

22 And I think that's where some of the

1 confusion is coming up here, that that criterion has  
2 to deal with storage and preservation of piping and  
3 equipment, and now it seems like the welds are  
4 getting into the questioning.

5 I just want to clarify that because I  
6 think it's getting confused.

7 BY MR. O'NEILL:

8 Q Are you confused, Mr. Lochbaum?

9 A Not on that point.

10 Q Thank you.

11 You can answer the question now. Would  
12 you please answer the question.

13 A I thought you were getting ready to say  
14 something.

15 Q No.

16 A Within that scope, the alternative plan  
17 doesn't require all of the embedded welds to be  
18 certified. There is a sampling done.

19 In the original case, under 10 CFR, Part  
20 50, every weld was examined, not a sampling, not  
21 even a majority. All of the welds were verified.

22 Had the system been turned over for

1 construction or turned over for operation from  
2 construction and then the records subsequently  
3 destroyed, there would have been greater assurance  
4 in my mind that all of the loose ends, all the  
5 little bitty things that can go wrong during  
6 construction had been fully resolved because that  
7 has to be checked and rechecked before a system is  
8 turned over.

9 That wasn't the case at Harris, that the  
10 system was -- construction on this system was  
11 stopped before we got to that point and reached that  
12 plateau or that milestone.

13 Because of that, or where it was when it  
14 was stopped and then resumed, in my mind, the  
15 alternative plan doesn't provide an equivalent level  
16 of protection as would have been done under Part 50  
17 or, if all these, you know, examinations and so on,  
18 even on an audited basis had been done after the  
19 system had been turned over and accepted, where  
20 there would have been a greater level of assurance  
21 that all the loose ends had been taken care of.

22 Q I want you specify here today specifically

1 what was not done at the time the welds were encased  
2 in concrete. Prior to that, the system was  
3 hydrottested, so all the welds were hydrottested.

4 What wasn't done at that point that you  
5 have a concern about which can't be through the  
6 alternative plan demonstrated?

7 A That's part of the discovery. I haven't  
8 reviewed all the discovery documents. Some of the  
9 discovery requests we made will allow me to answer  
10 that question. Absent that review, I can't -- I  
11 literally cannot answer that question at this  
12 moment.

13 Q So the answer to the question is you do  
14 not know?

15 A No, your question was you wanted me to  
16 specify each and every one.

17 Q Yes.

18 A And I cannot answer that question because  
19 I haven't done that work yet.

20 Q All right. I want to you specify one.  
21 Tell me one thing that was not done at the point  
22 that this system was hydrottested and was completed,



1 the concrete pour cards were filled out, it was  
2 encased in concrete, that your concern was not done.  
3 One thing.

4 A Had the system been turned -- the system  
5 was not turned over.

6 Q The entire system was not turned over.

7 A Right.

8 Q That section of piping was clearly turned  
9 over before it was encased in concrete. My point  
10 is, what wasn't done pursuant to procedures?

11 A That's the document request. We haven't  
12 reviewed those discovery documents to answer that  
13 question.

14 It goes back to the earlier answer, the  
15 full system wasn't turned over. That would have  
16 done the checks to ensure that those -- the things  
17 that should have been completed before we poured  
18 concrete were done.

19 I agree with you in that, if you did the  
20 final system review and acceptance, which is done,  
21 it would have been late in the game to discover that  
22 you missed something in an embedded system. But

1 that final check was not done, so I'm not going to  
2 stipulate or concede that everything was done  
3 correctly until I review those documents.

4 Q Did you ask for the hydrotest reports?  
5 Did you ask for them when you were in Raleigh?

6 A I don't recall every single document  
7 request.

8 Q Did you ask for the weld data reports that  
9 existed?

10 A No, I did not.

11 Q Did you ask for all of the procedures  
12 relating to welding, quality inspection and all  
13 other QA procedures that go to the construction of  
14 the spent fuel pool cooling system, particularly the  
15 piping?

16 A I don't think we asked for all of  
17 anything, so I think that's a safe answer, no.

18 Q Okay. Did you ask for any of it?

19 A We asked for some of those documents, yes.

20 Q I mean -- well, you have all the documents  
21 that you asked for because they've been shipped to  
22 your counsel. So BCOC has them. And you haven't

1 reviewed them?

2 A Well, as I answered your earlier question,  
3 I wasn't sure we received all the discovery  
4 documents. I can't attest to that.

5 Q Okay. Let's go back to what has been  
6 marked as Exhibit 6.

7 Setting aside for the moment your concerns  
8 regarding what happened between '83 and '99, can you  
9 state today any other fact or opinion that goes to  
10 the issues you have with the 50.55a plan?

11 A The 50.55a plan in our mind -- in my mind,  
12 not our mind, I only brought one today -- does not  
13 address deterioration of the embedded piping and  
14 welds since installation.

15 Q Right. I said other than that. I said,  
16 in other words --

17 A Okay.

18 Q -- pre-'83. I'm asking, is there any  
19 other fact --

20 A No.

21 Q -- or opinion that you have?

22 A No.

1           Q     Okay. Now, would it have been  
2     appropriate, given your understanding of what is  
3     required by the regulations in 50.55a, to have  
4     elaborated in the alternative plan on what measures  
5     would be taken to inspect and deal with  
6     deterioration?

7                     Was that an appropriate use of the 50.55a  
8     alternative plan?

9           A     I think 50.55a was intended -- I didn't  
10    research the statements of consideration, but my  
11    understanding of 50.55a is that, it's one of the  
12    things we're trying to pursue in discovery and  
13    interrogatories, it has not been applied to a plant  
14    that has been sitting in mothballs for 18 years and  
15    brought out.

16                    So the concern would be whether 50.55a is  
17    a proper way to do what is being done or sought in  
18    this case.

19           Q     Isn't the only thing that 50.55a is doing  
20    is addressing missing records?

21           A     CP&L in our view, in my view, is  
22    attempting to use it for broader than that. It's

1 also trying to use it to accept a system that's been  
2 sitting there for many years.

3 Q What is the basis of your statement that  
4 CP&L is attempting to use 50.55a to do more than  
5 what the plan says it intends to do?

6 A Because there is no discussion anywhere  
7 else of looking for or searching for signs of  
8 deterioration or problems in layup in intervening  
9 years.

10 Q Are you aware of the inspections that were  
11 carried out on the accessible piping and welds?

12 A I know that some were done.

13 Q Are you aware of the results?

14 A I saw some of the results, yes.

15 Q And did the results give you confidence  
16 that the piping seemed to be maintained in pretty  
17 good condition?

18 A Of the results I've looked at to date,  
19 yes, but I also need to qualify that because that's  
20 some of the documents we requested, and I still have  
21 a review ongoing. But as of today, I haven't found  
22 anything in that -- in addressing your question that

1 raised a concern.

2 Q Can you think of any reason that would  
3 have a technical basis, a scientific basis as we  
4 understand science, why the piping at the low end of  
5 the system that happens to be the accessible piping  
6 would be any different in its response to the  
7 environment in which it was as to the piping that  
8 happens to be encased in concrete?

9 A Yes. A number of plants have reported  
10 problems with corrosion from the outside, where  
11 boric acid or other materials leaked in and affected  
12 pipe quality from the outside because of thinning of  
13 walls or actually through wall cracks.

14 Q So that the piping that is accessible and,  
15 therefore, susceptible to some sort of external  
16 factor might be more likely to degrade than  
17 something that's encased in concrete and is not  
18 subject to any external factors; is that what you're  
19 saying?

20 A No, that's not what I'm saying. That's  
21 what you're saying.

22 I'm saying that, looking at one section of

1 pipe isn't -- that piece of pipe isn't necessarily  
2 bounding for all the other pieces of pipe.

3 That's kind of why you do -- inspect all  
4 the piping before you accept the system from  
5 construction to operation. That's kind of like why  
6 you inspect all the welds instead of just the one  
7 limiting weld.

8 There are local factors, environmental  
9 factors that can affect piping.

10 Q Let's look at the internal diameter of the  
11 piping taken as a whole. And since you're a -- all  
12 of the internal diameter of the many hundreds of  
13 feet of piping.

14 A Did the volume.

15 Q Okay. Assume -- this is a hypothetical  
16 question and you're an expert and I get to ask you  
17 hypothetical questions.

18 A We went through that once before, I  
19 remember.

20 Q Assume that the piping has seen the same  
21 environmental condition. It's all connected. The  
22 same water, same quality of water. Whatever it was,

1 all of the piping has seen the same quality of water  
2 that's been flooded for some number of years, over  
3 ten years, okay, with the same water. No different  
4 in the top or in the bottom, in the middle. All the  
5 same water.

6 Explain to me how it could be that the  
7 piping, the top or at the middle, encased in  
8 concrete, could be affected differently than the  
9 piping that was accessible and outside the concrete.

10 Tell me any reason why that could happen.

11 A Let's take two welds, one that's in the  
12 lower bottom portion that's accessible that you  
13 referred to, and one that's inside the -- embedded  
14 inside the concrete.

15 Q Um-hum.

16 A If the weld inside the embedded concrete  
17 had a flaw in it, some kind of mistake, and it  
18 wasn't the equivalent weld as the one that was  
19 accessible, then the same quality water could  
20 produce a deterioration of that weld as opposed to  
21 the weld that was accessible and inspectable.

22 Q So if you inspect all the welds or inspect



1 any weld, you can tell whether or not that happened,  
2 I take it?

3 A If you look for that, you should be able  
4 to see that, yes. I also need to say that that's an  
5 example. That's not --

6 Q Give me any more examples.

7 A Again, that's assuming that the only  
8 deterioration or the only -- I'm not even going to  
9 use that. The only attack could be from inside. If  
10 you had some corrosion from the outside, then having  
11 all the water inside the pipe be the same quality  
12 would not say anything to the quality of that pipe  
13 from external attack.

14 Q Are you aware of any stainless steel  
15 piping that has been subject to attack from the  
16 outside in this application?

17 A I'm not aware of it. I also haven't done  
18 that part of the research yet.

19 Q Okay. If we look at paragraph 3 of  
20 contention 3, you focus on the 15 welds for which  
21 quality records are missing and are embedded in  
22 concrete, and state "Inspection of the welds to

1 demonstrate weld quality cannot be adequately  
2 accomplished with a remote camera."

3 What's the basis of that statement?

4 A The basis for that statement was when I  
5 looked at what was done for the accessible welds and  
6 compared that to what was done for these welds, it  
7 didn't seem to be the same standard. It seemed to  
8 be to a lower standard.

9 So it was that review or that conclusion  
10 that formed the basis for this paragraph.

11 Q It certainly is different --

12 A It is different.

13 Q -- I agree to that. Why isn't it  
14 adequate?

15 A In our view, in my view -- I've got to  
16 stop doing that.

17 In my view, it is not the same quality  
18 level as doing all the inspections that were done  
19 for the accessible welds.

20 Q Even if we concede that it's not the same,  
21 the question is, is it adequate to ensure that the  
22 piping will perform in the -- for the function for

1 which it was designed?

2 A Well, I think the contention as written  
3 says it's not.

4 Q And my question to you is why. I mean,  
5 you can't just say it's different, therefore, it's  
6 not adequate. You have to make that leap. Where's  
7 the flaw? What's the problem?

8 A If a camera inspection was fully adequate  
9 substitution, and because it's somewhat simpler to  
10 do that than all the inspections that were done for  
11 the accessible welds, then why wouldn't that be done  
12 for all the welds in the plant instead of just the  
13 ones that couldn't be done in this case.

14 Q Do you know what kind of inspection is  
15 required by the ASME code, Section III, welding  
16 procedures for this piping?

17 A I could not cite them to you.

18 Q Is any internal inspection actually  
19 required?

20 A I believe those internal inspections were  
21 the ones that were done when the thing was thrown  
22 away.

1 Q My question is, is an internal inspection  
2 required in the first instance?

3 A I don't know. I'd have to look at the  
4 code. I don't know the answer to that question.

5 Q Assume for a moment hypothetically that  
6 all that the code requires is a visual inspection on  
7 the OD and a di-penetrative test of the OD.

8 Isn't this actually going beyond what is  
9 required? That's a hypothetical question which you  
10 can answer as an expert.

11 A I understand. I don't recall having seen  
12 the test records for the testing on the ODs for  
13 those things. So I'm not sure -- since you take  
14 away that portion during this visual inspection,  
15 it's considered to be more since I don't -- where's  
16 the record documentation of the thing that you're  
17 hypothetically assuming?

18 Q Okay.

19 A Unless you're assuming that's been  
20 recovered somehow.

21 Q Is there any other reason, objection,  
22 concern that you have with respect to this visual

1 inspection with a remote camera other than it's  
2 different and, therefore, not the same?

3 A The concern that we raised, that we have,  
4 I have, is that the visual inspection scope was  
5 pretty much limited to the quality of the welds, not  
6 the quality of the piping in anything other --  
7 pretty much the piping. So it was pretty much  
8 limited to the welds.

9 Q What was the basis of that statement that  
10 you just made?

11 A It was one of the documents within the  
12 application. I forget exactly which attachment or  
13 enclosure it was to the document, but when I  
14 reviewed what was looked at, it seemed to be focused  
15 almost exclusively on the welds.

16 Q Did you read the inspection procedure for  
17 the visual inspection?

18 A We have requested that. And I think it's  
19 one of the documents we requested. I think I saw  
20 actually two copies because I didn't keep real good  
21 track when I was down at CP&L.

22 Q Did you review it?

1           A     As I said earlier, we've requested it. I  
2 haven't yet reviewed all the documents we've  
3 received.

4           Q     Assume for the moment that when the camera  
5 goes through the piping, they don't shut it off as  
6 it goes past the piping lengths to get to the weld,  
7 and that indeed they look at it and then they look  
8 at the welds and then look at the next section of  
9 the pipe.

10                    Would that satisfy that concern that you  
11 just hypothesized?

12           A     When a QC inspector goes out to look at a  
13 piece of equipment in the field, he walks by a lot  
14 of the parts of the plant before he gets to the  
15 component he's looking at.

16                    Taking credit for him wandering past all  
17 the other portions of the plant that he gets to to  
18 the component he's looking at is not an adequate  
19 substitute.

20                    So I have to answer the question no,  
21 that's not an adequate --

22           Q     If you have this entire inspection of all

1 the length of the piping recorded by videotape, and  
2 a slew of experts can all sit down and look at it  
3 and indeed do instant reply and rewind, doesn't that  
4 revolve your concern that somebody has wandered by  
5 to get to the point in which they were inspecting?

6 A I have not seen any documentation where a  
7 slew or even a quarry or a gaggle of experts has sat  
8 down and documented it and signed off to that.

9 Q Okay. Did you review the videotapes?

10 A I saw them in the box. We did not request  
11 a copy of them. But there were some photographs  
12 taken, and I did look at the photographs.

13 Q Right. But you didn't request a copy of  
14 the photographs?

15 A Did not request a copy of the photographs  
16 or of the videos.

17 Q And since you're not an expert in this  
18 area, you probably wouldn't have known what you were  
19 looking at; is that a fair statement?

20 A I would have known what I was looking at.  
21 I wouldn't have testified that it was good, bad or  
22 indifferent.

1 Q Okay. The fourth paragraph says,  
2 "Finally, the alternative plan is deficient because  
3 not all of the welds will be inspected by the remote  
4 camera."

5 I take it that, hypothetically, this  
6 concern would go away if all of them were inspected?

7 A Hypothetically, that's correct.

8 Q Okay.

9 A Well, it would roll back into the previous  
10 concern.

11 Q I understand.

12 A Okay. I just didn't want to give up  
13 anything there.

14 MR. O'NEILL: Off the record.

15 (Discussion off the record.)

16 BY MR. O'NEILL:

17 Q Referring to Exhibit 7, paragraph 7, you  
18 begin listing documents upon which you have examined  
19 and relied.

20 A That's correct.

21 Q Tell me what you have relied upon in Dr.  
22 Thompson's study, "Risks and alternative options



1 associated with spent fuel storage at the Shearon  
2 Harris Nuclear Power Plant" in connection with your  
3 opinions relating to contention 3.

4 A There is nothing in Dr. Thompson's report  
5 that I relied upon for contention number 3.

6 MR. O'NEILL: I've asked the court  
7 reporter to mark as Exhibit 8 a document entitled IE  
8 Information Notice Number 85-30: Microbiologically  
9 Induced -- two words -- Corrosion of Containment  
10 Service Water System, dated April 19, 1985, a  
11 three-page document.

12 (Lochbaum Deposition  
13 Exhibit Number 8 was marked  
14 for identification.)

15 MR. O'NEILL: We will refer to  
16 microbiologically induced corrosion as MIC, M-I-C,  
17 for the benefit of the court reporter.

18 BY MR. O'NEILL:

19 Q Mr. Lochbaum, did you rely on Exhibit 8 in  
20 forming your opinions set forth in your declaration?

21 A Yes, I did. On page 5 of the declaration,  
22 paragraph 9(e), I described how I used or how I

1       relied upon this information notice.

2           Q       And that document, by the way, just for  
3       the record, is Exhibit 7; is that not correct? Your  
4       declaration.

5           A       My declaration is Exhibit 7, that's  
6       correct.

7           Q       Was the piping at H.B. Robinson unit 2 the  
8       same material as the piping at Shearon Harris?

9           A       I don't know that. They were both made of  
10       stainless steel. I don't know if they are the same  
11       type.

12          Q       Was the water in the piping at H.B.  
13       Robinson the same as the water in Shearon Harris?

14          A       I would not believe so, but I don't know.

15          Q       What is the system of the piping at H.B.  
16       Robinson?

17          A       H.B. Robinson, the system is the steam --  
18       it was the service water system.

19          Q       And what kind of water is in the service  
20       water system?

21          A       Generally untreated -- well, not  
22       untreated, not demineralized water. Let's put it

1 that way.

2 Q Do you know what kind of water is in the  
3 service water system at Robinson?

4 A No, I do not.

5 Q Do you know the source of the water?

6 A No, I do not.

7 Q What happened at H.B. Robinson upon which  
8 you rely in forming your opinions with respect to  
9 Shearon Harris?

10 A Quoting from page 5 of my declaration,  
11 Exhibit 7, "According to this NRC document,  
12 stainless steel piping at the Robinson plant  
13 experienced significant corrosion pitting during an  
14 outage lasting one year."

15 Q And what was the evidence of that pitting?

16 A The documentation was this information  
17 notice.

18 Q What was the evidence of the corrosion  
19 pitting at the plant?

20 A According to the information notice,  
21 "Visual inspection of the entire system revealed  
22 minor leakage at a total of 54 weld joints, 32

1     inside and 22 outside containment. Further  
2     radiographic examination revealed evidence of  
3     localized corrosion pitting on the inside surface at  
4     many other austenitic piping weld joints of the  
5     system."

6           Q     What was the mechanism that caused the  
7     pitting?

8           A     According to this information notice, it  
9     was MIC.

10          Q     During what period of time did the MIC  
11     occur?

12          A     According to this information notice --  
13     according to this information notice, it was during  
14     the year 1984.

15          Q     In a period less than a year?

16          A     A period of less than a year.

17          Q     Relatively rapid?

18          A     I'm going to stick with a period less than  
19     a year.

20          Q     Does the NRC explain what conditions can  
21     relate -- can result in MIC in stainless steel in a  
22     nuclear plant?

1 A Yes.

2 Q Do those conditions include stainless  
3 steel that is exposed to demineralized treated  
4 water?

5 A This information notice does not exclude  
6 that.

7 Q Does it include it?

8 A It's hard to say because it says a variety  
9 of environments.

10 Q "Including soils, sediment, natural fresh  
11 water (for example, wells, rivers, lakes), brackish  
12 and sea water, as well as oil and other natural  
13 petroleum products."

14 Is demineralized treated water fairly  
15 included in that list?

16 A I would not include it, no.

17 Q I see. I know you're not an expert in  
18 corrosion, but do you believe that the environment  
19 in which a material is exposed to might have some  
20 influence on its susceptibility to corrosion?

21 A That's what the NRC has said. And I  
22 believe that, yes.

1 Q You believe that, too?

2 A Yes, I do.

3 Q Okay.

4 MR. O'NEILL: I ask the court reporter to  
5 mark as Exhibit 9 an IE information notice number  
6 85-56 entitled Inadequate Environment Control for  
7 Components and Systems in Extended Storage or Layup,  
8 dated July 15, 1985.

9 (Lochbaum Deposition  
10 Exhibit Number 9 was marked  
11 for identification.)

12 BY MR. O'NEILL:

13 Q Mr. Lochbaum, have you had a chance to  
14 look at what has been marked as Exhibit 9?

15 A Yes, I have.

16 Q Is this one of the documents referenced in  
17 your declaration, which is Exhibit 7, that you state  
18 you relied on in forming your opinions regarding  
19 Shearon Harris spent fuel pool cooling system  
20 piping?

21 A Yes.

22 Q Tell me how you've relied on this

1 document.

2 A On page 5 of my declaration, which is  
3 Exhibit 7, it would be paragraph 9(f), I described  
4 what I gleaned or what I relied upon in the  
5 information notice.

6 Q What was the material in the heat  
7 exchanger that was affected in this information  
8 notice?

9 A The problem was the copper alloy tubes and  
10 the carbon steel tube sheets and water boxes.

11 Q What environment did the copper and carbon  
12 steel see that resulted in the degradation?

13 A It states that standing water on the tube  
14 side had been stored for a number of years,  
15 apparently approximately eight years. It doesn't  
16 say whether that was demineralized water or not.

17 Q Did they know what kind of water it was?

18 A No. The information notice says "the  
19 source of the water is unknown." They hypothesized  
20 it was inadequately drained after hydrotesting.

21 Q What was the cause of the degradation to  
22 the heat exchanger?

1           A     It says corrosion. It's not real clear as  
2 to whether it was MIC or something else.

3           Q     If you look at page 2 of the first  
4 paragraph, since you don't have the independent  
5 knowledge, can we establish that at least this  
6 report says that "Corrosion has been attributed to  
7 microbiological growth in the stagnant water that  
8 was in the system during the extended outage"?

9           A     Well, I believe that was for H.B.  
10 Robinson.

11          Q     I'm sorry. You're right. You're right.  
12 So we're not sure what caused the corrosion in the  
13 heat exchanger at -- what was it, Palo Verde?

14          A     Nine Mile Point, unit 2.

15          Q     Nine Mile Point.

16                 I know you're not an expert in corrosion,  
17 but do you think that different materials might  
18 respond differently to microbiological attack?

19          A     I strongly suspect it, yes.

20          Q     And we already established that different  
21 environments might also influence any type of  
22 corrosion.



1           A     That's correct.

2   (Lochbaum Deposition  
3   Exhibit Number 10 was  
4   marked for identification.)

5                   BY MR. O'NEILL:

6           Q     I've asked the court reporter to mark as  
7     Exhibit 10 an NRC Information Notice, 94-38.  
8     Results of a Special NRC Inspection at Dresden  
9     Nuclear Power Station Unit 1 Following a Rupture of  
10    Service Water Inside Containment.

11                   Mr. Lochbaum, have you had a chance to  
12    look at Exhibit 10?

13           A     Yes, I have.

14           Q     Is this one of the documents that you  
15    referenced in your declaration, which is Exhibit 7,  
16    and which you stated you relied in forming your  
17    opinions in that declaration?

18           A     That's correct, it is.

19           Q     Would you tell me how you relied on this  
20    document and a problem at Dresden 1 in giving  
21    opinions about Shearon Harris spent fuel pool  
22    cooling system piping.

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1           A     On page 5 of my declaration, which is  
2     Exhibit 7, paragraph 9(g), I described how I relied  
3     upon this information notice.

4           Q     Now, isn't it true that the problem at  
5     Dresden was the result of rupture of piping that was  
6     frozen?

7           A     That is the cause, yes.

8           Q     Do you expect that the spent fuel pool  
9     handling building is going to be subject to  
10    temperatures at Shearon Harris that will result in  
11    piping freezing?

12          A     No, but I would expect a reasonable,  
13    prudent licensee to look at this event and look at  
14    its systems on the long-term storage to see if there  
15    was any potential problem.

16                    In addition --

17          Q     What did your counsel just point to and  
18    show you in this exhibit? Not your counsel, excuse  
19    me -- the counsel for BCOC.

20          A     My counsel pointed to the paragraph on the  
21    second page of this document, and the page numbering  
22    is a little skewed because you have page 2 and 3 on

1 the same document.

2 Q Um-hum.

3 A Towards the top, the paragraph that starts  
4 out "The water quality in the SFP was poor."

5 Q What was the water quality? What kind of  
6 water are we talking about in the spent fuel pool?  
7 SFP is spent fuel pool, isn't it?

8 A Yes, it is.

9 Q And what kind of water was in there?

10 A At this plant at Dresden I believe it's  
11 just -- it's not borated water. It's just regular  
12 water. Originally, it was demineralized, but they  
13 had taken up the cleanup system at some time  
14 previously.

15 Q And what did that result in?

16 A Water quality that didn't meet the  
17 chemistry specifications.

18 Q Indeed, this -- on the same paragraph you  
19 referred us to on page 2 of 3, second paragraph,  
20 notes that the water quality by 1987 had degraded to  
21 the point that an influx of microorganisms had  
22 developed. Do you see that?

1 A Yes, I do.

2 Q This plant was shut down, wasn't it?

3 A Yes, it was. Still is.

4 Q It was shut down in 1983?

5 A It was shut down earlier than that, but it  
6 remained shut down in 1983.

7 Q The original cleanup and cooling system  
8 was shut down in 1983 I guess is what I was  
9 referring to.

10 A That's correct.

11 Q What does this have to do with Shearon  
12 Harris?

13 A Again, it goes back to opportunities to be  
14 aware of the need to properly maintain equipment in  
15 layup in proper condition.

16 Q Is there anything here that informs your  
17 opinions with respect to the welds and piping that  
18 are encased in concrete at the Shearon Harris  
19 Nuclear Power Plant that I should be looking at?

20 A The reason I included this in the  
21 declaration, and I can explain that purpose and  
22 whether that answers your question or not I'm sure

1 we'll find out, is that I was aware of problems  
2 caused by systems in long layup, this being one of  
3 them. Since I was aware of them, the licensee who  
4 got this thing should also be aware of those  
5 problems.

6 So being aware of these problems, when I  
7 looked at the application and didn't see any address  
8 of deterioration over time, a concern was raised.  
9 So that's the reason this information notice was  
10 relied upon in my declaration.

11 Q Do you have an opinion on the quality of  
12 the construction at Shearon Harris in general?

13 A No, I do not.

14 Q Do you have an opinion on the operation at  
15 Shearon Harris over the last 12 years?

16 A Not over the entire period. In recent  
17 history we have provided information to Chatham  
18 County, specifically the chair, I believe her name  
19 is Alice Gordon, about operation at the Shearon  
20 Harris plant.

21 Q And what is your understanding of the  
22 operation at Shearon Harris?

1 A Over that time period, which was not --

2 Q Whatever time period you have any  
3 information on.

4 A It was within the last couple of years.

5 Q Um-hum.

6 A What we told Chair Gordon was that the  
7 plant was a better than average performer.

8 Q And that would be consistent with the  
9 statistics which one reviews in evaluating the  
10 performance of a nuclear plant; is that not true?

11 A What statistics are you referring to?

12 Q Capacity factor, numbers of enforcement  
13 violations, IMPO ratings.

14 A I cannot review IMPO ratings, so I don't  
15 know whether those are or are not consistent.

16 But my conclusion was based on looking at  
17 information, publicly available information, so it  
18 would have to be consistent.

19 Q Now, you have periodically published a  
20 little report on what UCS views as the good, the bad  
21 and the ugly, have you not?

22 A No, we have not.

1 Q You have never published a report called  
2 The Good, The Bad and The Ugly?

3 A You said periodically, which implies more  
4 than once. It was a one-time report.

5 Q Is Shearon Harris one of the good plants  
6 as you characterize them?

7 A I don't recall Shearon Harris being one of  
8 the ten plants we looked at.

9 Q Okay.

10 A So it was neither good, bad or ugly.

11 Q Are you aware of any problems with the  
12 unit 1 spent fuel cooling and cleanup system?

13 A I did not look, but I'm not aware of any  
14 problems.

15 There is an appendix to the book that list  
16 problems at plants, and I don't recall if Shearon  
17 Harris is on that list or not. That was done some  
18 time ago.

19 Q Are you aware of the sequencing of  
20 construction of the spent fuel coolant piping and  
21 the fuel handling building during the construction  
22 of the Shearon Harris plant?

1           A     In general. I don't know the specifics of  
2     the sequencing, no.

3           Q     Do you know whether or not, for example,  
4     all of the piping for all four spent fuel pools was  
5     generally constructed at the same time and all of  
6     the concrete for all of the spent fuel pools was  
7     generally poured at the same time?

8           A     That's my understanding, yes.

9           Q     So it would be fair, would it not, to  
10    assume that the quality of the piping at unit 1  
11    should not be very much different from the quality  
12    of the piping at the unit 2 spent fuel cooling  
13    system?

14          A     It would be in the same ballpark, that's  
15    correct.

16          Q     Do you have an opinion on the quality of  
17    the QA organization and its effectiveness during the  
18    construction at the Shearon Harris plant?

19          A     You know, in my declaration, there were  
20    some inspection reports cited noting some problems  
21    of quality assurance, but I wouldn't -- that  
22    wouldn't lead me to believe that the quality



1 assurance program at Shearon Harris was deficient or  
2 had a programmatic breakdown.

3 Q Are you aware of the overall quality of  
4 the welding program at Shearon Harris which was  
5 conducted by Shearon Harris as opposed to -- by CP&L  
6 employees as opposed to by an outside vendor?

7 A No.

8 (Lochbaum Deposition  
9 Exhibit Number 11 was  
10 marked for identification.)

11 BY MR. O'NEILL:

12 Q I've asked the court reporter to mark as  
13 Exhibit 11 the results of an NRC inspection, a cover  
14 letter from Charles Murphy to J.A. Jones dated  
15 January 2, 1981, which is two pages, appendix A,  
16 which is a one-page notice of violation, and five  
17 pages which are the results of inspection on  
18 November 1, 1980.

19 Do you have that document, Mr. Lochbaum?

20 A Yes, I do.

21 Q What was your -- how did you rely on this  
22 document in forming the opinions in your

1 declaration?

2 A On page 6 of my declaration, which is  
3 Exhibit 7, paragraph 10 points out that the licensee  
4 was cited for failure to store equipment in  
5 accordance with instructions to prevent damage or  
6 deterioration.

7 Q What was the severity level of that  
8 violation?

9 A Severity level of that violation was level  
10 V. Excuse me.

11 Q Do you want to look at that again?

12 A I do, just to make sure. It was a  
13 severity level V violation.

14 Q Would you look at the appendix A, Notice  
15 of Violation.

16 A Yes.

17 Q Is the violation you're referring to B?

18 A Yes.

19 Q What does that say with respect to  
20 severity level?

21 A This is a severity level -- oh, sorry, VI.  
22 I've got my Roman numerals -- I did look at it, I

1 just --

2 Q Roman numeral VI, V-I, right?

3 A Yes. Severity level VI.

4 Q We don't even have those anymore, do we?

5 A We don't even have V's anymore.

6 Q Right because they are so trivial?

7 A And IV's are very rare, too.

8 Q Right. Okay.

9 If you look at the write-up on this  
10 particular violation on page 3 of the inspection  
11 report, under 7(b), second paragraph, it says,  
12 "However, since sufficient corrective action was  
13 taken to resolve the one unsatisfactory condition  
14 identified and CP&L is conducting closer  
15 coordination between those responsible for  
16 maintenance and those who requisition materials, a  
17 written response will not be required for this item.  
18 Except as noted, no violations or deviations were  
19 identified in the areas inspected."

20 Does that suggest this was a very  
21 significant item?

22 A No, it does not suggest that.

1 Q In fact, interestingly, the next item,  
2 number 8, was on welding, was it not?

3 A Yes, it is.

4 Q And they didn't see any violations or  
5 deviations in welding, did they?

6 A That's correct.

7 Q And this specifically had to do with  
8 welding on ASME code 3 piping, I note. Was that not  
9 true?

10 A That is correct.

11 Q So, Mr. Lochbaum, what was the purpose of  
12 citing this trivial violation in your declaration?  
13 Did you just go through and look for any violation  
14 that you could possibly find during construction and  
15 sort of say, ah, I've got some violations here; I'll  
16 throw them in my declaration? What was the purpose?

17 A To show that there was a problem at this  
18 site with the storage and layup of equipment.

19 Q Was this a problem?

20 A It is representative of a problem, yes.

21 Q This was a very small violation of which  
22 you will see many, many, many of this variety and

1 much more during any inspection of any construction  
2 site because no one is absolutely perfect in the  
3 area of storage and in the areas of welding and in  
4 the areas of quality control.

5           There are always going to be something you  
6 can find wrong, but this is pretty small in the  
7 relationship to the universe of violations; is that  
8 not true?

9           A     I wouldn't agree with that, because on  
10 page 4 of this document you said they found no  
11 violations of welding --

12           Q     Correct.

13           A     -- problems. And the question was, when  
14 you do inspections, you'll find them all the time.

15                     So I have to disagree.

16           Q     Well, they found two violations during  
17 this inspection, is that not true, this A and B?

18           A     Well, you just asked me this welding in  
19 ASME Section III, which was included in that long,  
20 rambling question you asked me. So I had to answer  
21 that question no.

22           Q     Okay. So we have your first inspection

1 report that has this one little minor violation.

2 A I'm going to disagree because I don't  
3 consider it little, but it has one finding.

4 Q Both of which are category 6, which are  
5 not even reported any longer.

6 A Well, no plants are in construction  
7 anymore. So that's true, too. I'm not sure that's  
8 relevant to the matter at hand.

9 MR. O'NEILL: I ask the court reporter to  
10 mark as Exhibit 12 a document dated August 5, 1981,  
11 a two-page cover letter from R.C. Lewis at the NRC  
12 to Mr. J.A. Jones, a notice of violation is appendix  
13 A, and then an inspection report consisting of five  
14 pages.

15 (Lochbaum Deposition  
16 Exhibit Number 12 was  
17 marked for identification.)

18 BY MR. O'NEILL:

19 Q Have you had a chance to look at what has  
20 been marked as Exhibit 12?

21 A Yes, I have.

22 Q Did you rely on this document in forming

1 your opinions that are set forth in your declaration  
2 that is Exhibit 7?

3 A Yes, I did.

4 Q How did you rely on this document?

5 A I relied on this document as described on  
6 page 6 of my declaration, which is Exhibit 7,  
7 specifically paragraph 11.

8 Q What was the violation here?

9 A The violation was failure to provide  
10 records of inspection and monitoring of work  
11 performance.

12 Q What activity was this relating to?

13 A According to the inspection report, this  
14 activity was a unit 1 containment building weld.

15 Q What kind of weld?

16 A Cadweld.

17 Q Is a Cadweld different than a piping weld?

18 A Yes, it is.

19 Q What was the problem?

20 A The NRC inspector found that this weld did  
21 not have the results of the installation inspection  
22 recorded, and that the weld data report for one of

1 the weld joints was found not to identify the  
2 correct welder who applied a tack weld.

3 Q That was it?

4 A That was the violation, yes.

5 Q What was that violation categorized as?

6 A Category VI, severity level VI.

7 Q And what does this have to do with the  
8 contention 3?

9 A Contention 3 was that the -- the reason  
10 this related to contention 3 was the alternative  
11 plan is based on the assumption that the existing  
12 quality of the welds and the piping met all of the  
13 requirements.

14 This shows that there were problems at the  
15 plant in meeting the quality assurance requirements  
16 standard.

17 Q Do the same welders that do cadwelding  
18 that do ASME code 3 piping welding?

19 A I don't know all the welders at the  
20 Shearon Harris plant, so I'm not going to answer  
21 that question. I don't have the information to  
22 answer that question.



1           Q     By the way, did this have anything to do  
2     with the welders' qualifications one way or the  
3     other as opposed to whether or not the right number  
4     was down on a piece of people?

5           A     No, it did not.

6           Q     Because, in fact, further inquiry revealed  
7     that both welders had the current qualifications for  
8     the process that was applied. That's what the NRC  
9     says on page 3 in the middle of the paragraph,  
10    doesn't it?

11          A     Yes, that's what it says.

12          Q     And indeed, this inspection included,  
13    according to this report, a number of work  
14    activities and observations of in-process welding,  
15    on, in this case, reactor coolant spool pieces, on  
16    in-core instrumentation spool pieces, on storage of  
17    ASME pipe spool pieces, the qualification and  
18    training of the Carolina Power & Light QA welding  
19    inspectors.

20                   And with the exception of getting a number  
21    wrong on the piece of paper with respect to the  
22    welder's identification, the NRC inspectors noted no

1 violations or deviations with that one exception  
2 were identified in the areas inspected?

3 A It's hard for reconcile with your earlier  
4 comment that, when you do these inspections, you  
5 find problems all over the place.

6 MS. CURRAN: John, I just want to point  
7 out, it's after 1:00.

8 MR. O'NEILL: Okay. We can take a break  
9 now. Off the record.

10 (Whereupon, at 1:09 p.m., the deposition  
11 was recessed, to reconvene at 1:57 p.m., this same  
12 day.)

13

14

15

16

17

18

19

20

21

22



1 was when I referred to the Chatham County chair as  
2 Alice Gordon. I misspoke. It was actually Margaret  
3 Pollard at the time. I had the wrong name. It was  
4 Chatham County and it was Margaret Pollard. I had  
5 the wrong name.

6 BY MR. O'NEILL:

7 Q Okay. I appreciate that.

8 Would you please explain precisely on what  
9 you relied from Dr. Gordon Thompson's work in  
10 forming your opinions.

11 A In Dr. Thompson's report he talks about  
12 the severity of various spent fuel pool accidents  
13 and the consequences to people living around the  
14 community -- around the plant, not around the  
15 community, and talked that the consequences were  
16 greater than CP&L had stipulated.

17 I relied on some of the information in his  
18 report to support the conclusion that these issues  
19 are serious and are not trivial matters, the fact  
20 that the adequacy might not be there. They were of  
21 safety significance. So I relied on his report in  
22 part for that conclusion.



1           Q     Now, how did you rely on this document in  
2 connection with the opinions set forth in your  
3 declaration?

4           A     On page 6 of my declaration which is  
5 Exhibit 7, specifically paragraph 12, I talked about  
6 this inspection report and the notice of violation  
7 dealing with inadequate measures to control  
8 preservation of safety-related materials and  
9 equipment.

10          Q     What was the violation that you focused  
11 on?

12          A     It would have been violations shown on  
13 appendix A labeled A and B.

14          Q     What's the safety of level of these two  
15 violations?

16          A     Severity -- violation A is of severity  
17 level V, and violation B is of severity level VI.

18          Q     Do any of these violations relate to ASME  
19 code Section III piping or welding of the spent fuel  
20 pool cooling system?

21          A     Severity -- excuse me. Violation A does  
22 not; violation B may or may not because it refers to

1 training and qualification records of welders who  
2 may or may not have been working on the spent fuel  
3 pool cooling system.

4 Q Actually, this inspection report also  
5 details the inspection of welding activities at the  
6 Harris plant, doesn't it?

7 A Yes, it does.

8 Q Beginning on page 3.

9 A Yes, it does.

10 Q And it provides the results of detailed  
11 observation of welding activities, visual  
12 inspections of welds, welder qualifications, does it  
13 not?

14 A Yes, it does.

15 Q And with respect to those sections, there  
16 were no violations or deviations, except for 6(a)(1)  
17 which is nonwelding activities; is that not correct?

18 A Paragraph 8, page 7 states that, "Within  
19 the areas examined, no violations or deviations were  
20 identified except as noted in paragraph 8c."

21 Q I think you've gotten ahead of me. I was  
22 just focusing first on the welding which is

1 described in paragraph 6.

2 A I thought your question was in the  
3 inspection report.

4 Q No, I just focused now on the welding  
5 activities.

6 My earlier question was, with respect to  
7 the observation of welding activities, the visual  
8 inspection of welds and welder qualifications, as  
9 you can see on the bottom of page 4, within those  
10 areas there were no violations or deviations.

11 A What is your question again, please?

12 Q I'll break it up.

13 Is it not true that this inspection  
14 included observations of welding activities, visual  
15 inspections of welds and welder qualifications?

16 A Yes, that is true.

17 Q Within those areas enumerated in the last  
18 question, is it not true that there were no  
19 violations or deviations identified?

20 A What were the three areas in your previous  
21 -- these questions are way too long and I'm having  
22 trouble following what it is you're asking me.



1                   So can we do this a little bit simpler for  
2 me?

3           Q     Absolutely.

4           A     Thank you.

5           Q     Is it true that the inspectors observed  
6 welding activities?

7           A     Yes, that is true.

8           Q     Did they find any violations or deviations  
9 in inspecting welder activities?

10          A     They didn't -- they did not have any  
11 violations or deviations in that area, that's  
12 correct.

13          Q     The same for visual inspection of welds,  
14 they have reviewed it, no violations or deviations;  
15 is that not correct?

16          A     That is correct, with the qualification  
17 that there was an unresolved item. But there were  
18 no violations or deviations.

19          Q     Same question with respect to welder  
20 qualifications.

21          A     There were no violations or deviations  
22 identified.

1 MS. CURRAN: Mr. O'Neill, we would be  
2 willing to stipulate that these documents say what  
3 they say.

4 MR. O'NEILL: Thank you.

5 BY MR. O'NEILL:

6 Q How does this inspection report which you  
7 cited in your declaration and which you brought here  
8 today, at least an incomplete version of it, support  
9 your position in any way whatsoever?

10 A It supports it in that we contend that the  
11 spent fuel pool cooling system on unit 2 was not --  
12 no evidence was provided showing that it was  
13 properly laid up and maintained during the period  
14 between construction being terminated or deferred  
15 and the decision to put the system in service at  
16 this time.

17 Q Isn't it true, Mr. Lochbaum, that the  
18 company has stipulated that they did not in any way  
19 in their quality program lay up and maintain the  
20 spent fuel pool cooling system for unit 2 between  
21 the period 1983 and 1999?

22 A I don't know if they stipulated that or

1 not.

2 Q That was the predicate for the 50.55a  
3 request in the first place.

4 A I thought we discussed this morning that  
5 that was because the welding records were thrown  
6 away, not because they didn't do any layup.

7 Q That was also part of it is that they had  
8 not -- if you read the application, the first thing  
9 it says is that was abandoned in place. No lay up.  
10 No quality control.

11 A I don't recall the no quality -- well, the  
12 abandoned in place implies it, that's correct.

13 Q Okay. Let's go through the last document  
14 that you cite in support of your declaration.

15 I've asked the court reporter to mark as  
16 Exhibit 14 an inspection report dated September 14,  
17 1981, a cover letter of two pages from R.C. Lewis to  
18 J.A. Jones at CP&L, one page notice of violation,  
19 and an inspection report consisting of ten pages.

20 (Lochbaum Deposition  
21 Exhibit Number 14 was  
22 marked for identification.)

1 BY MR. O'NEILL:

2 Q Do you have Exhibit 14 in front of you,  
3 Mr. Lochbaum?

4 A Yes, I do.

5 Q How is it that you view this document,  
6 Exhibit 14 supports the opinions set forth in your  
7 declaration of Exhibit 7?

8 A On page 7 of my declaration, which is  
9 Exhibit 7, paragraph 13, I explained that this  
10 inspection report involves a failure to follow  
11 procedure for inspection of the fuel pool liner  
12 welding.

13 Q What was the severity level of this  
14 violation?

15 A This was a severity level V violation.

16 Q What was the resolution of this issue?

17 A I don't know that we know the resolution  
18 of this issue because the notice of violation  
19 required a response and we don't have that response  
20 in front of us.

21 Q Setting aside the paperwork violation, did  
22 the inspector also inspect the welds during this

1 inspection?

2 A Yes, according to page 8 of Exhibit 14.

3 Q And including the welding activities, the  
4 welder qualification?

5 A That is correct.

6 Q And other than the procedural issue that  
7 you've identified, there was no other violations or  
8 deviations identified by the NRC inspectors, were  
9 there?

10 A Well, as page 8 points out, the visual  
11 examinations that were done by the NRC inspector  
12 were prior to the welds being final inspected by  
13 quality control.

14 So it wasn't -- there were no violations  
15 or deviations cited, but the work hadn't been done  
16 on the liner. There was still some work left.

17 Q And there's no issue that you're raising  
18 in this proceeding with respect to the liner welds  
19 in spent fuel pools A, B, C or D, is there?

20 A That is correct.

21 Q Okay. Now, if you turn back to Exhibit 7,  
22 you say, having reviewed the documents that we've

1 just gone over, "it's my professional opinion" --  
2 yours, I'm reading from paragraph 8 -- "that CP&L's  
3 proposed use of an alternative plan per 10 CFR  
4 50.55a to demonstrate that the unit 2 fuel pool  
5 cooling system was 'designed, fabricated, erected,  
6 constructed and inspected to quality standards  
7 commensurate with the importance of the safety  
8 function to be performed' raises significant safety  
9 concerns for persons living near the facility."

10 I want you to detail in as much detail as  
11 you can what you mean by that.

12 What are the significant, emphasizing  
13 significant, safety concerns for persons living near  
14 the facility that you believe that the information  
15 referred to in paragraph 7 raises?

16 A That statement was based on my judgment  
17 that this system provides a safety function. The  
18 alternative plan lessens the ability and reliability  
19 of that system to perform that safety function.

20 If that safety function is not performed  
21 or is performed at a degraded manner, then it  
22 increases the potential for reactor material to be

1 released to the environment or to the atmosphere,  
2 and thereby challenging or jeopardizing the health  
3 of people living around the facility.

4 Q What would it take for radioactive  
5 material to be released to the environment?

6 A It would take fuel damage.

7 Q How would you get fuel damage in a spent  
8 fuel pool -- in spent fuel pool C or D which,  
9 pursuant to this license amendment request, will  
10 contain a maximum of 1 MBtu of used fuel that has  
11 been cooled five years or more? How will that  
12 happen?

13 A You can either have a criticality concern  
14 or you can have an overheating problem.

15 Q Okay. With respect to contention 3, we  
16 don't have a criticality concern.

17 A That's correct.

18 Q So let's look at contention 3.

19 How could you get an overheating problem?

20 A If your fuel pool cooling stops working  
21 properly, then even 1 million Btus per hour could  
22 cause overheating and damage.

1 Q All right. Isn't it true that there is a  
2 redundant system to the spent fuel pool cooling  
3 system, the unit 2 system which would cool pools C  
4 and D?

5 A There is a redundant system, yes.

6 Q Okay. And in fact, for there to be any  
7 radioactivity released, you would somehow have to  
8 uncover the fuel, right?

9 A No, it's not.

10 Q How would you have radioactivity released  
11 from the fuel if it is not uncovered and still sitting  
12 in pool water?

13 A For contention 3 -- let me think about  
14 this.

15 Q You're an expert only on contention 3 you  
16 may recall?

17 A Yeah, but your questions are broader than  
18 that sometimes. I just want to make sure I'm  
19 answering them fully.

20 You're correct. Without, uncovering  
21 you're not going to have fuel damage.

22 Q How would you get fuel damage in a spent



1 uncover the fuel, right?

2 A No, it's not.

3 Q How would you have radioactivity released  
4 from the fuel if it is not uncovered and still  
5 sitting in pool water?

6 A For contention 3 -- let me think about  
7 this.

8 Q You're an expert only on contention 3 you  
9 may recall?

10 A Yeah, but your questions are broader than  
11 that sometimes. I just want to make sure I'm  
12 answering them fully.

13 You're correct. Without uncovering you're  
14 not going to have fuel damage.

15 Q Let's assume that one of the welds, all of  
16 the welds even, that are embedded in concrete have  
17 some flaw, have a crack, have a pinhole corrosion,  
18 and notwithstanding all of the control quality in  
19 which they were installed, welded, inspected, or  
20 your concerns have been validated that there is some  
21 microbiologically-induced corrosion and we've got  
22 some pinholes in there, how does that result in

1 significant safety concerns for persons living near  
2 the facility?

3 Tell me how that happens. Show me the  
4 path from which you get from that concern to  
5 radioactivity released into the environment.

6 A The path is, again, is that if the system  
7 stops working properly, the spent fuel pool can  
8 overheat, can boil. The boil-down can cause fuel to  
9 be uncovered, can cause fuel damage, can cause  
10 releases to the atmosphere, can cause harm to the  
11 people living around the plant.

12 Q And how can your pinholes in a couple of  
13 welds encased in concrete result in a loss of water  
14 to the pool? How does that happen?

15 A They are not my pinholes, sir. I've said  
16 that the quality of the welds and the piping is  
17 suspect. You have postulated that there will be  
18 only pinholes.

19 Q You postulate whatever defect you want in  
20 the welds and tell me how that results in the spent  
21 fuel becoming uncovered.

22 A The piping is supposed to be designed for

1 seismic qualifications. If the piping integrity is  
2 degraded, or welds, piping or welds is degraded due  
3 to any reason, the ability of that piping and welds  
4 to withstand an event such as a seismic event is  
5 challenged. If the plant has a seismic event and  
6 the piping is broken, then the system may not work.

7 If the system does not work, the water in  
8 the fuel pool can heat up and boil, can uncover, can  
9 be fuel damage, can cause harm to the people living  
10 around the plant.

11 Q Are you a seismic design engineer, Mr.  
12 Lochbaum?

13 A No, I am not.

14 Q Are you an expert in seismic design?

15 A No, I am not.

16 Q Isn't it true, notwithstanding the fact  
17 you're not an expert but because of your general  
18 familiarity with nuclear power plants, that the  
19 spent fuel pools themselves are designed to  
20 withstand seismic events?

21 A That is true.

22 Q Isn't it true that the reinforced concrete

1 of which the spent fuels are constructed are  
2 designed to withstand a seismic event?

3 A That is true.

4 Q Isn't it true that if that, in fact, is  
5 correct that there's no way in the world that the  
6 embedded piping in that concrete can be adversely  
7 affected by a seismic event?

8 A As you astutely pointed out, I'm not a  
9 seismic design engineer, so I'm not qualified to  
10 answer that question.

11 Q Then why did you postulate an event which  
12 can't possibly happen?

13 A I didn't say it couldn't happen. If you  
14 recall, I said I can't address that question. So I  
15 did not say it could not happen, sir.

16 Q I want you to try again, tell me in your  
17 professional opinion in an area in which you have  
18 some qualifications how the postulated defects, any  
19 one you want to postulate, in that piping that's  
20 embedded in concrete can result in uncovering the  
21 spent fuel in that pool and raise a significant  
22 safety concern to persons living near the facility.

1           A     If the piping or the welds fail for any  
2     reason, then the system may not function.

3                     If the system does not function, the water  
4     in the spent fuel cooling will heat up, can reach  
5     boiling, cause uncovering of fuel in the pool, fuel  
6     damage, release of radioactivity and cause harm to  
7     people living around the plant.

8           Q     How can the piping result in the system  
9     not functioning such that the pool loses water and  
10    the spent fuel is uncovered? You have to tell me  
11    how you get there.

12          A     I'm saying the piping can fail.

13          Q     How?

14          A     Any number of ways. It's -- you can have  
15    through-wall cracking. You can have --

16          Q     Where is the water going to go?

17          A     Through the crack.

18          Q     Where to?

19          A     To the outside the pipe.

20          Q     How is it going to get outside of the pipe  
21    if it's encased in reinforced concrete?

22          A     Concrete is relatively porous. Water can

1 get through.

2 Q Isn't -- the Dresden pool doesn't even  
3 have a spent fuel liner because the concrete itself  
4 holds the water?

5 A That is absolutely true, and it was  
6 designed to withstand water.

7 The piping that we're talking about was  
8 not designed the same way because the piping is  
9 supposed to retain the waters.

10 Q How do you know?

11 A That general knowledge you referred to  
12 earlier.

13 Q You know that this concrete is such that,  
14 if there was a leak, that the water is going to leak  
15 through two-and-a-half, three, four feet of  
16 concrete; is that your testimony?

17 A No, I'm not testimony --

18 Q The how does the water get out of the  
19 pool?

20 A Through the crack in the piping.

21 Q Through the concrete?

22 A No, no. Excuse me. The pipe -- the water

1 does not get out of the pool through the pipe in the  
2 concrete because eventually the water will drain  
3 down to where the suction and discharge of the  
4 suction stops.

5 So the water doesn't get out of the pool  
6 through the pipe. That's not what I was testifying  
7 to or stating.

8 I'm stating that the cracking could cause  
9 the pipe or the system to stop running.

10 Q How?

11 A If the crack is large enough that allows  
12 water to flow through the system, you can get  
13 run-out on the pumps and the pumps won't work  
14 anymore.

15 Q How can the crack get large enough if it's  
16 embedded in concrete?

17 A That's one of the reasons -- if what  
18 you're saying is true, then why worry about the  
19 quality assurance at all? Why not just -- the  
20 piping is there, who cares?

21 Q Because there is a lot of redundancy. But  
22 my question to you is not why the company spent a

1 lot of money on a system that could just as well  
2 have worked without pipe, but why you, as an expert,  
3 are testifying and telling the people of Orange  
4 County and the surrounding counties that there is a  
5 significant safety concern because of the welds and  
6 because of this piping.

7 A Because I believe that to be true, sir.

8 Q And you haven't yet told me how the water  
9 could ever get out of the pipe.

10 A I have told you.

11 Q How?

12 A Your judgment is that you don't believe  
13 me. That's a little different than saying that the  
14 water can get out through the pipe and through the  
15 concrete. You chose not to believe that and I can't  
16 do much about that.

17 Q Is it your testimony that the water can go  
18 through two or three or four feet of concrete if  
19 there was a leak in the pipe?

20 A My testimony is that the water can get  
21 through the pipe. Whether it drains back on the  
22 outside of the pipe because there is a gap and it



1 drains back inside the building or it goes through  
2 the porosity of the concrete or a combination of  
3 those two, I don't know. All I know is that if the  
4 water leak rate through the pipe is sufficient, the  
5 system will stop working. The water in the spent  
6 fuel pool will heat up and so on.

7 Q Have you calculated how large a defect  
8 would be required in order to in any way exceed the  
9 capability of the pump to pump water into that pool?

10 A No, I have not.

11 Q Do you have any guess as to how big a hole  
12 or a defect it would have to be?

13 A I'd prefer not to guess, sir.

14 Q Do you have an estimate?

15 A I have no estimate. That's a different  
16 word for guess in this case.

17 Q Okay. So let me ask this: Do you have  
18 any other scenarios other than the ones you've just  
19 testified to as to how you could get to a point  
20 where there is a significant safety concern for  
21 persons living near the facility relating to the  
22 piping and the welds in the spent fuel pool in C and

1 D?

2 A No, I think that's a serious enough  
3 threat.

4 Q On page 4 of your declaration, (d), 9(d),  
5 you state, "The alternate plant and the license  
6 amendment application do not describe any program  
7 for proper storage and preservation of materials and  
8 components as required by appendix B to 10 CFR Part  
9 50. Nor do they describe any effort to determine if  
10 the installed piping and equipment experienced any  
11 deterioration over the many years of non-use since  
12 the piping and equipment were installed."

13 Is your testimony that nowhere has the  
14 applicant described what they are going to do to  
15 inspect and to determine whether or not there has  
16 been any deterioration of the piping? Is that your  
17 testimony?

18 A My testimony was the alternative plan and  
19 the license amendment application do not describe  
20 that. They might be in another document somewhere.  
21 I didn't address documents outside of the documents  
22 cited.

1 Q Did the license amendment request refer to  
2 other documents which describe how the applicant  
3 planned to inspect the piping to determine whether  
4 there was deterioration, or do you remember?

5 A It's been a while. I don't recall. It  
6 referred to a commissioning plan. I can't remember  
7 if the commissioning plan --

8 Q Have you reviewed the commissioning plan?

9 A Yes, I have.

10 Q Okay. We'll get to that.

11 On page 7, paragraph 14, second sentence,  
12 you say that "The NRC inspection reports cited in  
13 paragraphs 11 and 13 suggest that these quality  
14 standards may not have been met in December 1983."

15 We've gone over each of these inspection  
16 reports. Is there anything else on which you relied  
17 in stating that there is a suggestion that quality  
18 standards may not have been met by the spent fuel  
19 pool cooling system piping in 1983?

20 A No, and I need to make -- point out one  
21 problem. My paragraph numbering was suspect here.  
22 I've got two paragraphs 11s and two paragraphs 12s

1 it looks like.

2 Q Yes. I assume that that was the  
3 paragraphs previous as opposed to the --

4 A It was the first sets of 11 and 12, yes.

5 Q Right. Setting that aside --

6 A No. To answer the question, I did not  
7 rely on anything else.

8 Q So you relied on those four documents and  
9 that's it?

10 A Those four documents and the license  
11 application.

12 Q The license application? Where in the  
13 license application do you infer that quality  
14 standards may not have been met in the construction  
15 of the spent fuel pool piping?

16 A In looking where the plant was when the  
17 construction was terminated, the system had not been  
18 turned over for operation, hadn't been end-stamped  
19 and all that.

20 Had that been done, then the issue really  
21 would have been one of paperwork, not of quality,  
22 because you have to -- that would have been a higher

1 level of assurance, that all the items were closed  
2 out and so on.

3 So the application which indicated where  
4 the plant was at the time when construction was  
5 stopped and these inspection reports combined led to  
6 this conclusion.

7 Q Turn to page 8 where you opine and state  
8 here "that the risk to the general public could be  
9 increased by the proposed activity and that the risk  
10 and potential are foreseeable, not highly  
11 speculative, and potentially significant."

12 Other than what you've just discussed in  
13 the last few minutes about your postulated break of  
14 the piping and the weld and leaking through concrete  
15 somehow or around the pipe inside the concrete to  
16 the extent the pump couldn't pump water into the  
17 pool any longer, do you have any other basis in  
18 which you are of the opinion that the risks are  
19 significant?

20 A Well, as I said earlier, some of that was  
21 -- relied upon the information in Gordon Thompson's  
22 report, but it was primarily dependent upon my only

1 issue concerns about the fuel pool cooling system  
2 not being able to cool the pool.

3 So it's predominantly my own conclusions  
4 as we went through. There is a secondary reliance  
5 on Gordon Thompson's work.

6 Q Dr. Thompson does not in any way discuss  
7 the spent fuel pool piping, does he?

8 A No, he doesn't. At least not in his  
9 report.

10 (Lochbaum Deposition  
11 Exhibit Number 15 was  
12 marked for identification.)

13 MR. O'NEILL: I've asked the court  
14 reporter to mark as Exhibit 15 a 13-page document  
15 with a cover sheet which is entitled Shearon Harris  
16 Nuclear Power Plant, Docket Number 50-400/License  
17 Number NPF-63, Request for License Amendment, Spent  
18 Fuel Storage, 10 CFR 50.55a Alternative Plan.

19 This was enclosure 8 to the license  
20 amendment application.

21 BY MR. O'NEILL:

22 Q Do you have that document in front of you,

1 Mr. Lochbaum?

2 A Yes, I do.

3 Q Do you recognize it?

4 A Yes, I do.

5 Q Did you review it?

6 A Yes, I did.

7 Q Do you have any reason to take issue with  
8 CP&L's statement that, with respect to the unit 2  
9 fuel pool cooling system, they were constructed to  
10 the same codes and standards using the same  
11 procedures and personnel as unit 1, which was fully  
12 completed and licensed, and appropriate records  
13 documenting field activities were generated at the  
14 time of construction as required by the construction  
15 codes and plant procedures and maintained in storage  
16 under the control of the construction quality  
17 assurance program pending system completion and  
18 turnover?

19 Do you have any reason to doubt that?

20 A In general I don't doubt it. The only  
21 reason I hesitated is same personnel, you know, over  
22 a period of time, you may use slightly different

1 welders, so they're probably not exactly the same  
2 people, but --

3 Q That goes to an earlier question.

4 Do you have any understanding of the  
5 sequencing of the welding activities for the piping  
6 that was embedded in concrete in the four spent fuel  
7 pools?

8 A You said they were done at the same time  
9 as I recall.

10 Q I suggested that, but I don't testify  
11 here. Do you have any reason to know one way or the  
12 other?

13 A I have no reason to know one way or the  
14 other.

15 Q Okay.

16 A But either way I don't think it changes my  
17 answer because if they were done the same time, you  
18 know, a person can't be in the same places, and if  
19 they were staggered in any way, then a guy who did  
20 work on unit 1 might not have been around for unit  
21 2. But I'm not contending that they used the  
22 similar people. You know, there is mostly overlap.



1 Q Mr. Lochbaum, you haven't raised any issue  
2 with respect to the pedigree of filler material that  
3 was used in the welds, have you?

4 A No, I have not.

5 Q Do you have any reason to doubt that  
6 hydrotesting was performed on all of the ASME code 3  
7 piping that comprises the spent fuel pool cooling  
8 system?

9 A I have no reason to doubt that, no.

10 Q And do you understand that when the system  
11 is completed, it's all hooked up again with the  
12 pumps and the heat exchangers, that they will do a  
13 hydrotest again?

14 A That is my understanding.

15 Wait. When you asked me that question,  
16 did you refer to original construction or part of  
17 the proposed plan?

18 Q Both.

19 A Okay. I only answered for the original  
20 construction, but it is my understanding that they  
21 will do it in the future, too. I just wanted to  
22 clarify.

1 Q By the way, if you look at page 5 of 13.

2 A Yes, sir.

3 Q Bottom of the page, it will inform you of  
4 the size of the piping, the diameter piping is both  
5 12-inch and 16-inch. Do you see that?

6 A Yes, I do. I did not recall it earlier  
7 but I see it.

8 Q And you don't have any reason to doubt  
9 that, do you?

10 A No, I have no reason to doubt it.

11 Q And none of the 160 vendor welds are being  
12 questioned by you here?

13 A Well, I'd have to clarify. See, I'm not  
14 sure which ones were the vendor welds. Anything  
15 that's invited, no matter who does it, is --

16 Q If you look at the paragraph above, you'll  
17 note that, of the 40 field welds, 37 are fuel pool  
18 cooling system piping welds, 15 of which are  
19 embedded in concrete. So we're talking about field  
20 welds.

21 A But I don't know who did -- were those  
22 vendor or not?

1 Q Do you know the difference between a field  
2 weld and a vendor weld?

3 A No.

4 Q Okay.

5 A I'm not a weld expert.

6 Q Okay. If you look on page 6 of 13 which  
7 talks about hydrotesting, the middle of that  
8 paragraph says, "Of these 15 embedded field welds"  
9 -- does that refresh your recollection as to whether  
10 the welds we're talking about are field welds or  
11 not?

12 A No, because I didn't have a recollection  
13 on this. I see what you're talking about, but --

14 Q But you hadn't read this before so you  
15 don't know?

16 A No. I've read that, but I didn't -- I  
17 didn't put that -- burn that into my memory.

18 Q Attached to the response to the first RAI  
19 was a matrix which listed every one of the welds.  
20 Did you study that matrix?

21 A No, I did not study.

22 Q So the matrix would have told you which

1 welds are field welds, which welds are vendor welds,  
2 which welds have QA records, which welds don't. But  
3 you didn't take a look at that?

4 A No, I said I took a look at that. I  
5 didn't study it.

6 Q Do you remember that matrix?

7 A Yes.

8 Q Do you know the difference between Section  
9 III piping and B31.1 piping?

10 A Yes, I do.

11 Q What's that?

12 A B31.1 is a different code, a different  
13 portion of the code, so it has different standards  
14 that you meet than ASME Section III.

15 Q And we're not talking about any of that  
16 piping here, are we?

17 A Well, when you say "that," are you talking  
18 about --

19 Q B31.1.

20 A No. At least not the embedded welds. I  
21 believe the system does have some B31.1 welds, but  
22 not in the portion that we're talking about.

1 Q Beginning on page 5 of 13 and going over  
2 to page 11 of 13, is a discussion of the -- let me  
3 start over. Strike that.

4 Beginning at page 8 of 13 over to page 11  
5 of 13, CP&L lays out why the 50.55a plan establishes  
6 an equivalent quality of the welds notwithstanding  
7 the fact that the weld data reports are not  
8 available for those 15 welds.

9 If you would take a moment to review each  
10 of those issues and tell me which ones you find  
11 fault with.

12 A I think on the bottom of page 8 there is a  
13 discussion of no direct records of welder  
14 identification have been located for 15 welds.

15 Q Yes.

16 A That is a lower or different standard than  
17 had those records been available for review.

18 So that is a part of the overall concern.

19 Q Did you look at the end of that paragraph  
20 which indicates "Of the 15 welds, QC construction  
21 reports provide the identification of welders  
22 associated with at least three"?

1           A     That was actually before my sentence, but  
2 I see that.

3           Q     Okay.

4           A     I did see that, yes.

5           Q     So now we're down to 12 with respect to  
6 welder identification.

7                     And then did you see the next sentence,  
8 which says, "But hydrostatic test records have been  
9 located which attest to the existence of completed  
10 WDR packages for these welds at the time of  
11 construction."

12                    Do you understand what that means?

13           A     Yes, I do.

14           Q     Good.

15                   MR. O'NEILL: I've asked the court  
16 reporter to mark as Exhibit 16 a one-page document  
17 entitled Weld Data Report with various dates on it,  
18 but the one under the welding engineer's  
19 verification is 12/27/78.

20                                     (Lochbaum Deposition  
21                                     Exhibit Number 16 was  
22                                     marked for identification.)

1 BY MR. O'NEILL:

2 Q With respect to weld I.D. 2-SF-1-FW5, have  
3 you seen this document before, Mr. Lochbaum?

4 A It might have been in the stack we looked  
5 at at discovery, but I don't have specific  
6 recollection of this document.

7 Q Do you know whether this weld is one of  
8 the 15 welds?

9 A I do not.

10 Q Are you aware of information that was  
11 provided by the applicant in response to the RAI  
12 that indicated that a couple of the WDRs had been  
13 obtained because they were attached to other QA/QC  
14 documentation?

15 A I did see that RAI response, yes.

16 Q Okay. So in any event, does this -- do  
17 you understand this to be a weld data report? You  
18 said you were familiar with them.

19 A It is a weld data report.

20 Q All right. What does this tell you? If  
21 you read this, what do you now know about the weld  
22 that you didn't know before you looked at it? Walk

1 through it. Tell me what you understand from the  
2 weld data report.

3 A I know the system that the weld is for.

4 Q And what system is this?

5 A SF, spent fuel.

6 Q Correct. Okay.

7 A I know the category, category 3.

8 Q Um-hum.

9 A I know which drawing this weld appears on.

10 Q Right.

11 A I know the weld record for this joint. I  
12 know the weld I.D. for this weld. I know the design  
13 line that this weld is within. I know what the base  
14 metal for the piping is. I know what the joint type  
15 would be if I knew what those codes were. I know  
16 what the -- well, I can't, because I can't read it.

17 I don't know what that PC and HT -- heat  
18 treatment and stuff like that, but I don't know  
19 exactly what that is.

20 I know the weld procedure that was  
21 followed and also the revision level. I almost know  
22 the material thickness, but it's not full copy. I



1 know the fill metal type, if I knew what that code  
2 was.

3 I know the welding engineer who verified  
4 the data. I know who reviewed the weld data and I  
5 know who released it.

6 Q Who reviewed the hold points.

7 A Reviewed the hold points, excuse me, yes.  
8 And who released it for welding.

9 Q Okay. What else does it tell you?

10 A It tells me the welders who worked on this  
11 for the tack, the root, the intermediate and the  
12 final.

13 Q In this case it was all the same welder,  
14 wasn't it?

15 A Well, let's assume -- I don't know -- it  
16 seems like it was, but I don't know if they use one  
17 code for --

18 Q Welder A-15.

19 A But I don't know what CP&L's terminology  
20 is. I don't know if that's a group of welders or an  
21 individual welder. It sounds good.

22 Q Okay. Now, what else can you tell about

1 the inspection of the weld?

2 A It tells me that a QA inspector signed  
3 off, or initialed off in this case, that the spools  
4 were joined. I don't know what the H and A stands  
5 for.

6 Verified the fit-up, pre fit-up and  
7 fit-up. Checked the purge gas for the weld, which  
8 was also -- the fit-up and inspection check purge  
9 gas was also verified by the ANI inspector.

10 Q What's the ANI?

11 A American Nuclear Insurers.

12 Q What's his role?

13 A His role is similar to a quality control  
14 function.

15 Q Who does he work for?

16 A He works not for the utility, he works for  
17 the company that provides basically the insurance  
18 for the facility, ultimately.

19 Q It says -- is that an independent check?

20 A They are both independent checks. The QA  
21 is also an independent check. But it's independent  
22 of the company in addition.

1           Also tells me that the QA had checked the  
2 preheat temperature, N/A on the root pass, NDE and  
3 interpass temperature check, independent NDE --  
4 intermediate NDE. It says that the QA visually  
5 inspected the final weld. And I assume that's the  
6 nondestructive examination procedure that was  
7 followed to do that.

8           It tells me that the QA inspected for  
9 joint identification.

10           Check QA inspected for -- or check for  
11 final cleanliness, and that QA checked for final  
12 nondestructive examination. Again, I assume that's  
13 the procedure that was followed to do that.

14           Q     And at the bottom of this you see a number  
15 of signatures, don't you?

16           A     Yes, I do.

17           Q     The first one is the QA inspector; is that  
18 right?

19           A     That's correct.

20           Q     The next one is QA final acceptance.

21           A     That's correct.

22           Q     And the last one is verified by the ANI.

1 A That's correct.

2 Q And this is one weld?

3 A That is correct.

4 Q Okay. Now, isn't it true we know that one  
5 of these was filled out for every one of the welds  
6 that were embedded in concrete that we've talked  
7 about now? We know that, don't we?

8 A CP&L has stated that.

9 Q And --

10 A We do not have the record because they  
11 were thrown away.

12 Q We do not have the WDRs or we wouldn't be  
13 here?

14 A That's correct.

15 Q But we do have something else with respect  
16 to paperwork that indicates that the WDR was done  
17 properly, don't we?

18 A Well, procedurally you wouldn't do the  
19 hydrotest until these packages were completed.

20 Q Have you reviewed hydrotest reports  
21 before?

22 A Yes, I have.

1 Q And do you know what a hydrotest traveler  
2 requires?

3 A For the ones I've reviewed, I do. That's  
4 not a universal requirement, so I don't know what  
5 CP&L's requirements are.

6 Q Have you reviewed the hydrostatic test  
7 records for the welds in question --

8 A No, I have not.

9 Q -- that were provided in the documents  
10 rooms and were produced in discovery?

11 A Again, we may have -- I may have requested  
12 some, I know I didn't request all of those. I may  
13 have requested some. I have not yet reviewed the  
14 discovery documents.

15 Q Okay.

16 MR. O'NEILL: Let me ask the court  
17 reporter to mark as Exhibit 17.

18 (Recess.)

19 MR. O'NEILL: I've asked the court  
20 reporter to mark as Exhibit 17 a two-page document  
21 entitled Carolina Power & Light Company, Corporate  
22 Quality Assurance Department, Hydrostatic Test

1 Record, with a date under the mechanical discipline  
2 engineer of March 3rd, '82.

3 (Lochbaum Deposition  
4 Exhibit Number 17 was  
5 marked for identification.)

6 BY MR. O'NEILL:

7 Q Mr. Lochbaum, do you have in front of you  
8 Exhibit 17?

9 A Yes, I do.

10 Q Have you seen hydrostatic test records  
11 before?

12 A Yes, I have.

13 Q Do you know what hydrostatic test records  
14 can inform you of?

15 A Yes.

16 Q Why don't you do what you did with respect  
17 to the weld data report and go through and tell me  
18 what you now know about the hydrostatic test record  
19 and the line of piping that it relates to.

20 A This tells me that this was for units 2  
21 and 3. The system was the spent fuel system and it  
22 was turnover page -- telling me the turnover

1 package.

2           The code class of the piping being  
3 hydrostatic Kelly tested. The drawings that showed  
4 the piping in question. And it explains the test  
5 boundaries.

6           Q     What does the test boundaries mean?

7           A     The test boundaries describe the portions  
8 of the piping that are being subjected to  
9 hydrostatic test pressure and the boundaries between  
10 that part of the system, if it's not the entire  
11 system, and other piping that's connected but not  
12 tested.

13          Q     So, for example, where it says under test  
14 boundaries, from and including 2-SF-144 FW-515, what  
15 does that designation refer to?

16          A     I don't know CP&L's designation. It  
17 sounds like that's a valve, but I cannot attest to  
18 it. That looks like what it is. I'd have to look  
19 at the drawing to verify that.

20          Q     And if you -- well -- and so one test  
21 boundary was a valve, you believe, and it goes to  
22 the spent fuel liner ring weld and all welds

1 between; is that correct?

2 A That's correct. That's the two  
3 boundaries.

4 Q Okay. Now, what else does this tell you?

5 A It tells me the design pressure of the  
6 piping, the test pressure, the hold pressure, the  
7 maximum pressure and the time at the test pressure  
8 and what was used to test whether it was air or  
9 water, in this case water.

10 It tells me it was prepared by a  
11 mechanical discipline engineer and reviewed or  
12 verified by the QA/QC specialist, mechanical QA/QC  
13 specialist.

14 It tells me the components within the test  
15 boundary.

16 Q Do you know what those components might  
17 be?

18 A No, I don't.

19 Q Okay.

20 A I don't know what those are.

21 It tells me, whatever they are, that the  
22 manufacturing fabrication records were accepted.



1 There were no open DDRs or NCRs, probably design and  
2 discrepancy reports, nonconformance reports, and  
3 that that had been verified, that condition had been  
4 verified by somebody.

5 Q It look likes TG. If you look on page 2,  
6 it's Tommy Gilbert. You see his initials throughout  
7 and his signature, test inspected by Tommy Gilbert.

8 A Okay.

9 Q Okay. What do we learn at the bottom of  
10 the page?

11 A It tells me that they verified that the  
12 openings were plugged, the system was filled and  
13 vented of air.

14 It tells me that items that were not being  
15 tested were disconnected and/or isolated or  
16 disconnected and isolated.

17 It tells me that surfaces that were to be  
18 inspected during the hydrotest were clear and  
19 unobstructed.

20 It tells me that the temperature of the  
21 water and also the minimum temperature during the  
22 hydrostatic test that it could be.

1           And the MTE, the maintenance test and  
2           equipment number for the thermometer that was used  
3           or pyrometer that was used to record that  
4           temperature or measure that temperature.

5           And it tells me the pressure gauges that  
6           were used to check pressures during the hydrostatic  
7           test.

8           Q     Going on to the second page.

9           A     It tells me some more components. These  
10          are welds that are within the test boundaries.  
11          Shows me the test records that were complete as  
12          shown on the isometrics, that they were inspected  
13          for visual leakage.

14          Q     Now, let's stop there for a second.

15                 What do you understand weld data records  
16          complete, yes, to mean?

17          A     That the weld data records were complete  
18          for those welds listed on this page.

19          Q     And what would the QA/QC inspector have  
20          done before he would have initialed this pursuant to  
21          procedures?

22          A     He would have verified that the weld data

1 records were complete.

2 Q So if we go back to what was marked as  
3 Exhibit 16, which is a weld data record, he would  
4 have checked that the information that you read off  
5 in some detail was complete; is that correct?

6 A No, I don't think that he would have -- he  
7 would have verified that that record had the proper  
8 signatures. I don't think he is going to go back  
9 and verify all that data that I just read.

10 If the form is complete and signed off at  
11 the bottom, I think that's what he would do for  
12 signing off this column.

13 I don't think he would go back to the  
14 individual to verify all the boxes on that sheet.

15 Q But certainly this signature indicates  
16 that Mr. Gilbert looked at this weld data report?

17 A That's correct.

18 Q If it was one of the ones included in this  
19 list?

20 A With that stipulation, yes.

21 Q All right. What does it mean when he  
22 says, "Yes, shown on isometric"?

1           A     I take that to mean that the weld is shown  
2     on the isometric drawing.

3           Q     And what do you understand visual leakage  
4     inspection to have included? Do you know what the  
5     visual leakage inspection would have required by  
6     procedure at CP&L?

7           A     At other places I've worked, and I assume  
8     it's the same at CP&L, it would have meant during  
9     the hydrostatic test you would have eyeballed the  
10    weld and ensured that there were no signs of  
11    leakage.

12          Q     And that's while the system was at  
13    pressure that that inspection was conducted?

14          A     As long as it was above the test, the  
15    minimum test pressure, yes.

16          Q     And that would have not just been looking  
17    at one point, but looking at the entire weld, 360  
18    degrees, is that not correct, by procedure?

19          A     I don't know that that's what CP&L's  
20    procedure called for. My recollection is other  
21    plants didn't make you do a 360-degree eyeball  
22    check. So I wouldn't -- I can't say that.

1 Q But we can ask that question of somebody  
2 at CP&L?

3 A You can do anything you want.

4 Q All right. So with respect to each of  
5 these welds, we show that the weld data records were  
6 complete, that they were shown on the isometric for  
7 as-builts, and that there was an inspection of each  
8 individual weld while the system was at the test  
9 pressure. Is that a fair statement?

10 A That's a fair statement.

11 Q All right. Now, maximum pressure applied  
12 is shown here as 43 psi?

13 A That's correct.

14 Q And if we go back to the front page, we  
15 note that while you had some problems because you  
16 weren't aware of what this was, the design pressure,  
17 operating pressure was 25 psi for this system.  
18 That's not much pressure in that because it's opened  
19 atmosphere; is that correct?

20 That's how you would read design pressure  
21 versus the maximum pressure applied which, of  
22 course, would be above the design pressure; is that

1 true?

2 A Could we break that into --

3 Q Sure. Let's go back to page 1. You have  
4 a design pressure that's 25 psi.

5 A That's correct.

6 Q And the minimum test pressure is listed as  
7 32 psi.

8 A That is correct.

9 Q And if you go to the second page, we see  
10 that actually the maximum pressure applied was 43  
11 psi.

12 A That is correct.

13 Q And it was held for at least 11 minutes.

14 A No.

15 Q No?

16 A No.

17 Q Actual time of test pressure?

18 A Yeah, but test pressure doesn't  
19 necessarily correspond to the 43 pounds. So the  
20 test pressure was maintained for 11 minutes, but not  
21 necessarily 43 pounds.

22 Q But it would certainly have to be between

1 32 and 43?

2 A For 11 minutes. That's what that says --

3 Q Okay.

4 A -- tells me.

5 Q Then what else do you understand from the  
6 rest of page 2?

7 A Well, it says that after the test, they  
8 basically rechecked the test gauge, the pressure  
9 gauge that was used. And apparently it was signed  
10 off as okay.

11 The welds were signed off on the isometric  
12 drawing and then it's got the people who  
13 participated or did the QA for the test, the QA  
14 inspector, the ANI inspector, the mechanical QA/QC  
15 specialist and what was N/A for the start-up group.

16 Q Okay. Now --

17 A One thing about this I don't understand is  
18 at the top of page 1 there is a correction to  
19 correct the document date of September 1983. And I  
20 don't see, with exception to the weld procedure  
21 maybe, what was changed, because the rest of the  
22 document is signed off in June of '82.

1                   But I don't think that alters what we just  
2                   went through.

3                   Q     Right. Do you know how many of the 15  
4                   welds have a hydrotest record that includes that  
5                   weld, 15 embedded welds?

6                   A     I'm sorry. What was the question?

7                   Q     Do you know how many of the 15 embedded  
8                   welds have available one of these hydrotest records  
9                   which includes a segment of the piping that includes  
10                  that embedded weld?

11                  A     I do not.

12                  Q     If you -- hypothetically, if all of the  
13                  embedded welds were identified in one of these  
14                  hydrotest records, where a QA inspector established  
15                  that he had reviewed the weld data report, would  
16                  that resolve your concerns about the quality of the  
17                  welds?

18                  A     It would resolve portions of them, and the  
19                  portion being the -- the first part, in that the  
20                  alternative plan where you don't visually inspect  
21                  all the welds, it would resolve that part.

22                                The part of the concern, the contention



1 that dealt with what has happened since 1983 are  
2 really not affected by it.

3 Q Okay. So let's have another hypothetical.

4 Suppose that CP&L was able to find a  
5 remote crawler to get to all of the welds and was  
6 able find a hydrostatic test report that included  
7 all of the welds. Would that resolve all of your  
8 concerns?

9 A Well --

10 Q Assuming, of course, that the visual  
11 inspection showed that there was no material  
12 degradation to the welds or to the piping.

13 A The contention that I have is that there  
14 was no provision for checking for deterioration.  
15 Now, hypothetically, if a remote crawler or some  
16 other means was done to do that, then I'd have to  
17 look at that to ensure that that addressed all the  
18 potentials that -- questions that I raised.

19 If it did, then that would address the  
20 second half of it, yes.

21 Q Okay.

22 MS. CURRAN: We need to take a break.

1 MR. O'NEILL: Sure. I thought we just  
2 took one.

3 MS. CURRAN: I'll be right back.

4 (Recess.)

5 MR. O'NEILL: I've asked the court  
6 reporter to mark as Exhibit 18 a document entitled  
7 Carolina Power & Light Company, Shearon Harris  
8 Nuclear Plant, Plant Operating Manual, Volume 4,  
9 Part 8, Special Plant Procedure.

10 (Lochbaum Deposition  
11 Exhibit Number 18 was  
12 marked for identification.)

13 BY MR. O'NEILL:

14 Q And it's a temporary procedure for remote  
15 visual examination of interior welds and surfaces of  
16 an embedded unit 2 spent fuel pool cooling piping.  
17 And it's Rev. 0 and it includes six pages.

18 Do you have before you Exhibit 18, Mr.  
19 Lochbaum?

20 A Yes, I do.

21 Q Have you seen this document before?

22 A I recollect that this seems to be one of

1 the documents we requested in discovery, but I  
2 wouldn't want to swear to that without checking it,  
3 but it seems like it was.

4 Q The number at the bottom of the page is  
5 called a Bates number and is an indication of one of  
6 the documents that was put in the document room that  
7 you requested and was produced to Ms. Curran.

8 A That's correct.

9 Q Did you review this document while you  
10 were looking at it?

11 A Well enough to the point where I did  
12 request it. Like I said, I think I requested this.  
13 I don't want to --

14 Q I would like you to take a few minutes and  
15 read it cover to cover.

16 This is the procedure for visual  
17 inspection.

18 (Pause.)

19 THE WITNESS: Okay.

20 BY MR. O'NEILL:

21 Q Now, it is true that the intent of CP&L to  
22 do a visual inspection on at least some of the welds

1 was noted in the first license amendment request and  
2 then in response to the RAI and in public statements  
3 that were made and briefings relating to the license  
4 amendment request; is that not true?

5 A That is correct.

6 Q Okay. And this appears to be the  
7 procedure by which the visual inspection was carried  
8 out; is that not true?

9 A It is a procedure for doing visual  
10 inspections. I don't know if that's the one they  
11 intended to use or not.

12 Q Okay. If you note on page 3, Purpose,  
13 this includes an inspection of the interior welds  
14 and surfaces of the embedded piping.

15 Anything missing there? So far so good?

16 A No. So far so good.

17 Q Okay. There is a list of references at  
18 2.0 which indicate relevant documents relating to  
19 this procedure. Are you familiar with those  
20 documents?

21 A Not all of them, no. CP&L letters and  
22 stuff, I don't.

1 Q Did you review them when you were at the  
2 CP&L documents room?

3 A I can't attest to each and every one of  
4 these, so I don't know. I can't answer that  
5 question.

6 Q Okay. Any problem with the prerequisite?  
7 Something that's missing there?

8 A Before we get that far, the purpose is for  
9 -- it says interior welds and surfaces?

10 Q Yes.

11 A We had this morning talked about the  
12 potential for an external contaminant attacking the  
13 pipe surface, so this only would have looked at the  
14 interior of the pipe.

15 Q That's certainly true.

16 A But in any event. Prerequisites.

17 Q And it would be impossible to look at the  
18 exterior of the pipe that's encased -- embedded in  
19 concrete.

20 A I'm not sure it's impossible, no.

21 Q Well, unless you rip out the concrete.

22 A Well, you said impossible.

1 Q Right. Okay. Any problem with  
2 prerequisites that you see in this procedure?

3 A No.

4 Q Do you understand the calibration that's  
5 being done with respect to the camera?

6 A Yes, with one mil resolution. Yes.

7 Q Okay. Any problem with precautions?

8 A No.

9 Q Any problem with 4.2 and limitations?

10 A No.

11 Q Do you disagree with the equipment that  
12 was being used?

13 A I'm not familiar with the equipment, so I  
14 don't agree or disagree.

15 Q Okay.

16 A It looks appropriate, but I --

17 Q I want you to look hard at the acceptance  
18 criteria and tell me if you have any disagreements  
19 with the acceptance criteria.

20 A The acceptance criteria would -- as  
21 supported by attachment 1, which is the remote  
22 visual examination data sheet, would seem to focus

1 or narrow the scope down to the welds themselves.

2 Q But if you look at 6.01, it does also talk  
3 about the welds/surface. So while many of these  
4 would only be applicable to a weld, to be sure, it  
5 is clear that this is also to look at the surface.

6 A I'm not sure -- I wouldn't make that leap,  
7 because if it was me performing this procedure, when  
8 I go down to B in the attachment as to what I'm  
9 supposed to look at, the focus is on the welds.

10 Q Okay. By the way, what is the most  
11 susceptible part of the piping to -- I know you're  
12 not an expert in corrosion, but in corrosion, MIC or  
13 otherwise, if you know?

14 A The most vulnerable is the portion that  
15 has stress -- well, if it's stress corrosion, it  
16 would be the portion of the pipe that sees stress  
17 and also sees some corrosive agent.

18 If it's from the water, it would be the  
19 piping that has water in it that has the highest  
20 stress, or -- it's anything that combines the  
21 corrosion agent and a flaw or a weak spot in the  
22 weld or piping.

1 Q Do you know where most of the pits were in  
2 the piping at the Robinson plant that you referred  
3 to in your IE notice?

4 A My understanding is it was in the welds,  
5 around the weld areas.

6 Q And do you know why that's true?

7 A No.

8 Q Okay. There may be -- I understand you're  
9 not an expert in this area, but there may be some  
10 reason to really focus on the welds, too, that's  
11 logical because of materials and because of  
12 susceptibility to corrosion and where that's more  
13 likely than not to occur; is that not true?

14 A That is true.

15 Q Okay. Do you have a concern regarding the  
16 -- any piping that was inspected by CP&L and any  
17 weld pursuant to this procedure, if they properly  
18 identified any -- any deficiencies as indicated by  
19 the acceptance criteria that they saw?

20 A My concern was that the focus was on the  
21 welds. And if there were defects or indications in  
22 areas other than the welds, this procedure would not



1 necessarily -- it wasn't -- this procedure didn't  
2 give me the confidence that they would have been  
3 detected and identified.

4 Q On the other hand, if somebody who was  
5 responsible for and that was an expert in corrosion,  
6 for example, were to testify that he reviewed  
7 carefully all of the videotape of both the segment  
8 of the piping and the weld, that might resolve some  
9 of those concerns I take it?

10 A Well, I notice that the procedure says, on  
11 section 4.2, limitations, item number 4, "The vendor  
12 personnel operating the closed circuit television  
13 system need not be certified visual weld examiners.  
14 The television system operators shall display  
15 proficiency in performing their required functions."

16 As I interpreted that, and I may be wrong,  
17 as I interpreted that step in this procedure, the  
18 videotapes were made by technicians who were trained  
19 in the use of the equipment and so on, not people  
20 who were necessarily qualified or not backed by  
21 people who were NDE or qualified to detect  
22 corrosion, these experts you referred to.



1                   Do you have Exhibit 19 in front of you,  
2 Mr. Lochbaum?

3           A     Yes, I do.

4           Q     Did you review this document when you were  
5 visiting the CP&L documents production room?

6           A     I may have. Again, I don't specifically  
7 recall this document. It may have been one of the  
8 ones we requested.

9           Q     Okay.

10          A     The number, the Bates number seems in the  
11 range that we looked at, so that would lead me to  
12 believe that I did review it.

13          Q     So you haven't reviewed it carefully?

14          A     I have not reviewed it carefully.

15          Q     Would you take a few minutes to review it  
16 carefully, please.

17                   (Pause.)

18           THE WITNESS: Okay.

19           BY MR. O'NEILL:

20          Q     By the way, based on your review of this  
21 document, do you now know what the wall thickness is  
22 of the 12- or 16-inch diameter spent fuel pool

1 A No, I don't know how much.

2 Q Okay.

3 A And also I couldn't -- I assume that .375  
4 is correct, but I also don't know what the right  
5 thickness is.

6 Q You could look at the isometrics and  
7 determine that?

8 A That would tell me what the thickness was.  
9 You said for the safety function, so I'd have to  
10 look at the seismic design qualification and  
11 everything else to find out what the right thickness  
12 is.

13 Q An area, I note, that you indicated was  
14 outside your expertise to actually calculate?

15 A To calculate, I can look at the drawing  
16 and see what it says.

17 Q Right.

18 A That's a little different.

19 Q Do you have any concerns about the results  
20 of the inspection on these six welds and associated  
21 piping?

22 A Yes. It reiterates -- this, as I

1 understand it, is the follow-up to this test. It's  
2 the evaluation of the results from --

3 Q The draft, I might note.

4 A That's what it's intended to be  
5 ultimately, as I understand it. It's to review the  
6 test results of this visual inspection using the  
7 camera to see if it's adequate or not.

8 Q Right.

9 A As -- my concerns with the test were that  
10 it was focused on the welds. And this ESR,  
11 engineering service request, pretty much only talks  
12 about the quality or the adequacy of the welds, so  
13 that confirms the concern from the test that I had.

14 In addition, the only other concern that  
15 was raised was this one defect or indication that  
16 was observed and discussed, the lack of fusion for  
17 the one weld.

18 Q An incompletely-consumed insert on the  
19 root pass is a more correct statement.

20 A Indications of incomplete fusion is the  
21 last sentence.

22 Q Um-hum.

1           A     I'd have to pull that string a little bit  
2           further to see why these weld data records which  
3           look for things like this --

4           Q     Wait a minute.  Would you go back to what  
5           is Exhibit 16 and show me where there is any  
6           indication of an inspection of an ID of a weld in  
7           that weld data report.

8           A     Well, in this case it was N/A, which is a  
9           root pass NDE.  Isn't that looking for things such  
10          as this?

11          Q     Well, it was N/A for what reason?

12          A     I don't know why this weld was N/A.

13          Q     Right.  Could it be that there is no  
14          requirement for that type of inspection for a code  
15          Section III piping that's used for this application  
16          at this pressure?

17          A     It could be, yes.

18          Q     So you haven't found anyplace on the weld  
19          data reports that would have required an internal  
20          inspection as opposed to an external inspection of  
21          the welds?

22          A     Could you repeat that question.

1 Q You haven't found anyplace on the weld  
2 data report that requires an internal inspection;  
3 that is, ID inspection, as opposed to an external  
4 inspection?

5 A That's correct.

6 Q Okay. Now, did you see at the top of the  
7 last page that the root pass is backed up by  
8 multiple weld passes?

9 A I did see that, yes.

10 Q And I believe you testified you had no  
11 idea how many?

12 A How many passes?

13 Q Correct.

14 A That's correct.

15 Q Okay. Presumably enough passes to get to  
16 at least .375 inches, however?

17 A Presumably, yes.

18 Q Okay. And that that was inspected on the  
19 weld data report; that is, the external inspection  
20 to show that the welding was properly done?

21 A But we don't have the one for that one.

22 Q Correct, but I mean in general.

1           A     In general, that's correct.

2           Q     Okay. By the way, do you understand what  
3 the requirement is as discussed in the last  
4 paragraph on the last page with respect to the joint  
5 efficiency?

6           A     No, I do not.

7           Q     Okay.

8           A     I'd have to look at that part of the code.

9           Q     Okay.

10           MS. CURRAN: I need to confer with the  
11 witness for a minute.

12                   (Recess.)

13           THE WITNESS: Did I leave you that answer,  
14 last answer, or did I leave you hanging.

15           MR. O'NEILL: No, you answered.

16           THE WITNESS: Okay. I couldn't recall.

17                               (Lochbaum Deposition  
18                               Exhibit Number 20 was  
19                               marked for identification.)

20           BY MR. O'NEILL:

21           Q     I've asked the court reporter to mark as  
22 Exhibit 20 what is enclosure 16 to CP&L's response



1 to the RAI on the 50.55a alternative plan. It's  
2 entitled Supplemental Quality Assurance Requirements  
3 for the Design Change Packages Associated with  
4 Completion of the Unit 2 and 3 Spent Fuel Pool  
5 Cooling System. It has 15 pages.

6 Have you reviewed Exhibit 20 before, Mr.  
7 Lochbaum?

8 A I seem to recall having gotten a copy of  
9 the RAI response, but I didn't -- I was saving all  
10 of the reviews to do at once, all the discovery  
11 packages. So the answer to your question is no, I  
12 have not in detail.

13 Q I'd like you to take some time, as much  
14 time as you want, an hour if you want, to review  
15 this.

16 Your contention is that CP&L has not  
17 provided a plan to inspect and determine there is no  
18 degradation. Months ago, you've had what  
19 effectively is that plan and you say you haven't  
20 reviewed it yet.

21 So if you're the expert on this  
22 contention, I would like you to review it, and take

1 an hour to review if you want to, because I want to  
2 ask you some questions about it.

3 MR. O'NEILL: Why don't we take a break.

4 THE WITNESS: Okay.

5 (Recess.)

6 BY MR. O'NEILL:

7 Q Mr. Lochbaum, have you had a chance to  
8 study carefully Exhibit 20?

9 A Yes, I have.

10 Q Does this adequately address your concerns  
11 about the alleged failure to implement procedures to  
12 deal with the period of time between 1983 and 1999?

13 A No.

14 Q Why not?

15 A It doesn't address the quality of the  
16 piping, embedded piping.

17 Q Let's set that aside for a moment because  
18 we've spent some time discussing that.

19 With the exception of the embedded piping,  
20 the welds and embedded piping, does this equipment  
21 commissioning plan and the quality assurance  
22 procedures related to it address any concerns you

1 have with respect to the condition of the equipment  
2 of the spent fuel pool cooling system that will be  
3 commissioned and placed in service?

4 A Well, this plan by itself doesn't indicate  
5 what examinations would be done for the accessible  
6 piping.

7 The commissioning plan with the matrix of  
8 which components are verified by walkdowns,  
9 paperwork checks and so on provide, you know,  
10 essentially the meat on the bone. This is the  
11 skeleton of the program.

12 So it could, depending on what that meat  
13 looks like.

14 Q And I take it that you haven't reviewed  
15 all of the other procedures and all of the other  
16 test results from the inspections and reviews of the  
17 accessible piping and the welds that were provided  
18 in the CP&L document production?

19 A I have not studied them. I did see quite  
20 a bit and I saw the matrix, equipment matrix and  
21 some of the resolution of the problems and some of  
22 the acceptance of the installed, but I can't say

1 I've reviewed all of it, which is what your question  
2 was.

3 Q But right now you also cannot point to a  
4 particular disagreement that you have with what was  
5 done?

6 A Not for the accessible piping, any  
7 components, that's correct.

8 I do have one question about this, an  
9 observation, not a question -- I'm not sure I'm  
10 allowed to ask questions.

11 On page 3 of 15, this document refers,  
12 under the Responsibilities section for both the AIA  
13 and the modification engineer, it refers to the ESR.  
14 The -- I don't see that the ESR is identified  
15 anywhere within this document, but it's a relatively  
16 minor point.

17 Q Okay. If you look at page 3 of 15 where  
18 you were referring to a second ago, you see the role  
19 of the authorized inspection agency or the  
20 authorized nuclear inspector, do you not?

21 A Yes, I do.

22 (Lochbaum Deposition)

1 Exhibit Number 21 was  
2 marked for identification.)

3 BY MR. O'NEILL:

4 Q I've asked the court reporter to mark as  
5 Exhibit 21 a one-page document which was a letter  
6 from Dr. Richard E. Feigel, vice president,  
7 engineering of the Hartford Steam Boiler Inspection  
8 and Insurance Company to Mr. Steve Edwards, manager  
9 of the spent fuel pool activation project at  
10 Carolina Power & Light Company, dated March 8, 1999.

11 Have you seen this document before?

12 A Yes, I have.

13 Q Do you know who Dr. Feigel is?

14 A He is the author of this letter.

15 Q And have you -- do you know what his  
16 position is at the Hartford Steam Boiler?

17 A It says he's the vice president of  
18 engineering.

19 Q Have you read his resume which was  
20 provided to BCOC?

21 A I have seen it. I couldn't recall  
22 specific points off of it. I did see it.

1 Q Do you recall what his responsibilities  
2 are with respect to ASME code committees?

3 A No, I do not.

4 Q Okay. Does the fact that the independent  
5 Hartford Steam Boiler who has agreed to be the  
6 authorized nuclear inspector for the activation of  
7 the spent fuel pool, does the fact of their  
8 endorsement of the alternative plan provide you any  
9 additional confidence as to the efficacy and  
10 effectiveness of that plan?

11 A For the parts that we feel are within --  
12 that I feel are within the scope of the plan, it is  
13 good to have Hartford's endorsement of that plan.

14 My concern is that that plan is not  
15 all-inclusive, as it should be, so this doesn't give  
16 me any confidence regarding that scope problem.

17 Q Now, if we go back to what is Exhibit 20,  
18 isn't it true that the ANI is an independent  
19 reviewer every step of the way on the implementation  
20 of this plan?

21 A I couldn't say every step all the way  
22 through the plan.

1           Q     If, in fact, it were true that, in  
2           addition to, as set forth in some detail in Exhibit  
3           20, the quality assurance requirements to which the  
4           commissioning will be performed and the quality  
5           assurance, independent quality assurance and  
6           inspections and reviews, that indeed the ANI will  
7           provide independent review of all aspects of the  
8           commissioning of the spent fuel pool cooling system,  
9           doesn't that provide additional assurance that it  
10          will be done in a way that is quality and ensures  
11          protection of public health and safety?

12          A     Yes, that independent review does add  
13          assurance.

14          Q     What would you have required in this  
15          commissioning plan to have satisfied any concern  
16          that you might envision with respect to the  
17          commissioning of the spent fuel pool cooling system?

18          A     If this plan would have addressed complete  
19          visual inspection of the interior piping surfaces of  
20          the embedded piping portion and an assessment or  
21          evaluation or inspection of the external piping for  
22          the embedded portions, that would have addressed the

1 concerns with the scope.

2 Q Are you saying that you would have  
3 required, to satisfy your concerns, Carolina Power &  
4 Light to cut out reinforced concrete around the  
5 spent fuel pool to take a look at the external welds  
6 and the piping to satisfy your concern? Is that  
7 your position?

8 A That would have satisfied the concerns.  
9 I'm not saying that's the only way to satisfy those  
10 concerns.

11 Q Okay. Well, let's eliminate that as  
12 impractical for purposes of the hypothetical.

13 If we assume for the moment that that is  
14 impractical and, in fact, could damage the piping  
15 and would cause other problems, what, in addition to  
16 what is in this commissioning plan and in addition  
17 to what you've said with respect to a visual  
18 inspection of all of the piping, would you require  
19 to be in the commissioning plan to satisfy your  
20 concerns?

21 A A complete visual inspection of the  
22 interior piping surfaces, all of the welds of the



1 embedded portions, and some evaluation, analysis or  
2 inspection of the exterior piping surfaces.

3 Q And, of course, the evaluation has been  
4 done of all of the accessible exterior piping  
5 surfaces.

6 A That's my understanding.

7 Q And what you're talking about is some  
8 evaluation of the exterior that is embedded in  
9 concrete?

10 A That is correct.

11 Q I want you to tell me what evaluation that  
12 you would propose as one that would satisfy your  
13 concerns, particularly since we've agreed, for this  
14 opinion, that we are going to eliminate ripping out  
15 all of the reinforced concrete, tearing up the spent  
16 fuel pool to get to the piping?

17 A If it had been me in charge and I had to  
18 answer that question and document that, some  
19 walkdown of, was there any history of spills or  
20 anything that would have gotten into the concrete or  
21 around where these pipes came through walls that  
22 could have been an external contaminant, an

1 inspection of where it went into the pipe, into the  
2 walls and out of, things like that, that would have  
3 given me some basis for saying that there was not,  
4 or no apparent indications of an external  
5 contaminant source.

6 Or could have walked through areas where  
7 there was signs that water was collecting as if some  
8 kind of water from some unknown source was  
9 collecting in the building that could have  
10 contaminated the external surfaces. I would have  
11 tried to eliminate those potentials and documented  
12 that in some kind of evaluation.

13 Q Are you familiar with the second prong of  
14 the 50.55a(3) which allows for an exemption to ASME  
15 code requirements that you can make certain  
16 demonstrations?

17 There's two tests, alternate tests. One  
18 is you can demonstrate adequate quality and safety.  
19 That's the test we've been talking about; is it not?

20 A Right.

21 Q But there's a second test, isn't there?  
22 In fact, the board referred to it in its order.

1 A That's correct.

2 Q What's the second test; do you recall?

3 A I don't recall offhand because that wasn't  
4 the one that's the subject of the application.

5 Q Isn't it true that, as an alternative to  
6 demonstrating an accurate level of quality of  
7 safety, you can also demonstrate that it would  
8 result in hardship or unusual difficulty without a  
9 compensating increase in the level of quality of  
10 safety? Do you recall that as being the second  
11 test?

12 A I recall words to that effect, yes.

13 Q Okay. Isn't it true that where we are  
14 right now, that the second test is also not only  
15 applicable but a lot easier to meet? To meet your  
16 test that you've just established, assuming for the  
17 moment that you could inspect a hundred percent of  
18 the internal surfaces, the only thing that you would  
19 have CP&L do is somehow inspect the exterior of the  
20 piping which would certainly, if anything would fall  
21 into hardship or unusual difficulty, that might be a  
22 definition of it, and it would be pretty hard to

1 justify that you'd have some increase in quality and  
2 safety for doing that, wouldn't it?

3 A No, because, again, if it was me, I would  
4 have to weigh whether -- opine for that exemption or  
5 that provision is indeed a hardship versus dry cast  
6 storage which does not require me to do that.

7 So to say that it's impractical to inspect  
8 that, I have alternatives available that might allow  
9 me not to require that hardship.

10 So I don't know that, if I was making that  
11 determination, I would indeed be forced into the  
12 hardship one.

13 You know, you've presupposed that we've  
14 ruled out dry cast storage, and I'm not sure that I  
15 have enough information to do that. Or other  
16 options -- I don't mean to limit it to dry cast  
17 storage, but that was the one that came to mind.

18 Q Setting aside some alternative outside of  
19 the plan, but here we have a system that CP&L  
20 believes is a perfectly good system; in fact,  
21 they've done a lot of inspections and a lot of work  
22 and they've replaced anything that had any question.

1 They have redone welds, they have inspected outside  
2 and inside, and now they are ready to commission the  
-- 3 system.

4 The only thing that David Lochbaum would  
5 have them do more would be inspect a hundred percent  
6 of the interior of the piping and somehow inspect  
7 the outside.

8 If the only way to inspect the outside  
9 would require the removal of reinforced concrete,  
10 wouldn't you agree that, for purposes of this  
11 application, what we're looking at, that that  
12 additional step would result in hardship or unusual  
13 difficulty, and would not provide an increasing -- a  
14 compensating increase in quality of safety?

15 A No, because you've misstated what I've  
16 said twice here already today in that I did not at  
17 any time state that the only way to satisfy me is by  
18 an inspection of the exterior portions of the  
19 piping. I said an analysis, an evaluation or an  
20 inspection.

21 You're presupposing that an evaluation  
22 would be a greater hardship than ripping out the

1 piping and all the stuff like that, and I'm not sure  
2 that that's necessarily true, so I could not leap to  
3 that conclusion.

4 Q What kind of evaluation could be done  
5 without ripping out the reinforced concrete to get  
6 to the exterior piping?

7 A I went through that once just a few  
8 minutes ago. Do we want to repeat it now or do you  
9 want a different answer?

10 Q No, I want to understand. I may have  
11 missed something there.

12 A I said if it was up to me, I said I would  
13 do an inspection, look for things that could be --

14 Q Okay.

15 A That one.

16 Q I understand what you're saying. It is  
17 inspection of the outside of the spent fuel pool to  
18 see if there was any --

19 A Well, it's the fuel handling building.  
20 You know, the piping traverses -- not traverses, it  
21 runs through the building.

22 Q Correct.

1           A     So you'd look for things that could be a  
2     source of or evidence of water collecting.

3           Q     Let's assume that the company has already  
4     been smart enough to do that, unbeknown to you  
5     perhaps, but suppose that they, in fact -- in fact,  
6     if you'll read this, it says they did walk down the  
7     entire system, okay. Every pipe, every weld. Every  
8     part of the system. Let's assume that they were  
9     smart enough to look for exactly what you suggested.  
10    They have lots and lots of engineers and they have a  
11    lot of experience, okay.

12                    So assume they did that. What else would  
13    you have them do?

14           A     Instead of?

15           Q     No, anything else in addition, instead of  
16    cutting out all of the reinforced concrete.

17           A     You're asking me to theorize. I'd have to  
18    look at that evaluation and ensure that that  
19    satisfied the concerns.

20                    It's possible they might -- I haven't seen  
21    any evidence that that has been done, which doesn't  
22    mean that they are not smart enough. I don't mean

1 to imply that. That isn't a logical derivation of  
2 that.

3 But I'll stick with the original answer.  
4 Complete inspection of the interior surface and some  
5 evaluation, inspection or analysis of the exterior.

6 Q Notwithstanding the fact that you're not  
7 an expert, are you of the opinion that the piping at  
8 the spent fuel pool at Shearon Harris may have been  
9 subjected to MIC corrosion?

10 A There was a potential because there was a  
11 long period of time where there may have been  
12 stagnant water and high humidity, the conditions  
13 that could induce or the environment that we used  
14 earlier that could have produced them.

15 Q Now, setting aside what could have  
16 happened, in light of the visual inspection of which  
17 you saw was a draft report --

18 A Right.

19 Q -- which didn't report any observation of  
20 corrosion, and in light of the fact that all the  
21 accessible piping which was subject to the same  
22 water not only has not reported any corrosion, which



1 has been inspected both from the inside and the  
2 outside, and no one noticed any water leaking on  
3 their heads when they walked under it for ten years,  
4 does that suggest to you that it has not been  
5 subjected to MIC corrosion?

6 A No.

7 Q No?

8 A No.

9 Q What would it take to satisfy you that  
10 there has been no MIC corrosion?

11 A Well, for at least the third time, a  
12 complete visual inspection of the interior piping  
13 surfaces, including the welds, and an evaluation and  
14 analysis or inspection of the exterior piping  
15 surfaces of the embedded portion.

16 Q If you inspected 75 percent of all the  
17 piping and all the welds, that doesn't get you there  
18 that the probability is extraordinarily low that  
19 there would be MIC corrosion somewhere up in a pipe  
20 high up into the spent fuel pool that's embedded as  
21 opposed to lower in the system or anywhere else in  
22 the system that was inspected?

1           A     Inspecting 75 percent would give you  
2           greater assurance -- assuming the results came back  
3           that there was no indication, would give you greater  
4           assurance, and give me too, that there was no MIC.

5           Q     By the way --

6           A     But MIC is not the only -- it is one of  
7           the things that could cause piping deterioration.

8           Q     What other things could cause piping  
9           deterioration?

10          A     Rust. Well, stainless steel is less  
11          likely to be rust, but I'm not an expert, but I --

12          Q     I understand, and certainly that comment  
13          suggested it, but what else could cause --

14          A     I caught it. I get some credit for  
15          catching it.

16          Q     All right. What else could cause  
17          degradation in stainless steel piping other than  
18          MIC, given the fact that there is no temperature,  
19          right? There is no stress --

20          A     There is no temperature?

21          Q     There is no temperature -- there's a high  
22          temperature.

1 A High temperature.

2 Q What else could cause it?

3 A There have been things, contaminants,  
4 chemical contaminants that caused problems even  
5 including stainless steel, that could have been  
6 interior or external to the piping.

7 Q Did you review the results of the samples  
8 of the water in the lines?

9 A I've reviewed one sample that you  
10 distributed at the hearing. We've requested in  
11 discovery some more that have been done, which -- I  
12 hadn't reviewed all the documents that we requested.

13 Q Okay. Assuming that the sample of the  
14 water, not whether or not it has microbiologics in  
15 it, but the chemical analysis shows demineralized  
16 water with low concentrations of chlorine, fluorine  
17 and everything else, as would be in the spent fuel  
18 pool. What else could cause degradation of that  
19 piping?

20 A Well, first of all, at the July 1998  
21 meeting --

22 Q Um-hum.

1           A     -- the CP&L representatives, and I forget  
2           which one said it, but stated that the water in the  
3           spent fuel pools C and D wasn't real good quality.

4                     So the test that you distributed, the  
5           water chemistry test that you distributed at the  
6           hearing was from a much more recent vintage after  
7           the water in pools C and D had been cleaned up some.

8                     So I'm not sure that that test --

9           Q     But it was -- there was no clean-up of  
10          water in the piping. The water in the piping had  
11          sat there for ten years. They then sampled it. The  
12          sampling you got was what it was and what it's  
13          always been presumably because there has been no  
14          clean-up, nowhere for it to go.

15                    So I'm now talking about -- remember,  
16          there is a plug at the intake and discharge of the  
17          spent fuel pools to this system. So that the water  
18          that's gotten in there has just leaked by a plug,  
19          but there has not been any circulation whatsoever.

20                    So having said that, do you understand  
21          that to be true? Is that your understanding?

22           A     The configuration?

1 Q Yes.

2 A No.

3 Q You don't know that there's been plugs  
4 there or not?

5 A I don't know that.

6 Q Okay. Assume for a moment that I'm  
7 correct and there's been plugs there for at least  
8 ten years, and that the only water that's ever  
9 gotten into the piping has leaked by the plugs and  
10 it stayed there until it was finally drained this  
11 year. And that water was sampled. So we now have a  
12 chemical analysis and analysis of any of any  
13 microbiologics.

14 Is there any concern that we didn't get a  
15 representative sample of the water?

16 A Not under these assumptions, no.

17 Q Okay.

18 A However, I don't -- I'm not endorsing  
19 those assumptions.

20 Q Okay, I understand. But Dr. Moccari can  
21 certainly tell us that.

22 (Lochbaum Deposition

1 Exhibit Number 22 was  
2 marked for identification.)

3 BY MR. O'NEILL:

4 Q I've asked the court reporter to mark as  
5 Exhibit 22 a technical report authored by Dr. Ahmad,  
6 A-H-M-A-D, Moccari, M-O-C-C-A-R-I, dated May 12,  
7 1999. Two pages.

8 And I believe, Mr. Lochbaum, you have that  
9 in front of you and you've indicated you've seen it  
10 before. In fact, I gave a copy of it to you at the  
11 prehearing conference; is that correct?

12 A That is correct.

13 Q Did you review this report?

14 A Yes, I have.

15 Q Are you familiar with the laboratory tests  
16 that were run by Dr. Moccari and the results?

17 A I see the tests that were written. I'm  
18 not --

19 Q You're not an expert in this area?

20 A Right.

21 Q Do you have any reason to take issue with  
22 Dr. Moccari's results that there were no nuisance

1 bacteria present in the water in the spent fuel pool  
2 cooling system lines?

3 A At the time of the tests, I have no reason  
4 to doubt his results.

5 Q Secondly, Dr. Moccari reports on the  
6 chemical analysis of the water without giving  
7 specifications, but he notes that it was  
8 demineralized water with measured very low  
9 concentrations of chloride, fluoride and sulfate.

10 Now, do you have any reason to take issue  
11 with his representation of the results of the  
12 sampling that was done chemically of this water?

13 A Well, some of the documents we requested  
14 in discovery indicated chemical results that may  
15 contradict this. So --

16 Q Could you tell me what you think you saw  
17 that may have convicted this.

18 A Well, there were some chemistry results  
19 that appeared to be of the spent fuel pool water  
20 chemistry that showed -- there was a whole series of  
21 them. One of them would show chloride was high and  
22 then iron might be high or sulfates.

1                   So I need to look at that information in  
2 light of this report.

3           Q       Assume for the moment that there are plugs  
4 on the lines and that the only water that got into  
5 the lines was that which leaked past the plugs, so  
6 there was no recirculation.

7                   Isn't it true that the water that was  
8 sampled is the water that we are concerned about  
9 here, not which may have been in some pool, whether  
10 it's pool C, D or B?

11           A       Even with that assumption, the water that  
12 leaks by those plugs is coming from the place that  
13 may have been the test I'm referring to.

14           Q       Right.

15           A       So it's not completely different water.

16           Q       I understand.

17           A       It would have carried the sulfates and the  
18 chlorides with it in the water.

19           Q       But what actually got in was what is  
20 measured in those lines?

21           A       At this time, that is correct.

22           Q       And if you assume that I'm correct that



1 the -- there has been no circulation of the water  
2 for at least ten years, what you got is what you  
3 got?

4 A Well, except that I was sworn in and you  
5 were not sworn in, so I'm not going to buy into that  
6 assumption.

7 Q I understand, but if you assume that, then  
8 there's no way that the chemistry of the water can  
9 be other than what was sampled at the time.

10 The chemicals doesn't disappear, right?

11 A I'm not going to buy into that one either  
12 because I don't believe that to be true. Chemicals  
13 do indeed disappear.

14 Q Okay. By the way, do you know where the  
15 sample points were?

16 A For this test or for the ones I referred  
17 to?

18 Q Both. No, for this test and for the  
19 sampling of the chemistry of the water in the lines.

20 A No, I do not.

21 Q Okay.

22 (Discussion off the record.)

1 BY MR. O'NEILL:

2 Q Did you review the resume of Dr. Moccari?

3 A No, I did not.

4 MR. O'NEILL: Let me have marked as  
5 Exhibit 23 a two-page document entitled Resume of  
6 Ahmad Alexander Moccari.

7 (Lochbaum Deposition  
8 Exhibit Number 23 was  
9 marked for identification.)

10 BY MR. O'NEILL:

11 Q Take a moment, if you haven't looked at  
12 this, to review Dr. Moccari's credentials in the  
13 area of corrosion and materials and metallurgy.

14 A Okay.

15 Q Are you familiar with the Fontana  
16 Corrosion Center at Ohio State University?

17 A No, I'm not.

18 Q Are you familiar with Dr. Fontana?

19 A No, I'm not.

20 Q Are you familiar with Dr. Roger Staley?

21 A No, I'm not.

22 Q I guess we've confirmed that you're not an

1 expert in corrosion.

2 A I'm not sure that that is the appropriate  
3 standard whether I know those individuals or not. I  
4 think there's a different standard applied --

5 Q Let me ask this question. Do you happen  
6 to know what the premier corrosion research  
7 laboratory in the nuclear field is that has been  
8 used for, among others, the Department of Energy,  
9 Westinghouse and other major vendors in the nuclear  
10 area when they want to have very high-quality  
11 research done relating to corrosion of materials  
12 that are nuclear power plant components?

13 A No, but I would hazard a guess it's Dr.  
14 Moccari.

15 Q No. I asked the research laboratory.

16 A Oh, then I don't. I'm not even going to  
17 guess now.

18 Q Okay.

19 A But that's still not the standard for  
20 whether I'm a corrosion expert or not.

21 Q No. By your own admission you're not.

22 A I didn't realize it was that easy, just to

1 know who that person, you become a corrosion expert.

2 Q You don't have any reason to doubt or to  
3 cast aspersions on Dr. Moccari's qualifications as a  
4 corrosion expert?

5 A No, I don't.

6 Q Even though you can't confirm any of the  
7 people --

8 A If he knows all those people, he is a  
9 corrosion expert. We have established that.

10 Q -- studied under him.

11 (Lochbaum Deposition  
12 Exhibit Number 24 was  
13 marked for identification.)

14 BY MR. O'NEILL:

15 Q I've asked the court reporter to mark as  
16 Exhibit 24 a letter dated January 22, 1999, from Mr.  
17 David A. Lochbaum, Union of Concerned Scientists, to  
18 the then sitting commissioners of the NRC, subject:  
19 Current examples of risk-deformed regulation.

20 What instigated this letter, Mr. Lochbaum?

21 By the way, did you write this letter?

22 A Yes, I did. I signed it too.

1 Q What instigated this letter?

2 A My review of the license amendment  
3 application submitted by CP&L dated December 23rd,  
4 1998.

5 Approximately two weeks earlier, I think  
6 either on January -- approximately two weeks  
7 earlier, I don't know the date -- I had addressed  
8 the commission during a commission meeting or a  
9 briefing on risk-informed regulation and what some  
10 of the concerns that UCS had about the industry and  
11 NRC moved towards risk-informed regulation.

12 And subsequent to that meeting I reviewed  
13 the license amendment application and found what I  
14 considered this date to be another example of  
15 problems with the move towards risk-informed  
16 regulation.

17 Q I believe we established earlier that you  
18 are not an expert in probability and statistics.

19 A That is correct. I don't even know who is  
20 the premier person to be called before the NRC or  
21 whatever.

22 Q Do you still believe, after you've had

1 some time to reflect on this, that the probability  
2 of a fuel handling accident at Harris or any other  
3 plant would double if you were to increase the  
4 amount of spent fuel stored on site by a factor or  
5 two?

6 A Yeah, because you -- the probability of  
7 any individual fuel handling accident during a  
8 movement stays the same. If you do twice as many  
9 movements, then the probability of a fuel handling  
10 accident doubles. That's straight math.

11 Q That is one of the major mistakes that  
12 people who haven't studied probability and  
13 statistics make.

14 If you had a revolver with six chambers  
15 and you played Russian Roulette six times, by that  
16 logic, the probability of death is one by your  
17 logic, and that's not true, is it?

18 A That is not true.

19 Q Okay.

20 A You'd probably die sooner than that.

21 Q Or you may never die.

22 A I'm not going to take those odds.

1 Q Did you receive a reply from the Nuclear  
2 Regulatory Commission with respect to this letter?

3 A I believe I did.

4 Q What did they say?

5 A They said they were going to give this  
6 careful consideration, or words to that effect,  
7 during the license -- their review of the license  
8 amendment application.

9 MR. O'NEILL: I'd ask the court reporter  
10 to mark as Exhibit 25 a letter dated March 11, 1999,  
11 from Dr. K.P. Singh, S-I-N-G-H, to the chair at that  
12 time of the Nuclear Regulatory Commission, Dr.  
13 Shirley Jackson, the subject of which was the  
14 January 22, 1999, letter from David A. Lochbaum to  
15 the commission.

16 (Lochbaum Deposition  
17 Exhibit Number 25 was  
18 marked for identification.)

19 BY MR. O'NEILL:

20 Q Have you reviewed Exhibit 25 before?

21 A I don't recall having seen this before,  
22 no.

1 Q Why don't you take a moment to read it.

2 (Pause.)

3 MS. CURRAN: Is the relevance to this to  
4 contention 3 going to become apparent?

5 THE WITNESS: Okay.

6 BY MR. O'NEILL:

7 Q Do you disagree with Dr. Singh's analysis  
8 of the faults in your letter in any way?

9 MS. CURRAN: Objection to the relevance to  
10 this question.

11 BY MR. O'NEILL:

12 Q You may answer the question.

13 A Yes.

14 Q Tell me where you think Dr. Singh is  
15 incorrect in his analysis of your letter of January  
16 22?

17 A On the second paragraph of the first page,  
18 the last sentence says, "The probability function  
19 does not change unless the variables attendant to  
20 are altered."

21 I agree with that statement, but in my  
22 letter I pointed out that the number the fuel



1 moments was going to increase, which would double  
2 it.

3 In the next paragraph, Dr. Singh addresses  
4 that and dismisses it as negligible, not based on  
5 the point I made, but based on his observations of  
6 fuel handling experience within the industry.

7 Then he goes on into the middle of the  
8 next page and talks about "the following facts based  
9 on over 9,000 plant-years of worldwide wet storage  
10 experience."

11 He states that, "There has never been a  
12 case of loss of shielding to the stored fuel in any  
13 fuel pool anywhere."

14 And that is not true. The Haddam Neck  
15 reactor cavity seal failure of 1982 or '83 caused  
16 quite a bit of loss of shielding to the stored fuel  
17 at the Haddam Neck plant.

18 Q But it was not covered, of course.

19 A He said loss of shielding. If he had said  
20 no uncovering, I might not have argued it. What he  
21 said is factually not correct.

22 Q If you lost one inch due to evaporation,

1 that would be loss of shielding by your definition,  
2 I guess.

3 A I wouldn't have -- that is negligible, as  
4 he pointed out in the first page, so it would not  
5 have done it. There have been many, many, as  
6 evidenced in the appendix to this book, loss of  
7 shieldings of more than one inch. That's not -- in  
8 fact, there's a 1997 document that the AEOD branch,  
9 the group that was formally known as AEOD, within  
10 RNC has put out on loss of spent fuel water, which  
11 is shielding.

12 And they said, based on plant experience  
13 over an 11-year period just in the United States,  
14 that this happens on average once a year.

15 That's a little bit more than never.

16 Q But it's never been -- fuel has never been  
17 uncovered?

18 A He didn't say that. I'm addressing the  
19 point he said and not the point he may have wanted  
20 to say or you may have wished him to say or anything  
21 else.

22 Q I'm just getting your views as on his --

1           A     Right. His second item states that,  
2           "There has never been a nuclear criticality accident  
3           in any pool anywhere."

4                     There was in the, I believe, Vermont  
5           Yankee back in the 1974 or '75 time frame, they had  
6           an inadvertent criticality in the reactor cavity  
7           pool.

8                     So to say there has never been a nuclear  
9           criticality accident is somewhat bold. There may  
10          not have been many. It didn't lead to fuel  
11          uncovery, that type of stuff.

12                    "There has never been a significant  
13          release of radioactivity to the environment due to  
14          the malfunction of a fuel pool." That one --

15          Q     I think you say that in your book.

16          A     I would say that in my book, yes. So he  
17          got two out of three correct -- or wrong, in my  
18          estimation. So that would be criticism of his  
19          critique.

20                    In the last paragraph, despite my  
21          disclaimer, "legal intervention in CP&L's project is  
22          already reported to have ensued." At the time I

1 wrote that letter, I had not been contacted by  
2 anybody about providing expert witness testimony.

3 So the statement I made is correct at the  
4 time and remains correct.

5 MR. O'NEILL: Just give me one second, Mr.  
6 Lochbaum.

7 THE WITNESS: Take two.

8 BY MR. O'NEILL:

9 Q Mr. Lochbaum, did you understand all the  
10 questions that I asked you and you answered?

11 A I didn't understand them all because I  
12 asked for corrections on some of them. So with the  
13 exceptions of the ones that I asked for corrections  
14 on, yes.

15 Q Did you answer every question truthfully?

16 A Again, with the -- there were four  
17 questions that I had to provide clarifications on  
18 later, so the original answers to those were  
19 truthful at the time. I had to explain later  
20 because of various reasons.

21 Q Would you like to change any of your  
22 answers?

1           A     No.

2           Q     Thank you very much.  I don't have any  
3 further questions.

4           MS. UTTAL:  I don't have any questions.

5           MR. O'NEILL:  I think we're complete.

6           (Reading and signature not waived.)

7           (Whereupon, at 4:31 p.m., the deposition  
8 was concluded.)

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

CERTIFICATE OF DEPONENT

I, DAVID A. LOCHBAUM, do hereby certify that I have read the foregoing transcript of my deposition testimony and, with the exception of additions and corrections, if any, hereto, find it to be a true and accurate transcription thereof.

\_\_\_\_\_

\_\_\_\_\_

DATE

Sworn and subscribed to before me, this the \_\_\_\_\_ day of \_\_\_\_\_, 19\_\_\_\_.

\_\_\_\_\_

NOTARY PUBLIC IN AND FOR

My commission expires:

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

1 DISTRICT OF COLUMBIA, to wit:

2 I, Mario A. Rodriguez, before whom the  
3 foregoing deposition was taken, do hereby certify  
4 that the within-named witness personally appeared  
5 before me at the time and place herein set out, and  
6 after having been duly sworn by me, according to  
7 law, was examined by counsel.

8 I further certify that the examination was  
9 recorded stenographically by me and this transcript  
10 is a true record of the proceedings.

11 I further certify that I am not of counsel  
12 to any party, nor an employee of counsel, nor  
13 related to any party, nor in any way interested in  
14 the outcome of this action.

15 As witness my hand and notarial seal this  
16 14 day of October, 1999.

17


18

19

20

21

22

  
MARIO A. RODRIGUEZ  
Notary Public

MY COMMISSION EXPIRES: 5/31/2000





1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

CERTIFICATE OF DEPONENT

I, DAVID A. LOCHBAUM, do hereby certify that I have read the foregoing transcript of my deposition testimony and, with the exception of additions and corrections, if any, hereto, find it to be a true and accurate transcription thereof.

David A. Lochbaum

11-30-99

DATE

Sworn and subscribed to before me, this the \_\_\_\_\_ day of \_\_\_\_\_, 19\_\_\_\_.

\_\_\_\_\_

NOTARY PUBLIC IN AND FOR

My commission expires:

ANN RILEY & ASSOCIATES, LTD.  
Court Reporters  
1025 Connecticut Avenue, NW, Suite 1014  
Washington, D.C. 20036  
(202) 842-0034

E R R A T A S H E E T Page 1 of 2

Re: Carolina Power & Light Company, (Shearon  
Harris Nuclear Power Plant)

Case No.:

Date Taken: Thursday, October 14, 1999

Deposition of: DAVID A. LOCHBAUM

I hereby certify that I have read my deposition  
and that it is accurate, with the corrections  
listed below:

Page	Line	As Transcribed	Change To:
13	22	NC Warren	NC - WARN
20	3	NC Warren	NC - WARN
20	13	NC Warren	NC - WARN
27	19	EVAC	HYAC
22	2	state class IE	safety class IE
32	22	diesel generates	diesel generators
53	3	SLB	ASLB
53	4	SLB	ASLB
53	11	SLB	ASLB
53	17	SLB	ASLB
53	21	SLB	ASLB
54	12	SLB	ASLB
54	14	SLB	ASLB
61	21	SLB	ASLB
62	2	Yankee Row	Yankee Rowe
62	6	Yankee Row	Yankee Rowe
62	15	Yankee Row	Yankee Rowe
65	9	SLB	ASLB
126	14	IMPO	INPO
150	22	reactor material	radioactive material
165	18	end-stamped	N-stamped

11-30-99

Date

*David A. Lochbaum*

Signature of Deponent

NOTE: If there are no corrections, write "None" above.  
Use additional pages if necessary. Be sure you  
have dated the Errata Sheet.

NOTE: Page 152, line 22 through Page 154, line 14 is a  
duplicate (unnecessary) of Page 151, line 7 through Page  
152, line 21.

ERRATA SHEET Page 2 of 2

Re: Carolina Power & Light Company, (Shearon Harris Nuclear Power Plant)

Case No.:

Date Taken: Thursday, October 14, 1999

Deposition of: DAVID A. LOCHBAUM

Page	Line	As Transcribed	Change To:
184	3	hydrostatic Kelly	hydrostatically
222	14	dry cast storage	dry cask storage
222	16	dry cast	dry cask



11-20-99