

ACRST-3105

ORIGINAL

OFFICIAL TRANSCRIPT OF PROCEEDINGS
NUCLEAR REGULATORY COMMISSION
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

Title: MEETING: ACRS/ACNW JOINT
SUBCOMMITTEE

TRO4 (ACRS)
RETURN ORIGINAL *only*
TO BJWHITE *Do not*
M/S T-2E26 *send*
415-7130 *copies*
THANKS!

Work Order No.: ASB-300-1087

LOCATION: Rockville, MD

DATE: Friday, January 14, 2000

PAGES: 303 - 397

ANN RILEY & ASSOCIATES, LTD.
1025 Connecticut Ave., NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

ACRS Office *retain*
for the Life of the Committee

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

JANUARY 14, 2000

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, taken on January 14, 2000, as reported herein, is a record of the discussions recorded at the meeting held on the above date.

This transcript had not been reviewed, corrected and edited and it may contain inaccuracies.

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION
3 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

4 ***

5 MEETING: ACRS/ACNW JOINT SUBCOMMITTEE
6
7

8 White Flint II
9 Room T-2B3
10 11545 Rockville Pike
11 Rockville, Maryland
12

13 The subcommittee met, pursuant to notice, at 8:30
14 a.m.
15

16 MEMBERS PRESENT:

17 THOMAS KRESS, Co-chairman, ACRS Member
18 JOHN GARRICK, Co-Chairman, ACNW Chairman
19 GEORGE APOSTOLAKIS, ACRS Member
20 RAYMOND WYMER, ACNW Member
21
22
23
24
25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

P R O C E E D I N G S

[8:33 a.m.]

DR. KRESS: Let's please come to order.

This is the second day of the meeting of the Joint Subcommittee of the Advisory Committee on Reactor Safeguards and the Advisory Committee on Nuclear Waste.

Once again, I'm Thomas Kress, Co-Chairman of the subcommittee, and on my right is Dr. John Garrick, also Co-Chairman of the joint subcommittee.

Joint subcommittee members in attendance are George Apostolakis of the ACRS and Dr. Ray Wymer of Oak Ridge, Tennessee, and the ACNW. Also present is Dr. Milton Levenson, consultant to the ACNW. I guess we have two invited experts left, Dr. Robert Budnitz and Dr. Robert Bernero, Mr. Robert Bernero.

DR. APOSTOLAKIS: Is Tom coming?

DR. KRESS: I don't know. That's why I stumbled over this.

This meeting is going to continue the discussions we had yesterday on defense-in-depth in the regulatory process and particularly focus on its role in licensing a high level waste repository, but also its role in revising the regulatory structure for nuclear reactors that make it more risk-informed, and how the two are related to each other, if at all.

1 The subcommittee will gather information, analyze
2 relevant issues and facts, and formulate proposed positions
3 and actions, as appropriate, for deliberation by the full
4 committees. We always have to read that.

5 Michael Markley is the Designated Federal Official
6 for the initial portion of this meeting, that's Mike over
7 there.

8 Rules for participation in today's meeting have
9 been announced as part of the notice of this meeting
10 previously published in the Federal Register on December 21,
11 1999.

12 A transcript of the meeting is being kept and it
13 is requested that speakers first identify themselves, name
14 and affiliation, and speak with sufficient clarity and
15 volume so they can be readily heard.

16 With that out of the way, our agenda says we're
17 going to continue our general discussions and that Tom Kress
18 and John Garrick will review the goals and objectives of
19 this meeting.

20 John, do you have anything?

21 DR. GARRICK: Let me just comment a little bit
22 about some of the thoughts that we had when we were planning
23 this meeting; that if we could achieve those, it would be
24 very constructive.

25 It was pretty obvious from yesterday's proceedings

1 that from an implementation standpoint, there are vast
2 differences between the reactor problem and the materials
3 problem, and we also know there is a vast difference between
4 different categories of materials problems.

5 Much of what we have been talking about and
6 discussing has been narrowed to the high level waste
7 repository issue and the reactor safety issue, but we can't
8 forget that on the materials side, there are all these other
9 categories of things that we have to be concerned about and
10 be prepared to offer advice to the Commission on how
11 defense-in-depth might apply to those.

12 So maybe one of the things that we can discuss a
13 little more today are the non-high level waste issues and
14 what the role of defense-in-depth is.

15 The other thing that I would hope maybe we can
16 discuss is that we had a bit of a vision coming into this
17 that what we would like to do would be to agree on some
18 overarching issues and philosophy about the application of
19 defense-in-depth that would be applied regardless of the
20 application, and then realize that when we start talking
21 about how it's done and we start focusing on implementation,
22 that we need to specialize to the areas that we're going to
23 apply it to.

24 So I would hope that one of the things that might
25 come out of our discussion today would be some overarching

1 things that we could agree on as to what we mean by
2 defense-in-depth that are applicable regardless of
3 application, and then recognize that we've got to split it
4 up into the two primary issues and deal with it accordingly.

5 So that's it.

6 DR. KRESS: That's a good suggestion, I like both
7 of those. George, do you have any thoughts on what we
8 should be doing this morning?

9 DR. APOSTOLAKIS: I agree with John. Are we going
10 to write a letter?

11 DR. KRESS: That's probably something we need to
12 decide.

13 DR. APOSTOLAKIS: Because if we are going to write
14 a letter, I think we should spend -- we should structure the
15 discussion this morning around specific points we want to
16 make, not just general discussion of defense-in-depth.

17 DR. KRESS: Absolutely. Does the joint
18 subcommittee, at this point, actually see a need for a
19 letter? What would -- I'm sorry.

20 DR. BUDNITZ: I just want to comment about
21 something. John, your remarks seem to assume, as a
22 predicate, that it's possible to come up with something that
23 would be agency-wide and, more to the point, that it's
24 desirable and useful to do so, and I think, the best I can
25 tell, that's still an open question for discussion.

1 DR. GARRICK: You always have to have a goal.

2 DR. BUDNITZ: I understand. I've been thinking
3 about this a lot and it's more than not clear to me. It's
4 pretty clear that to try to do that may impede what the
5 various arenas individually need.

6 DR. GARRICK: I know Bob has --

7 DR. BUDNITZ: Without arguing that I'm -- I have
8 an open mind about some suggestions that might overcome
9 those difficulties.

10 DR. GARRICK: Right.

11 MR. BERNERO: I would suggest -- in fact, I put
12 together a brief outline of topics for discussion framed in
13 such a way as to discern whether or not there is some kind
14 of growing or evident consensus on the overarching
15 philosophy and on particular applications of that
16 overarching philosophy.

17 Put simply, I would suggest that an approach of
18 discussion that if it merits going to a letter or whatever
19 format, fine, because ultimately that would be desirable,
20 but start with what I would call the characterization of
21 defense-in-depth.

22 There was a lot of discussion yesterday of is it a
23 policy, is it a strategy, is it a philosophy, is it an
24 approach, to really discuss that carefully, so that one has
25 the bounds of what it is and can establish that.

1 Then in my own thinking, it goes to a policy of no
2 undue release rather than multiple barriers as a definition,
3 and then the relationship of defense-in-depth to
4 risk-informed regulation. They are two different concepts
5 and I think that has to be very clear.

6 Risk-informed actions are appropriate to the
7 consideration of defense-in-depth approach or philosophy,
8 and I think we should discuss that, and what are the
9 implications of applying risk information; in other words,
10 willingness to reconsider either the existence or the
11 modification of traditional barriers, things like we
12 discussed yesterday with the AP-600.

13 Then having discussed the overarching, go to
14 application in specific fields, in reactors, materials
15 regulation, low level waste or decommissioning, and high
16 level waste, because those last two are quite different. So
17 that's what I would suggest.

18 DR. APOSTOLAKIS: I think that's an excellent
19 suggestion.

20 DR. GARRICK: I think it's an extension of just
21 what we've been talking about.

22 DR. APOSTOLAKIS: Yes.

23 DR. BUDNITZ: Just to amplify what I said two
24 minutes ago in another field, I've never been on a code
25 committee to try to develop regulations to design public

1 facilities against earthquakes, but I have had discussions
2 with those that have wrestled with that for years.

3 For a long time, those code committees and the
4 people who are involved in such policies thought about
5 whether they could come up with some overarching
6 philosophical approach to such design, design, again, public
7 facilities, buildings, bridges and so on, refineries,
8 against earthquakes.

9 It turns out that while you can do it, it's not
10 terribly beneficial to do that, and the reason is that the
11 design problems are so different in California, coastal
12 California, than they are in, let's say, Florida. And why
13 is that? It's because the Bay Bridge, which I go across
14 from time to time, earthquakes are the principal threat.
15 But a comparable bridge in Florida, they are by no means the
16 principal threat. They're something you've got to do
17 anyway, also.

18 And whether something is a principal threat or not
19 governs the design philosophy in important ways, and that
20 could be the case here. Certainly I couldn't see
21 necessarily the same philosophy applying to smoke detectors
22 as I would to a nuclear power reactor, just to use a couple
23 extremes.

24 You have to be careful about whether, in striving
25 for that, you do a disservice to all of it. That's to

1 support my skepticism, without saying that I have open ears
2 to some ideas.

3 MR. HOLAHAN: This is Gary Holahan, on the staff.
4 If I may add a thought. Back in March, after some
5 discussion with the ACRS and the ACNW, the Commission issued
6 a white paper with a bunch of definitions in it and one of
7 them is this thing we talked about yesterday, which is, in
8 effect, the definition of defense-in-depth.

9 I think if the committees say nothing, then that
10 definition is left in place. So I think one of the things
11 that needs to be addressed is the fact that we already have
12 an expression by the Commission of a sort of philosophy and
13 definition of defense-in-depth and if the committee likes
14 it, that's one thing; if the committee doesn't like it, then
15 I think that frames the issue that the committee or staff or
16 someone needs to tell the Commission that a change is in
17 order.

18 So in part, the fact that that is an existing
19 document frames part of this issue.

20 DR. GARRICK: Not only that, Gary, we reviewed
21 that document in its preparation and one could take that
22 review as our endorsing that definition.

23 MR. HOLAHAN: Yes. And I think if the committee
24 says nothing or the staff says nothing, it ought to be
25 interpreted as a re-endorsement or at least not an argument

1 against leaving that definition.

2 DR. GARRICK: Maybe it's a good idea to put that
3 definition back up on the screen.

4 DR. KRESS: Yes, I was going to suggest that.

5 MR. MARKLEY: It's in your books, tab ten.

6 DR. KRESS: I don't have a notebook.

7 DR. APOSTOLAKIS: There was one transparency.
8 Would it help to put it up there? I believe Norm had it.

9 DR. GARRICK: Here it is.

10 DR. APOSTOLAKIS: We should also be able to see
11 it.

12 MR. BERNERO: The second bullet is my own words.

13 DR. KRESS: I personally don't have any problems
14 with that definition. It just lacks quantification, which
15 most definitions do, but as a concept, I don't have any
16 problem with it.

17 DR. APOSTOLAKIS: I don't know why I should
18 disagree with this.

19 MR. BERNERO: There are a couple of things that
20 you really ought to think about. This is a definition that
21 -- and as I said when I put it up, I don't quarrel with it,
22 but what does it mean and how is it applied. The rest of
23 the sheet music isn't written yet.

24 So the purpose of this dialogue and further
25 dialogue would be, okay, what are the implications of this,

1 not wholly dependent.

2 DR. APOSTOLAKIS: I think there is more to it than
3 just the implications. The more I think about it now, I'm
4 coming up with ways to modify it.

5 I think a fundamental issue here is the fact that
6 defense-in-depth, which is what it says there, has the
7 intent of managing uncertainty. Unless we say that, unless
8 we bring uncertainty in the issue here, we can't really go
9 very far.

10 The reason why that's important is because when
11 this was put together 40 years ago, the uncertainty in the
12 probabilities of accidents, frequencies of accidents was not
13 quantified. This is a key element. And now a part of it, a
14 good part of it is quantifiable and that's why we're
15 revisiting the issue.

16 DR. GARRICK: Yes. It should be pointed out,
17 George, and, of course, you know this, that in that same
18 paper, they did offer a definition of risk that did make
19 reference to uncertainty and quantification and what have
20 you.

21 DR. APOSTOLAKIS: But this defense-in-depth should
22 do the same.

23 DR. GARRICK: Right. There is one thing about
24 this, and I kind of like the definition, too, with the
25 interpretation that we're giving to it regarding risk. But

1 I think one word, key word is missing in that sentence that
2 talks about the net effect of incorporating defense-in-depth
3 into design, construction, maintenance and operation, and
4 that's the word management.

5 I think most of the cleanup and the strides that
6 have been made in elevating the U.S. plants into the top ten
7 group of the world recently has been principally driven by a
8 change in the culture, a change in the management, and
9 attitude of the people at the plants.

10 So I would just make the simple addition there
11 that the net effect of incorporating defense-in-depth in the
12 design, construction, maintenance, management and operation

13 --

14 DR. APOSTOLAKIS: I guess operation is implied.

15 DR. GARRICK: I think it's more than operation,
16 because the one thing the nuclear plants learned is that
17 there's got to be much more at the plant than just the plant
18 manager and the operations manager. The plant is very
19 strongly dependent upon support services, on engineering, on
20 a whole bunch of other things, and so I think that would
21 embrace that concept.

22 DR. KRESS: I would have narrowed that and just
23 said design, construction and operation. Those are parallel
24 activities that incorporate both management and maintenance
25 and it's just different phases of the reactor life.

1 DR. BUDNITZ: George, I want to amplify your
2 notion about uncertainty, because I think you might have
3 missed something. If have it wrong, you'll tell me.

4 Let me postulate for a minute that for a large
5 facility, it might be a gaseous diffusion plant or
6 something, that actually, in the analysis, in the PRA
7 analysis, all important uncertainties are quantified; that
8 is, we know them, which really means that they're dominated
9 by something that we really know and there are some
10 unquantified things that we don't know, but they're known to
11 be less important.

12 I don't think that the fact that you and I and
13 others around this table could say that with confidence is
14 necessarily enough for the general public. The general
15 public are skeptical of engineers and scientists. The
16 phrase intellectual arrogance comes to mind, because from
17 time to time, assurances have been given in other arenas
18 and, in fact, in the '50s and '60s and even in the '70s,
19 just go see what Dixie said after WASH-1400, they were said
20 in this arena.

21 That mistrust means that the general public may
22 seek additional assurance in the defense-in-depth arena,
23 even if the uncertainties are quantified well and we really
24 know what they are.

25 DR. APOSTOLAKIS: Yes, but that's a separate

1 issue. That's what to do when you have quantified. All I'm
2 saying is --

3 DR. BUDNITZ: Wait, wait. But I want to argue to
4 you that in that arena, a driver for a defense-in-depth
5 approach to design and operation could be to provide that
6 assurance to the public over and above our need for it as
7 engineers.

8 DR. APOSTOLAKIS: Right, over and above.

9 DR. KRESS: That's one of the reasons I came up
10 with the allocation concept in my definition.

11 DR. APOSTOLAKIS: I think that's the next issue.
12 We're discussing now the definition. I mean, somebody wants
13 to find out what is defense-in-depth and I think this
14 doesn't tell that person that the whole intent of the
15 philosophy is to manage the uncertainty associated with
16 reactor safety.

17 DR. BUDNITZ: Because, in fact, I argue that that
18 may not be the whole intent.

19 DR. APOSTOLAKIS: No.

20 DR. BUDNITZ: Yes. Now, let me just argue. An
21 important objective could be, and I argue that it ought to
22 be --

23 DR. APOSTOLAKIS: Convince the public.

24 DR. BUDNITZ: -- to make transparent to the public

25 --

1 DR. APOSTOLAKIS: That you have managed the
2 uncertainty.

3 DR. BUDNITZ: No, no.

4 DR. APOSTOLAKIS: Yes.

5 DR. BUDNITZ: No, no. That notwithstanding the
6 above, we have an additional barrier, notwithstanding the
7 above. In other words, even if we convinced ourselves we
8 didn't need a containment, not withstanding the above, we
9 give you this additional thing, because people can
10 understand what --

11 DR. APOSTOLAKIS: But the whole driver of this is
12 the uncertainty. The public also has uncertainty, they
13 don't believe us.

14 DR. BUDNITZ: In which case, that doesn't capture
15 that either. I'm just trying to make a point that --

16 DR. APOSTOLAKIS: I understand the point.

17 DR. BUDNITZ: -- if, in fact, the technical
18 community has understood its uncertainty and know what it's
19 doing and really don't think we need this thing, it may be
20 that that's the only way to get the public to accept
21 technology that they believe is dangerous.

22 DR. APOSTOLAKIS: But I don't think the definition
23 should say we're doing this in order to convince the public.

24 DR. BUDNITZ: I didn't say to convince them. I
25 said that an objective could be, and I propose that you

1 think about whatever it should be --

2 DR. APOSTOLAKIS: It's ensure. Ensures.
3 Defense-in-depth philosophy ensure that safety will not be
4 -- you want to put the words --

5 DR. BUDNITZ: I'm not a wordsmith here, although I
6 could try it. I'm just trying to make a point about --

7 DR. APOSTOLAKIS: And that's a good point.

8 DR. BUDNITZ: I'm trying to say that it's more
9 than just managing what we engineers and scientists think is
10 unquantified uncertainty.

11 DR. KRESS: George, I am always reluctant to
12 disagree with you, but let me throw this out to you. I
13 think, as a technical activity that's hazardous, society
14 values both preventing the accident from happening in the
15 first place. They value being able to stop it before it
16 gets very far. They value protection in case these things
17 fail and it goes so far that you've got to mitigate it, and
18 they value being able to have alternative means to protect
19 themselves.

20 And I say that defense-in-depth is just providing
21 those multiple layers because that's what we value, and not
22 because there's lots of uncertainty in each step. And at
23 the same time, it turns out to be a way to manage the
24 uncertainty as a byproduct.

25 DR. APOSTOLAKIS: And I think about it in the

1 complete opposite.

2 DR. BUDNITZ: I understand.

3 DR. APOSTOLAKIS: That the driver here is the
4 uncertainty and the reason why we value these things, and I
5 agree with you, is because we believe that that's a
6 reasonable way, a convincing way of handling that
7 uncertainty. If you didn't have that uncertainty, the
8 public would not be asking you for all these.

9 DR. BUDNITZ: I don't agree with that. That's
10 what I don't agree with.

11 DR. APOSTOLAKIS: Why aren't they asking for
12 defense-in-depth when it comes to an airliner?

13 DR. BUDNITZ: Because we've got data.

14 DR. APOSTOLAKIS: And the public is convinced that
15 it's ten-to-the-minus-X.

16 DR. BUDNITZ: Because we have data for airliners.

17 DR. APOSTOLAKIS: And what does that mean because
18 we have data? That we have eliminated a lot of the
19 uncertainty. That's the driver, that's the fundamental
20 issue.

21 DR. BUDNITZ: The data are acceptable.

22 DR. APOSTOLAKIS: The fundamental issue is the
23 uncertainty and if the public has uncertainty, some people
24 have lied or misguided the public in the past. So now other
25 things come from it. But the fundamental reason why we had

1 this was to manage the uncertainty associated with reactor
2 accidents.

3 MR. BERNERO: Could I interrupt with a thought?
4 This is a joint subcommittee meeting of two committees.
5 This dialogue betrays that this definition is essentially a
6 reactor safety approach.

7 DR. APOSTOLAKIS: It is.

8 MR. BERNERO: And it basically falls apart
9 seriously when you try to apply it to the materials side or
10 the waste management side. I think that's an important
11 point for the committee to consider.

12 DR. APOSTOLAKIS: Yes.

13 MR. BERNERO: My understanding of the white paper
14 is it was intended to be an overarching one.

15 DR. APOSTOLAKIS: Yes.

16 DR. KRESS: Yes.

17 DR. GARRICK: I'm certainly a disciple of
18 uncertainty being a highly visible part of the process and
19 that it is the keystone, if you wish, of the whole issue of
20 risk.

21 On the other hand, the reason I kind of like this
22 definition is that I think it communicates well. I think
23 it's absent of a lot of esoteric terms and a lot of
24 systemese language that sometimes offends people.

25 Sometimes the whole notion of risk and uncertainty

1 unfortunately does that. So I don't have a big problem with
2 it. I wouldn't have a big problem either with modifying it
3 to put some emphasis on that.

4 DR. APOSTOLAKIS: Yes. It's not an issue of
5 rejecting this.

6 DR. GARRICK: Right.

7 DR. APOSTOLAKIS: So how about if defense-in-depth
8 is an element of the NRC safety philosophy that employs
9 successful compensatory measures to manage the uncertainty
10 associated with accidents in nuclear facilities, and then go
11 on to say that you prevent accidents, bla, bla, bla, bla,
12 bla.

13 DR. GARRICK: Well, the only thought I have about
14 that is the public might say I don't care about managing
15 uncertainty, I care about ensuring my safety.

16 DR. APOSTOLAKIS: What's the difference?

17 DR. GARRICK: You and I understand that.

18 DR. BUDNITZ: But, George, let me just go to the
19 repository for a minute.

20 DR. APOSTOLAKIS: But aren't we arguing for the
21 public?

22 DR. BUDNITZ: But let's talk about the repository
23 for a minute. We all know that it's going to be a
24 non-trivial job for the Department to demonstrate, to their
25 satisfaction and to the NRC's, that they can meet the 10,000

1 year thing, right? But I think most of us would have no
2 problem with the Department saying we got high assurance for
3 1,000 years that nothing is going to come out. You do that
4 with a can, right?

5 And that's high assurance. But I know members of
6 the public that think that a thousand years is an awfully
7 long time and that it's arrogant beyond credibility for any
8 scientist to claim a thousand years for something that
9 hasn't lasted a thousand years and no one has built a can in
10 the year 1000. These are, in fact, then extrapolations. So
11 we have to recognize there are people out there, thinking
12 members, not just unthinking, thinking members of the
13 public, who don't trust our extrapolations, even though we
14 have very little uncertainty.

15 DR. APOSTOLAKIS: Look, I'm having a problem here
16 what we're trying to do. This is becoming a risk
17 communication session.

18 DR. BUDNITZ: No, no, no.

19 DR. APOSTOLAKIS: I am not saying that it's not
20 important to communicate to the public, but let's not forge
21 the technical community, too. We are trying to define a
22 concept that has been hailed as the cornerstone of the
23 safety philosophy of this agency.

24 DR. BUDNITZ: Sure.

25 DR. APOSTOLAKIS: And if I manage to communicate

1 both to the public and the staff what that philosophy is,
2 then I'm a great guy. But let's first try technically to
3 define it and understand what it means ourselves and then
4 worry about communicating to laymen. I don't think that's a
5 secondary --

6 DR. BUDNITZ: I'm not talking about communication.
7 I would argue to you that if Yucca Mountain only had a
8 thousand year thing, we still might want to have multiple
9 barriers, even though we had confidence you didn't need
10 them.

11 DR. KRESS: George, as a pure rationalist, do you
12 not have trouble with the second sentence?

13 DR. APOSTOLAKIS: The second sentence.

14 DR. KRESS: A pure rationalist has trouble with
15 it.

16 DR. APOSTOLAKIS: I have a -- sure. I'm willing
17 to give a little bit for this, because this is an
18 overarching principal, but the -- what I'm trying to say
19 here is there are certain fundamental things that have to be
20 mentioned and the fundamental reason why this approach was
21 developed by the pioneers before the NRC, before anybody
22 else, was the recognition that there was a lot of
23 uncertainty in what we're doing. We cannot quantify it.
24 Here is a way to make sure that it's managed, that the
25 frequency of the accidents is indeed small.

1 This is how the whole thing started and the reason
2 why we're going back to it now is because that uncertainty
3 is quantified, or a good part of it, as I keep saying.

4 Unless that is here, I don't see why we bother to
5 put this up there. Now, whether that is meaningful to the
6 public is a good question, but an equally good question is,
7 first, let's make sure that the two committees, the staff
8 and all offices and so on agree that this is a reasonable
9 definition, so we all speak the same language, and then
10 worry about how to communicate it to other people.

11 MR. BERNERO: I think the real issue is not -- I
12 share your feeling, that later worry about communication.
13 What you have to focus on here is agree on the language and
14 how to apply it in the scientific consideration.

15 DR. APOSTOLAKIS: Absolutely right. You're
16 absolutely right.

17 DR. KRESS: In effect, I don't like value
18 judgments placed in definitions and I would have marked out
19 the second and third sentence, and because the first
20 sentence is the definition. The second and third just throw
21 in things that give people some warm feeling, but it's not
22 part of the definition. It's a value judgment and
23 description.

24 MR. BERNERO: Do you want to go back and rewrite
25 this or do you want to decide whether you can live with it

1 and apply it? That's the basic point.

2 DR. KRESS: All I'm saying is I think we ought to
3 concentrate on the first sentence only, because that's the
4 definition. Those other things are just riders that go
5 along and have no essential impact on what you do.

6 DR. APOSTOLAKIS: How about if we end the first
7 sentence, you know, after "a nuclear facility," put a comma,
8 so that the probability of accidents remains acceptably low
9 or something to that effect.

10 DR. GARRICK: Or the likelihood of accidents
11 remains.

12 DR. APOSTOLAKIS: Or likelihood. Wordsmithing is
13 okay, but the thought. So you're doing all these things in
14 order to make sure the probability is low. Now, Ray
15 disagrees.

16 DR. WYMER: I do disagree.

17 DR. APOSTOLAKIS: Okay. Why is that?

18 DR. WYMER: I think that's off the point. It
19 seems to me that even if the uncertainty is very small or
20 negligible, you still want to do what it says in that first
21 sentence.

22 DR. APOSTOLAKIS: And I would argue that you can
23 never get to low probabilities unless you do what's in the
24 first sentence.

25 I don't know. I can make such a strong

1 containment that I can get there without doing too much
2 about CDF and other things.

3 I don't know what that means.

4 DR. BUDNITZ: You see, again, I'm not arguing
5 about wordsmithing here, but something about, in the last
6 sentence, it says "such that the net effect is the facility
7 tends to be more tolerant and is demonstrably so." There is
8 this point here. It's not just that it's so, but it's
9 demonstrably so. And demonstrably, I'm not sure whether I
10 like that word or not, but the idea is to be able to convey
11 to smart people who aren't risk engineers.

12 DR. GARRICK: I think we've made a lot of progress
13 if we can agree on the first sentence, because I do think
14 that -- what I like about this definition is that it
15 communicates well and the second and third sentence are
16 helpful to people not in the business, because it tells us a
17 little more of what it means.

18 DR. APOSTOLAKIS: Make them separate bullets
19 perhaps.

20 DR. GARRICK: Yes, yes. But I agree that as a
21 guiding overarching definition, that if we could agree that
22 the first sentence does that, then we've made one important
23 step.

24 DR. APOSTOLAKIS: Not as it is. I disagree.

25 MR. LEVENSON: John, might I suggest that this is

1 already out. So diddling with these words is an interesting
2 exercise, but I'm not sure what it means.

3 DR. GARRICK: Well, what it means --

4 MR. LEVENSON: Well, let me finish my thought.
5 That is that the thing -- the problem I have with this
6 definition that nobody has mentioned is that it lumps all
7 nuclear facilities in the same bag, and that, I think, is a
8 big mistake, and that it might be more valuable if, rather
9 than worrying about these words, this definition is out, it
10 might be more profitable to work on a statement as to how
11 this overarching statement applies to different facilities
12 and make it very clear that it applies completely
13 differently to reactors than it does to repositories.

14 DR. KRESS: In application, certainly.

15 MR. LEVENSON: Well, let me read you a couple of
16 words I diddled down here while everybody was talking.
17 Presently, defense-in-depth is a concept utilized in nuclear
18 reactor design and licensing to help assure the safety of a
19 dynamic high energy system. It is utilized as one of the
20 tools to deal with uncertainties and factors that have time
21 constants shorter than practical intervention times.

22 A repository, on the other hand, is not a high
23 energy system, does not contain large amounts of stored
24 energy, and has extremely long time constants. Therefore,
25 defense-in-depth, as applied to reactors, is not appropriate

1 for application to a repository.

2 The use of passive multiple barriers may be a more
3 appropriate method of coping with repository uncertainties
4 than is DID.

5 DR. KRESS: I think that's a good statement.

6 DR. GARRICK: Except that last, than is DID.

7 DR. APOSTOLAKIS: Passive barriers are DID.

8 DR. GARRICK: That's what I mean.

9 MR. LEVENSON: I'm saying I think it is a form of,
10 but I think if you don't dissociate these two, the
11 repository is continually going to be hung up with things
12 coming from the reactor side of the house. You have to
13 dissociate them. You can use whatever words you want.

14 DR. APOSTOLAKIS: But the first sentence has both.

15 DR. KRESS: It would fit that very well, the first
16 sentence would.

17 DR. APOSTOLAKIS: You don't want to say accidents,
18 though.

19 DR. BUDNITZ: At the end, you shuck DID, whereas
20 you might instead say it means this for the repository,
21 rather than just shuck it.

22 MR. KING: Can I jump here a little bit, too?

23 DR. KRESS: Yes, sure.

24 MR. KING: This is Tom King, from the staff. I
25 think Mr. Levenson's suggestion is a very good one. Gary

1 and I were just talking also that this came out a year ago,
2 this definition. If you use the analogy that consider this
3 the rule and what you guys ought to be working on is the reg
4 guide and how do you apply this and why shouldn't you be
5 talking about, okay, given this definition, what are all the
6 points that ought to be addressed in an application.

7 The application can vary across the regulated
8 activity. It's an attempt to manage risk, as George said,
9 prevention versus mitigation, all these points that you
10 think are important that aren't really covered very well in
11 this broader definition, but you think ought to be addressed
12 if somebody went to apply it.

13 To me, those would be the things you ought to be
14 focusing on in this committee and then once you get those
15 identified, then the next question would be how should those
16 be communicated; should we go back and modify the white
17 paper to put some sort of application statements in there,
18 should you recommend a separate policy on defense-in-depth,
19 what is the right vehicle to put this down and communicate
20 it to the staff and to the public.

21 But I wouldn't go back and fool with the
22 definition at this point.

23 DR. WYMER: I agree with that. I think that there
24 is a big difference --

25 DR. APOSTOLAKIS: What if the definition bothers

1 you?

2 DR. WYMER: Let me finish. There is a big
3 difference between a definition and implementation of the
4 concept, and I think that we ought not to mix the two up.

5 DR. APOSTOLAKIS: I still think that we are
6 embracing the notion of successive compensatory measures
7 without asking why that has to be there.

8 DR. KRESS: It's because we value prevention and
9 mitigation both.

10 DR. APOSTOLAKIS: And we value those because we
11 are uncertain.

12 DR. KRESS: No, no. We value them in the absence
13 of uncertainty.

14 DR. APOSTOLAKIS: Absence of uncertainty?

15 DR. KRESS: You're never going to have an absence
16 of uncertainty, but even with very small uncertainty, we
17 would still do this, because we want to prevent accidents
18 and we want to mitigate accidents. We would still do this.

19 DR. GARRICK: The truth of the matter is that
20 defense-in-depth has been in the gospel of how the NRC
21 assures safety or reaches a finding of reasonable assurance
22 of safety has been in the context of successive compensatory
23 measures. The earliest discussions about defense-in-depth
24 were synonymously associated with successive measures of
25 protection.

1 So I don't know. If we wanted to do surgery on it
2 and change what it fundamentally means, sure, we could do
3 that, but I think as a concept that has been discussed and
4 found its way into print, that has been so well documented
5 for us for this meeting, it has been in that context.

6 DR. APOSTOLAKIS: Right. But the point is that
7 now we want to look at it again under the current state of
8 knowledge and understanding why it was put together that way
9 is fundamental to this. There is nothing magical about
10 successive compensatory measures. We are not doing it
11 because we like successive compensatory measures. We do it
12 because we are not confident enough that the risk has been
13 managed.

14 DR. GARRICK: I think maybe we're overplaying the
15 compensatory measure issue because even if you think of a
16 single barrier, it isn't a single barrier, because we have
17 monitoring, we have maintenance, we have all kinds of things
18 that give us insight into the performance of that single
19 barrier.

20 So I don't get too hung up on this single element
21 thing because a single element could be a transducer. It
22 could be any one of a number of things.

23 DR. BUDNITZ: I have a suggestion for how to
24 overcome --

25 DR. APOSTOLAKIS: Speak into the microphone, Bob.

1 DR. BUDNITZ: Excuse me. I have a suggestion for
2 how to overcome some of this cross-talking a little in the
3 conversation. It seems to me that the title of that
4 shouldn't be what is defense-in-depth, but it really answers
5 two questions; what is defense-in-depth and what does it
6 accomplish.

7 The first sentence defines what is, the second
8 sentence is what does it accomplish, and there is a third
9 thing you people ought to be doing, which is how is it
10 applied.

11 DR. APOSTOLAKIS: Sure.

12 DR. BUDNITZ: So if you said to yourselves the
13 white paper says what it is, sentence number one; the white
14 paper says what it accomplishes, it ensures and it does,
15 right? Then you can say what's needed is now how is it
16 applied in the different arenas and you could make a major
17 contribution by writing down arena by arena what you think
18 would be a useful agency policy on how is defense-in-depth
19 to be applied in these arenas.

20 And there, the sort of things that Milt read to us
21 are a jumping-off point for the difference, for the
22 rationale for why there is a difference; there's a lot of
23 high energy, maybe there isn't, there's a lot of time, maybe
24 there isn't, which then drives how it's applied.

25 So if you think about it in that way, you

1 shouldn't be -- and playing with this doesn't talk about how
2 it's applied. It's not intended. It only talks about what
3 it is and what it does.

4 DR. KRESS: It also restricts its application to
5 nuclear facilities. I would be hard-pressed to call some
6 things, like an X-ray machine at a nuclear facility --

7 MR. BERNERO: You have to be careful. Legally,
8 facilities are, production or utilization facilities, under
9 Part 50 and now under Part 76. But the -- what John said
10 earlier, even if you take an extreme case, the one I
11 mentioned was the spent fuel shipping cask, that is
12 nominally just one barrier.

13 DR. BUDNITZ: It's not a facility.

14 MR. BERNERO: And I -- but never mind, it's a
15 nuclear practice or it's a nuclear situation, call it what
16 you will. I don't have gas pains with facilities with lower
17 case "f." But the point is it's not just a single barrier.
18 It is a very high quality barrier. You are depending on a
19 massive, robust mechanical containment and that's it.

20 You go out in any environment, ship it, we do
21 modal or NRC does modal studies to see if it got caught in
22 the Caldecot tunnel fire, that it would have melted or not
23 and that kind of consideration, but I would feel more
24 comfortable if it were unduly dependent on a single barrier
25 or a barrier.

1 But the key to it is you have to have a systematic
2 consideration and not have, yes, it's a barrier, I'll walk
3 away and forget about it, unless there are -- and if you go
4 to smoke detectors, you'll find buried in the analysis, it's
5 not a single barrier.

6 DR. GARRICK: Yes. And I think that the crafters
7 of this definition knew all of that and discussed all of
8 that when they did it and it's probably why you don't find
9 the word barrier following single up there, and the more
10 strategic choice of the word element, because that gives us
11 a great deal of freedom and flexibility. An element could
12 even be the issue of uncertainty.

13 MR. BERNERO: It could be a model.

14 DR. WYMER: It could be a monitoring system.

15 MR. BERNERO: It could be an initiating event. It
16 could be any number of things.

17 DR. APOSTOLAKIS: Well, the ACRS wrote a letter
18 May 19th of last year and it says this philosophy has been
19 invoked primarily to compensate for uncertainty in our
20 knowledge of the progression of accidents at nuclear power
21 plants. Later on it says when defense-in-depth is applied,
22 a justification is needed that is as quantitative as
23 possible for both the necessity and sufficiency, not just
24 the sufficiency, both the necessity and sufficiency of the
25 defense-in-depth measures.

1 If you question the necessity, then you cannot
2 make it part of the definition that you will have successive
3 compensatory measures.

4 DR. KRESS: Because that says it's necessary.

5 DR. APOSTOLAKIS: That's right, it says it's
6 necessary. I don't think that this is a definition. It's a
7 definition of what used to be defense-in-depth. The word
8 uncertainty has to be there in the first sentence. First of
9 all, the first sentence, I agree, has to be a separate
10 bullet, but this is really the key. It was developed
11 primarily to compensate for uncertainty in our knowledge of
12 the progression of accidents at nuclear power plants.

13 Now, it goes on to say improved capability to
14 analyze nuclear power plants as integrated systems is
15 leading us to reconsider the role of defense-in-depth. Now,
16 this is a little broader than what I was saying about
17 uncertainty, as integrated systems.

18 Defense-in-depth can still provide needed safety
19 assurance in areas not treated or poorly treated by modern
20 analysis or when results of the analysis are quite
21 uncertain.

22 So I hope this letter is not going to go against
23 several letters that the committees have written
24 independently.

25 MR. LEVENSON: Yes. But, George, I don't think

1 that's at all in conflict in the sense that this is a
2 definition and the statement that when this is applied, it
3 should be applied only when there are indications that it is
4 necessary.

5 So I don't think you have to put that in the
6 definition.

7 DR. APOSTOLAKIS: But the issue of necessity, if
8 you make it part of the definition that successive
9 compensatory measures are part of the definition, then
10 automatically they are necessary. The burden is on the
11 staff or the licensee to argue why they don't need them.

12 DR. GARRICK: But, George, I think the point that
13 I'm trying to make, and not very well, is that I can't think
14 of a situation where there aren't successive compensatory
15 measures.

16 DR. APOSTOLAKIS: I can't either. But can you put
17 the word uncertainty in the first sentence, John? Then you
18 satisfy me and I shut up. Just put the word uncertainty
19 there.

20 DR. GARRICK: Okay.

21 DR. APOSTOLAKIS: Because that's the reason --

22 DR. GARRICK: Well, I'm as much a disciple of that
23 as you are.

24 DR. KRESS: Is that enough of a concern to you,
25 George, that we need to make a big deal of it in a letter to

1 the Commissioners?

2 DR. APOSTOLAKIS: Yes, because otherwise this
3 whole meeting doesn't make sense to me. This whole meeting,
4 this whole effort of writing a new letter is meaningless to
5 me unless I recognize that here is a practice, a philosophy
6 that was developed to manage uncertainty and what's new now
7 is I can quantify that uncertainty. Otherwise, I don't
8 understand why we are revisiting it or visiting the issue.

9 DR. GARRICK: It's not out of order or out of the
10 question to take something like this and evolve it with new
11 ideas and time and what have you. So I don't -- I think if
12 we are pretty much in agreement that this is a definition
13 that, with minor surgery, would satisfy us all, if we limit
14 it to pretty much one sentence, that we could address that.

15 MR. BERNERO: You don't have the freedom to do
16 that, I think. I think you ought to forward with the
17 dialogue and say there are misgivings about this or that,
18 the lack of the word uncertainty or whatever, but this is
19 certainly not a statute. But the committee is facing a need
20 to talk about the philosophy of safety control or safety
21 regulation and this is sort of a given.

22 The committee had a shot at it before.

23 DR. GARRICK: Yes, we did.

24 DR. APOSTOLAKIS: At least the ACRS said that this
25 is something that's evolving, don't put anything down on it.

1 So it's not that we have blessed it in the past implicitly.

2 MR. BERNERO: I'm not saying that it's blessed. I
3 think for any progress to be made, there ought to be a focus
4 on are there general principles here and amplify on them for
5 an overarching philosophy that's applicable to all practices
6 that the NRC authorizes.

7 DR. APOSTOLAKIS: And I guess that's my problem,
8 Bob, that I don't see the rest of you recognizing that a
9 general principle here is that we are trying to manage
10 uncertainty.

11 DR. WYMER: Maybe that's a clue.

12 MR. BERNERO: But, George, are you recognizing the
13 principle that successive elements, not successive
14 mechanical barriers, not successive design controls, but
15 successive elements is a fundamental principle; that the
16 fuel shipping cask, I think, is a golden example because
17 mechanically it's one barrier, a highly complex, robust,
18 high quality barrier.

19 But the elements are the quality is a separate
20 element. The design, the management.

21 DR. APOSTOLAKIS: Sure, sure, sure.

22 MR. BERNERO: The restrictions are --

23 DR. GARRICK: I think he just wants recognition of
24 uncertainty as a key element of the whole process.

25 MR. BERNERO: And there's nothing wrong with

1 saying that.

2 DR. BUDNITZ: George, I think I can make another
3 distinction. Defense-in-depth is, in fact, a tool. Let me
4 say to you, what's a screwdriver? A screwdriver is a piece
5 of metal this long that's got a point on this end and a
6 handle or something, right? Why do we need the tool to
7 manage uncertainty? That's a why, it's not a definition.

8 So this doesn't bother me. If you then want to go
9 why do I need it, that's a perfectly appropriate thing for
10 you, the ACRS/ACNW to discuss. You need it for -- there is
11 a different "why" for a low level repository versus a high
12 level.

13 DR. APOSTOLAKIS: I gave Holahan a thought
14 experiment some time ago. I asked the following question.
15 If we were absolutely certain that you would have a core
16 damage event if you tossed six dice and they all came up
17 with sixes, would you still put a containment around it.
18 His answer was make them seven dice and I will not. That,
19 to me, says there is absolutely no epistemic uncertainty.
20 Right?

21 DR. BUDNITZ: Right, sure.

22 DR. APOSTOLAKIS: In fact, I made sure that the
23 seven dice were thrown independently in Los Angeles, San
24 Francisco, another one in Paris. So there is absolute
25 independence.

1 If they are all sixes, now, you can calculate it,
2 it's one over six to the seventh, this is the frequency of
3 core damage, there is no uncertainty about it, he might
4 consider not putting a containment.

5 So that tells me --

6 MR. BERNERO: Who said this?

7 DR. APOSTOLAKIS: Gary here. He made them seven.

8 MR. BERNERO: Guilty as charged.

9 DR. APOSTOLAKIS: So isn't that the fundamental
10 thing? Now, in order to settle this, another way of doing
11 it is we can accept this and I can write separate comments.

12 DR. BUDNITZ: But of course. That's why we don't
13 need five barriers for a smoke detector.

14 DR. APOSTOLAKIS: Somehow we don't want to say
15 that. That's what I am perplexed about.

16 DR. BUDNITZ: No, no. The question is the
17 screwdriver looks like this. Then later on you say why do I
18 have it, how do I use it, when do I use it and for what?

19 DR. APOSTOLAKIS: That's next, that's next. I
20 agree that's next.

21 DR. GARRICK: John?

22 DR. LARKINS: Might I suggest that you probably
23 would have more impact of value to the Commission if you
24 could talk about implementation of the defense-in-depth
25 philosophy and then afterwards, if you feel it's totally

1 inconsistent with the definition, you can come back and
2 review the definition.

3 But I think with the Commission recently debating
4 this definition and going through several iterations, that
5 unless there is a vehement objection to the current wording,
6 I would suggest that you try to --

7 DR. APOSTOLAKIS: John, that is a vehement
8 objection, I think.

9 DR. LARKINS: I understand.

10 DR. APOSTOLAKIS: We are talking about
11 communicating to the public, we should be communicating to
12 the stakeholders.

13 DR. LARKINS: I think you need to do both.

14 DR. APOSTOLAKIS: The most important stakeholders
15 for us are the Commissioners.

16 DR. LARKINS: But I think the Commission has
17 already made a point that you need both. I mean, the
18 Commission has raised the issue of risk communication.

19 DR. APOSTOLAKIS: I believe that it's of extreme importance
20 for all five Commissioners to understand -- not that they
21 cannot understand it, but to make sure that we are all
22 speaking the same language and that defense-in-depth was
23 developed to manage uncertainty. We all have to agree to
24 that.

25 MR. MARKLEY: But, George, couldn't that be

1 clarified in a policy statement or something?

2 DR. APOSTOLAKIS: Sure it could.

3 MR. MARKLEY: As opposed to revisiting the
4 definition? Because this is --

5 DR. APOSTOLAKIS: I have no problem with that.

6 MR. MARKLEY: -- a losing battle. You're not
7 going to get much value-added from it, that you couldn't do
8 the same in a policy statement.

9 DR. APOSTOLAKIS: Yes. I'm not arguing for going
10 to the Commission and say change the white paper. But since
11 we all seem to agree on this, we can take this and put it in
12 our letter and let the Commission decide how they want to
13 proceed.

14 DR. LARKINS: I'm not sure you have a majority
15 position on that right now.

16 DR. GARRICK: The way we can do that, because --
17 to get off this subject, if we can -- is that we can put it
18 in the context with this definition, if it's interpreted as
19 follows, this is how we support it.

20 MR. MARKLEY: Yes, and you could customize it for
21 the various applications in that respect, with elements or
22 sub-elements, however it would be uniquely applied.

23 DR. GARRICK: Well, I think if we can do that,
24 then we've done the one thing that at least I commented
25 about earlier this morning, is what can we agree on that is

1 overarching in terms of widespread application for nuclear
2 applications.

3 Now, we may still want to talk a little bit about
4 the non-high level waste component of the materials, of the
5 materials side, and what we need to do there and whether the
6 concept really is even relevant.

7 MR. BERNERO: I think you've got to agree to the
8 overarching principle that risk-informed application of
9 defense-in-depth is a key to intelligent use of it, and if
10 it's risk-informed, it addresses what are your
11 uncertainties, have you improved them or do you have a basis
12 to -- it actually -- I don't know the facts on the AP-600
13 containment spray, but a risk-informed application should at
14 least make it possible to say I don't need a containment
15 spray.

16 DR. GARRICK: Yes. I think the point of view of
17 risk-informed defense-in-depth is something we'd want to
18 talk about.

19 MR. BERNERO: Yes. But it's key to applying
20 defense-in-depth.

21 DR. APOSTOLAKIS: It seems that we almost came to
22 a consensus earlier. I said use the word uncertainty there
23 and Ray objected. Now, the ACRS said primarily to
24 compensate. If we put the word primarily, would you agree?

25 DR. GARRICK: Why don't we, George, try to do in

1 the context of --

2 DR. WYMER: That's moving in the right direction.

3 DR. GARRICK: -- implementation and how this is
4 interpreted, as a first step?

5 DR. KRESS: We can go back to see whether to put
6 the -- yes. In terms of application to the reactor side, I
7 certainly think we ought to call it or refer to it as a
8 risk-informed defense-in-depth and maybe even risk-informed
9 design defense-in-depth, and I think what was presented
10 yesterday to us by Gary and Tom King was a great step in the
11 right direction of having a risk-informed defense-in-depth
12 in the reactor side of the house and it fits this
13 definition, because what they do is they look at prevention
14 and mitigation and they decided how much of each they needed
15 and how to apply it to the different sequences and how --
16 and George has made a suggestion on how to deal with the
17 uncertainties and that is not just have one line, one area,
18 but three areas, and I think that's a great step and is in
19 the right direction for risk-informing the reactors.

20 So that would be how I would proceed from here to
21 the reactors area.

22 DR. GARRICK: Right.

23 DR. KRESS: And then we have to do something about
24 how would we proceed from here to the Yucca Mountain and the
25 others.

1 DR. APOSTOLAKIS: Well, there is more than
2 reactors, because there is the issue also of the
3 unquantified uncertainties.

4 DR. GARRICK: But the other thing I would like to
5 say about that, and I think it's another supporting reason
6 for why we don't want to talk about the quantification of
7 subsystems as a part of this in the waste field, and that is
8 one of the reasons that Gary and Tom can put those numbers
9 up there is that we have approximately 100 Parse to work
10 with.

11 We have lots of experience that has helped us
12 calibrate what we can expect to receive out of the
13 performance of these systems.

14 DR. KRESS: I think the main reason they can put
15 them up there is we already have the numbers.

16 DR. GARRICK: That's what I'm getting at. We
17 don't have those numbers in the waste field and I think that
18 our strategy has been that we ought to be pushing the
19 Commission, given that we're supposed to be moving in the
20 direction of a performance-based and risk-informed
21 philosophy of keeping focused on whatever we've decided is
22 the measure of performance, and not on surrogates of that
23 measure.

24 It might well be that as we do more PA work, as we
25 learn more about how to analyze these systems, that some

1 sort of yardstick where that's calibrated will surface and
2 then we can talk maybe about what kind of possible
3 thresholds make sense for a given application.

4 But I fundamentally think that that's not the way
5 to go because it's too site-specific, it's too
6 design-specific, A, and, B, we don't have the experience in
7 the calculation of those systems that we have in the reactor
8 side.

9 So I think this position that we've taken on
10 subsystems is the right position and I would like to think
11 that that might be one of the areas where the two problems
12 are very different, and they're different because of the
13 implementation, not because of a violation of an
14 overarching, underlying philosophy, which we should agree
15 on.

16 DR. APOSTOLAKIS: Well, I guess what you're saying
17 is that we don't know enough; therefore, we have large
18 uncertainty regarding the performance of each of the
19 barriers and so on. I think what is happening here is that
20 you will end up with words like unduly, not wholly dependent
21 or something to that effect, and you are postponing the
22 problem.

23 And eventually, at some point, which may be a wise
24 decision at this time, because maybe we don't know enough,
25 somebody will have to say, yeah, because of these results, I

1 am not relying on a single barrier.

2 DR. GARRICK: As you know, George, we continue to
3 emphasize, much more than in the past, that we need to
4 quantify the performance of these barriers.

5 DR. APOSTOLAKIS: Sure.

6 DR. GARRICK: So how can we make a dumb decision
7 if we have before us good knowledge about how these
8 particular barriers perform? We're not going to make a dumb
9 decision.

10 DR. APOSTOLAKIS: No, nobody is saying you're
11 going to make a dumb decision. You're just postponing the
12 decision as to what is the right allocation.

13 DR. GARRICK: Yes. Right.

14 DR. APOSTOLAKIS: That's all.

15 DR. GARRICK: Right.

16 MR. LEVENSON: Let me introduce an additional
17 slight thought, and that is I think we all agree that the
18 uncertainty is extremely important, but it's important only
19 if the consequences of that uncertainty are serious
20 consequences. We've got to be very careful about focusing
21 entirely on the uncertainties. It's only uncertainties that
22 have big consequences.

23 DR. BUDNITZ: Yes. A way of putting that in a
24 different light is I don't know whether a low level waste
25 burial ground under Part 61 is a facility, but let's define

1 it as one for these purposes and let's assume here for the
2 moment that the Commission had such a Part 61 facility in
3 mind when they wrote this.

4 I'm not arguing for smoke detectors, but let's
5 talk about a Part 61 low level waste burial ground, like
6 Barnwell, which is operating today under Part 61.

7 Now, the question is how much defense-in-depth do
8 you need? It's not just to manage the unquantified
9 uncertainty. You also have to recognize the total risk, if
10 the whole thing went to hell in a handbasket, is only this
11 much compared to a reactor and, therefore, only this much is
12 necessary, even if you were really very unsure of the
13 details.

14 DR. APOSTOLAKIS: See, that brings up the issue of

15 --

16 DR. BUDNITZ: So there is more to it than just
17 that.

18 DR. APOSTOLAKIS: Let's clarify my position here.
19 There are two or three different ideas that are floating
20 around, so let me tell you. The first idea is that
21 fundamentally, regardless of quantification, this philosophy
22 was developed to manage the uncertainty. That means keep
23 the probabilities low and the epistemic uncertainties
24 reasonably small, fundamentally.

25 The second point now that I was arguing yesterday,

1 and I'm willing to go away from it a little bit, the
2 implementation issue. When you have quantified the
3 uncertainties, you still use successive compensatory
4 measures and so on, but now you have a way of limiting and
5 deciding the necessity and sufficiency.

6 If you don't have quantified the uncertainty, then
7 you are invoking this principle again and say thou shall do
8 this and this and that, sorry if I'm imposing on you, but
9 that's life.

10 DR. BUDNITZ: That's right. In fact --

11 DR. APOSTOLAKIS: So defense-in-depth is -- I try
12 to keep the term only for the unquantified uncertainties. I
13 see today it's a losing battle, so I'm willing to concede
14 the point.

15 DR. BUDNITZ: That's right.

16 DR. APOSTOLAKIS: If you call it risk-informed
17 defense-in-depth, when you have quantified, I'm happy.

18 DR. BUDNITZ: That's right. To talk about Part
19 61, we know, even if we -- even though I argued we were
20 ignorant about certain --

21 DR. APOSTOLAKIS: I'm ignorant?

22 DR. BUDNITZ: No, no. I'm sorry. Even though I
23 was arguing -- let's postulate that we were ignorant in Part
24 61 about Barnwell's performance or something, that was in
25 the context that I know what all the radioactivity is in

1 there and I have a -- we, the community, has a handle on
2 what's the worst it could be, and that -- it's in that light
3 that we're never really ignorant, so ignorant.

4 MR. BERNERO: There is one part of
5 defense-in-depth that I think gets lost here. In reactor
6 safety and in nuclear facility, like fuel cycle facility,
7 safety, there is a concern about accidental outcome, the
8 risk of accident.

9 As you go into material distribution licensing or
10 go to waste management, Part 61 or Part 63, you're concerned
11 with routine release, expected outcome, and it raises a
12 different element of risk, the tolerability of uncertainty
13 or of lack of knowledge of what you have.

14 DR. APOSTOLAKIS: But here we had Dana Powers
15 yesterday sending us a message that because we have lots of
16 data for these activities, there is no need for
17 defense-in-depth.

18 DR. GARRICK: Another way of saying that, George,
19 is --

20 DR. APOSTOLAKIS: Is uncertainty.

21 DR. GARRICK: If we have lots of -- in fact, there
22 is -- if we have enough data, we don't need to do risk
23 analysis, because we know what the risk is.

24 DR. APOSTOLAKIS: Which supports my earlier point.
25 I also want to make a request, Mr. Chairman, that the

1 subcommittee members have been at it since 8:00. Would you
2 consider taking a break soon for a cup of coffee or
3 something?

4 DR. KRESS: I will take that under consideration.

5 MR. BERNERO: Give him the credit for conceding
6 points.

7 DR. KRESS: We are scheduled to have one at 10:00.
8 Would you like to have one now, George?

9 DR. APOSTOLAKIS: I would, yes.

10 DR. KRESS: My target for today, George, is to
11 shoot to end this at 11:00 or thereabouts.

12 DR. APOSTOLAKIS: Fine with me.

13 DR. KRESS: So let's keep it to a ten-minute break
14 maybe and get started again. So let's take a ten-minute
15 break.

16 [Recess.]

17 DR. KRESS: We are going to try and end this
18 meeting at 11:15, so let's get started again.

19 Before we start back into the roundtable
20 discussion, I've had a request from Norm Eisenberg to make a
21 few statements. Is he here?

22 MR. EISENBERG: I just wanted to mention a couple
23 of points. In considering the white paper definition of
24 defense-in-depth, please recall this was in the context of
25 the white paper, which is risk-informed performance-based

1 regulation. This is not necessarily a general exposition on
2 defense-in-depth.

3 A more important point is there was a lot of
4 discussion about what was in or what was not in the
5 particular definition, and there was a lot of focus on
6 uncertainty and whether or not it treated uncertainty.

7 The other part of the question, which is very
8 important for the materials activities, is that it also
9 talks about safety and perhaps you should give some
10 consideration to what the white paper and what you mean by
11 safety, because as Mr. Bernero alluded to, for a lot of
12 materials activities, we're talking about very small
13 quantities, very low levels of activity, very small risks,
14 and we're essentially talking about environmental
15 degradation, not essentially immediate threat to a person's
16 health and safety.

17 In thinking about an approach for both the high
18 level waste program and for materials in general, this is a
19 crucial consideration. You do not want to have the same
20 types of provisions to prevent an excess dose of between 25
21 millirem and 26 millirem that you want between, say, up to
22 500 rem. If you're talking about 500 rem, then you have a
23 real safety problem.

24 DR. KRESS: Right. I think those are really good
25 comments and that's why, actually, in my definition that I

1 proposed yesterday, I had the words it's a strategy to
2 achieve acceptable risk and you define what acceptable risk
3 your target is and if it's -- and if your acceptable -- if
4 the number you're dealing with is just a degradation of the
5 environment to a small extent and not a risk to the health
6 and safety of the public, your strategy is different,
7 because it wouldn't have to involve so many measures and to
8 such extent.

9 So I would have actually added that into my
10 definition. That's another place where I kind of disagree
11 with the definition a little.

12 MR. EISENBERG: So I wanted to at least bring that
13 up. I'm certainly for some materials, say you had a
14 truckload of ore, the consequences of an accident and
15 throwing it all over the highway are not very significant.

16 You would not expect the same kinds of multiple
17 barriers or defense-in-depth there that you would expect for
18 a nuclear power plant. It just doesn't make sense.

19 Somehow this needs to be included in whatever
20 conclusions you all come to, I believe, because I think it's
21 very important in materials. Not to belabor the point.

22 DR. APOSTOLAKIS: The driver is the risk.

23 DR. KRESS: We're glad you're feeling better
24 today.

25 MR. EISENBERG: Thank you.

1 DR. GARRICK: A quick recovery, I must say.

2 DR. KRESS: And also before we continue the
3 roundtable discussion, Ray Wymer had a few thoughts that I
4 think we ought to get onto the record before it's time to
5 call it quits.

6 DR. WYMER: Thank you, Tom. I think since we've
7 had all these high powered people around the table here and
8 in the audience for a day and a half, it would be nice to
9 think about producing a product of all of this effort, and I
10 personally am in favor of seeing if we can't draft some kind
11 of a letter based on these discussions.

12 In my view, the letter should start with a general
13 statement of what we mean by defense-in-depth, kind of along
14 the lines of this definition, and maybe some other
15 principles, as George has mentioned, and then split it
16 cleanly into two parts, one relating to reactors and DID as
17 it applies to a reactor situation, and then the other part
18 as it applies to the high level waste and other nuclear
19 materials.

20 And with some trepidation, I have prepared a half
21 a dozen comments that I think might form the basis for the
22 ACNW half of this letter, which I will pass around here.

23 DR. APOSTOLAKIS: That actually raises an issue.
24 I wonder whether -- how much can both committees say and how
25 much should be left up to the individual committees. For

1 example, the material that Tom and Gary presented yesterday
2 I'm sure will come before the ACRS at some point, so the
3 ACRS will write a letter on this.

4 Do we really need to bother to comment in detail
5 here and request approval from the ACNW? The same thing
6 applies perhaps to high level waste. Maybe we can say
7 something, but then leave the bulk of it up to the ACNW, so
8 that the ACRS will not have to bother reading that part of
9 the letter.

10 I think we have to do it in whatever way --

11 DR. WYMER: I think that's John's decision for the
12 ACNW, but my personal view is to separate them into two
13 separately conceived and approved sections.

14 DR. APOSTOLAKIS: Right.

15 DR. WYMER: That would be the right way to go.

16 DR. APOSTOLAKIS: And maybe send a message to the
17 Commission that they are indeed separate and this is
18 appropriately the function of this subcommittee, and both
19 committees should agree, but I wouldn't get too much into
20 the details of managing --

21 DR. WYMER: That would certainly expedite getting
22 them out.

23 DR. APOSTOLAKIS: -- Yucca Mountain or you
24 shouldn't get much into the Gary and Tom presentation, which
25 I'm sure the ACRS will have to write a separate letter on.

1 DR. WYMER: What I would like to do next is, I
2 have these half a dozen things, for the benefit of people
3 who don't have them, I'd like to read these.

4 MR. LEVENSON: Ray, just one second. I want to
5 comment on George's comment. Again, an important part of
6 this letter could be not that it's done separately, but it
7 sends the message to the Commission that both committees
8 agree that the issues are quite different.

9 DR. APOSTOLAKIS: Yes. Yes.

10 DR. LARKINS: I think, George, if you can -- that
11 this joint subcommittee can agree, as much as possible, on
12 both areas, it would be very good, because you're sending a
13 message to the Commission that there is some coherency in
14 your thoughts. So there is some agreement basically on some
15 of these ideas.

16 Where there are some specifics that you may want
17 to get into further at separate committees, that's fine, but
18 if you could reach some agreement.

19 DR. WYMER: That's the introductory part, the
20 overarching part.

21 DR. APOSTOLAKIS: Yes. I think we're in
22 agreement, but I wouldn't want the ACRS to get into the
23 details, for example, of why, for the high level waste
24 repository, we are not giving subsystem requirements.

25 DR. WYMER: The same thing is true in the other

1 direction.

2 DR. APOSTOLAKIS: And in the other direction, as
3 well.

4 DR. WYMER: Now, let me go to this now. I want to
5 read these off and I'd like to read them all with as little
6 interruption as possible, and then we can talk about it.

7 DR. KRESS: Are you asking us to keep our mouths
8 shut?

9 DR. WYMER: I want to say one other thing. We've
10 been looking at this issue sort of through an electron
11 microscope for the last day and a half. I'd like to back
12 off. This is more or less a handheld magnifying glass
13 approach to the whole thing, and they're pretty simple
14 statements. So I will read them.

15 I have entitled this "Defense-in-depth Issues,"
16 emphasizing the Yucca Mountain repository. That puts the
17 emphasis on the ACNW. Number one, we hold these truths to
18 be self-evident. There are uncertainties in Pas. There is
19 much less experience or data with waste repositories than
20 with reactors, so uncertainties in repository system
21 performance are larger for waste repositories. That's
22 number one.

23 Number two, performance and risk assessment
24 requirements are not as well understood for waste
25 repositories as for reactors. We need to elucidate and

1 explain these many differences and recognize them in the
2 defense-in-depth philosophy statements.

3 Number three, there should be several lines of
4 defense, and that's defense-in-depth, against release of
5 radioisotopes and the resultant radiation exposures. The
6 types and numbers of lines of defense should be directly
7 related to the uncertainties and relative hazards of system
8 performance.

9 Number four, defense-in-depth requirements for
10 waste and nuclear materials are different in very important
11 ways from defense-in-depth for nuclear reactors. For
12 example, in the case of the Yucca Mountain repository, after
13 closure, there is little probability of an accident of the
14 type that reactors may have, and this is related to the
15 physical nature of the systems and to the fact that there
16 are very large time dependent and potential energy
17 differences.

18 Number five, this -- now we're getting to Bob
19 Budnitz's point. NRC should specify clearly how the
20 performance assessment and probability risk assessment
21 should be done by DOE in its license application for the
22 Yucca Mountain repository and what it should include. If
23 the NRC guidance is good, then the assessment should be able
24 to be done well, without further specific NRC guidance. So
25 I wouldn't go quite as far, Bob.

1 And finally, again to Bob's point, because of the
2 nature of the interactions between NRC and licensed
3 applications for complex systems, there will always be a
4 strong possibility of an iterative licensing process. That
5 is, there will always be overtones of "bring me another
6 rock."

7 I think we can talk about those, but that's a
8 starting point for what we might put --

9 DR. APOSTOLAKIS: I see a strong underlying theme
10 here about uncertainties.

11 DR. WYMER: Nobody questions that there's
12 uncertainties, George, and I deliberately put that in. I
13 just didn't want it in the definition.

14 DR. KRESS: One of the things, I think, that ties
15 into all of this, and it was sort of pointed out to me by
16 Joe Murphy during the break, is that this definition we've
17 been referring to was really not in the main document of the
18 white paper, but a footnote in the white paper, and that the
19 text that was in the main document, in fact, does risk and
20 uncertainty and some of the language is that the concept of
21 defense-in-depth has always been and will continue to be a
22 fundamental tenet of regulatory practice in the nuclear
23 field, particularly regarding nuclear facilities.

24 And risk insights can make the elements,
25 risk-insights can make the elements of defense-in-depth more

1 clear by quantifying them, to the extent practical, although
2 the uncertainties associated with the importance of some
3 elements of defense may be substantial.

4 The fact that these elements and uncertainties
5 have been quantified can aid in determining how much defense
6 makes regulatory sense.

7 That's very logical and that's kind of what we
8 have been saying where the emphasis ought to be is on the
9 quantification of these so-called lines of defense.

10 Decisions on the adequacy of or the necessity for
11 elements of defense should reflect risk insights gained
12 through identification of the individual performance of each
13 defense system in relation to overall performance. It's
14 almost as if I wrote it myself.

15 So I think that is a perspective that, in the
16 preoccupation with the footnote --

17 DR. APOSTOLAKIS: I am completely perplexed now,
18 but I will not say anything else. So let's go on. I'm
19 lost, because the whole discussion clearly support my point
20 that the whole business here is one of managing uncertainty.

21 DR. KRESS: Sure.

22 DR. APOSTOLAKIS: And the fact that you guys feel
23 it's not important enough to put it in the so-called
24 definition leaves me at a loss.

25 DR. WYMER: It isn't that, George. It's the fact

1 that defense-in-depth, in my view, has a very strong element
2 of uncertainty, but it goes beyond that in some ways.

3 DR. APOSTOLAKIS: I understand that. I'm willing
4 to put primarily.

5 DR. WYMER: That's a big help.

6 DR. APOSTOLAKIS: But I think we should move on,
7 because we'll never do anything else.

8 DR. GARRICK: Yes, right.

9 DR. KRESS: Let's move on. What direction would
10 you like to go in?

11 DR. APOSTOLAKIS: The implementation, and I still
12 don't know what we're going to say about the non-repository
13 facilities.

14 DR. GARRICK: Well, it seems to me that a couple
15 of things have been identified. I think that if we are
16 genuine about the concept of a risk-informed approach, I
17 think the notion of risk has always got to be the prevailing
18 notion. So it just seems that it's more of a matter of
19 degree than kind here, that you certainly don't need to have
20 more defense-in-depth for sealed sources than make sense
21 from a risk perspective.

22 DR. APOSTOLAKIS: Exactly, and that is kind of the
23 letter that I had in mind. It would start out by saying
24 that the main idea here is to manage risk. Remember, we
25 have to wordsmith all this, but manage risk. And the

1 diagram that Norm showed yesterday did that very well.

2 For cases where the risk is high, and that
3 includes the timing issue, energetics and so on, you clearly
4 have to do something. So we have all these activities in
5 the reactor area. Then you move on to the waste repository.
6 Now, you don't have accidents as energetic and they're
7 happening in long time-scales and so on. So
8 defense-in-depth takes a different flavor.

9 Then you have the other NMSS activities, where the
10 risks now are low. You don't -- you have the issue of
11 voluntary risk, that's very important there in some medical
12 applications. The magnitude of the consequence is not as
13 high. So defense-in-depth now takes a different flavor from
14 the other two.

15 So, you see, that would give some coherence to the
16 letter, a common theme, and it would make very clear the
17 point that the implementation is really an important element
18 and it's very different in these different areas.

19 DR. WYMER: I tried to capture that in item number
20 three there.

21 DR. APOSTOLAKIS: Right.

22 DR. KRESS: I thought three was your best item.

23 MR. LEVENSON: George, I would have -- I would
24 quarrel with one word. Since no matter what we say, we need
25 to consider communications with the public, manage risk is

1 really an unfortunate choice of words. What we really want
2 to use is minimize risk.

3 DR. APOSTOLAKIS: Minimize --

4 DR. KRESS: We banned the word minimize from our
5 letters. Reach acceptable risk levels is a possibility.

6 DR. APOSTOLAKIS: Assure that the risks are --

7 MR. LEVENSON: Because manage has no connotation
8 of attempt to minimize.

9 DR. APOSTOLAKIS: I understand. The reason I use
10 manage is to send a message that it will be low enough, but
11 also the uncertainties about it.

12 MR. LEVENSON: I accept that.

13 DR. APOSTOLAKIS: So let's go on then.

14 MR. BERNERO: I would just like to add, for the
15 practices, material licenses, it's important to understand
16 the concept. There is a deliberate radiation exposure,
17 deliberate placement of radioactive material in the
18 biosphere, and the defense-in-depth or management is to
19 ensure that you don't significantly exceed the deliberate
20 exposure.

21 DR. APOSTOLAKIS: Yes.

22 MR. BERNERO: In other words, that the release,
23 whether it's an industrial gauge, you make sure the worker
24 can't get inside of it to get very serious radiation doses
25 and sealed sources have to have a certain robust character,

1 so that the machine doesn't break them open and unduly
2 contaminate.

3 And it becomes very complex to use the terminology
4 carefully. For instance, you will frequently find, instead
5 of the word facilities, you will find practices, radioactive
6 material usages or uses, practices, things like that.
7 Activities is another good word for it, too.

8 DR. KRESS: As a way to focus, I don't know if
9 this is appropriate or not, but I was going to ask our
10 invited experts and our consultant if I would be out of line
11 in asking -- going around the table, as a way to end this
12 thing, and say what are your impressions today, what
13 thoughts do you have of what might be in the letter, and
14 maybe even ask you later on if you could put this down in
15 writing for us.

16 I don't know if I -- we do that with consultants,
17 but with invited experts, why, it would be a big help to us.

18 DR. APOSTOLAKIS: If you say "we beg you," maybe
19 they will do it.

20 DR. KRESS: I think right now, since you have the
21 floor, Bob. I haven't given you time to gather your
22 thoughts maybe, but if you're ready.

23 MR. BERNERO: I am prepared and I'd be happy to
24 document this afterwards.

25 DR. KRESS: Okay. Great. Why don't we do that

1 right now then?

2 MR. BERNERO: Basically, as I see it, I see the
3 white paper as the appropriate starting point and that the
4 overall agreement that at least I believe is discernable is
5 it is a policy, a strategy, a philosophy and approach, it's
6 a sense of direction and it's not a specific exact
7 requirement.

8 I think George has some excellent arguments about
9 it is dealing with uncertainty in a sensible way or a
10 sufficient way, but at the same time, there is the
11 recognition of diverse elements, alternative elements of
12 defense that is in defense-in-depth, because there is a
13 virtual commitment that one will never achieve the level of
14 certainty that allows wholly dependent reliance on one
15 element.

16 So I think a very important thing is to have an
17 evaluation mechanism in applying this that there is not
18 undue reliance on any single element, and element in the
19 broad sense, not just barrier. The risk-informed
20 application of it does require a balance, a scale, not too
21 close, not too far, not too much, not too little.

22 An evaluation that would leave open -- and, again,
23 I repeat, I don't know the facts on the AP-600 containment
24 spray, but it should leave open the possibility of either
25 removing a traditional or expected barrier and it should

1 also leave open resistance to application in a new field of
2 a traditional barrier, such as emergency preparedness.

3 You don't apply emergency preparedness to a
4 repository because it doesn't apply. It's irrelevant.

5 The application to reactors is, I think,
6 appropriately done as a balance, a review, and I would
7 suggest that siting is an element that is -- at least
8 doesn't appear to me to get that kind of treatment.

9 The materials, the principles of this apply, but
10 the application for materials licensing is quite different.
11 I think a very good example to illustrate material licensing
12 issues for risk-informed application of defense-in-depth is
13 the spent fuel shipping cask. Practically everyone knows
14 it, practically everyone understands it.

15 On its face, it is a single mechanical barrier,
16 but the elements of defense-in-depth are diverse.

17 For waste management, I think the committee, and
18 this, of course, is directed to ACNW, the committee should
19 be careful that it is not applying defense-in-depth,
20 risk-informed application and all that to the high budget,
21 high activity, intense performance assessment atmosphere of
22 the high level waste repository.

23 There is a very large population of what I would
24 call decommissioning activities, DOE sites, licensed sites
25 elsewhere, burials, near-surface, near-biosphere, including

1 institutional controls, where the stuff -- if you ever get
2 into uranium mill tailings, you will find stabilized
3 tailings piles that are remote, isolated, that have very
4 little risk associated with failure, and yet they are under
5 perpetual custody and active maintenance with NRC oversight.

6 So you will find very great disparities in the low
7 level or near-surface disposal and the disparities are
8 profound between radioactive near-surface disposal or
9 management and hazardous waste, RCRA, CERCLA hazardous waste
10 management.

11 So I think the committee should be very careful
12 about defense-in-depth applied with the risk-informed
13 approach on things like low level, which are very different
14 from high level.

15 That's basically it.

16 DR. BUDNITZ: Where is that slide with the
17 definitions?

18 MR. BERNERO: I put it back.

19 DR. BUDNITZ: I'm going to take a different tact,
20 and try to turn this on its head. I think it is an error
21 for these committees to take an approach that would elevate
22 defense-in-depth to a higher level than a lot of people in
23 the agency and elsewhere think. I think it would be a
24 better strategy to see if you can figure out a way to
25 downplay it, and downplay, its role is a principle of one of

1 the ten commandments or whatever.

2 Its evolution, as we learned -- just go back to
3 Cliff Beck -- is that sound engineering principles were used
4 in the original concepts that led to the early reactors, and
5 people in the agency at the time and in the industry, the
6 General Electric and Westinghouse, explained those sound
7 engineering principles in terms of this phrase.

8 And then WASH-1250, Joe Hendrie wrote WASH-1250 --
9 it never was issued in final, it's only -- I still have the
10 draft from 1973. WASH-1250 said it was attempting to
11 explain -- it was that yellow book -- attempting to explain
12 it to the public and it was a wonderful piece of work --
13 said that -- go read it -- that the sort of things that
14 sound engineering practice had led to lead to these multiple
15 barriers which make sound engineering sense, and we call it
16 defense-in-depth.

17 Now, that was 27 years ago. I was here just 20
18 years ago and defense-in-depth certainly hadn't been
19 elevated to a principle at that time. It was more an
20 explanatory thing. And I think it is an error that the
21 agency, at the highest level, and this all -- it's an error
22 that happened in the context of risk-informed, you know,
23 1174 and those discussions, in error that these ideas have
24 been elevated to the point where after you've done the rest
25 of what you ought to be doing, you go back and make sure

1 this gets done, too.

2 It's an error that Part 63 has used the phrase
3 defense-in-depth for what it's trying to do, as opposed to
4 not saying that and saying what we're really going to do in
5 Part 63 is we're going to do that analysis and the bottom
6 line Amergosa Valley doses, and, besides that, we're going
7 to do some multiple barrier stuff, but let's not call it
8 defense-in-depth, because it ain't.

9 So I think that what I would recommend that the
10 committee would do, if I was writing your letter for you --
11 thank God I don't have the responsibility, though -- would
12 be to downplay the connotation that it's some sort of a
13 principle, but instead to explain that it emerges in
14 different arenas, low level waste is very different than
15 high level waste, never minding transportation or a fab
16 facility or a reactor, it emerges in different
17 manifestations as different facilities use sound engineering
18 practices, analysis, design, monitoring or whatever, to
19 accomplish managing the risk to an acceptable level in light
20 of the uncertainties, bla, bla, bla.

21 And if you then see it as emerging from sound
22 engineering practice, which the agency always wants to make
23 sure its licensees use and which it wants embedded in its
24 things, then it doesn't come down from the top. It emerges
25 from activities which you're doing anyway.

1 I would like to then hope that through such an
2 approach, those who don't understand what I just said would
3 understand it better and not invoke it as a separate
4 principle, but use it as a way of explaining to themselves
5 and to their colleagues and, of course, to the applicants
6 and licensees and the public, that it's a way of explaining
7 an element of sound engineering practice, which, by the way,
8 goes far beyond this arena.

9 That way, the fact that it's a policy or a
10 strategy or a philosophy is in light of a thousand years of
11 engineering practice and history and not in light of
12 something special for radiation or the role of this agency.

13 If you accept that, then as a practical matter,
14 and not arguing about the definition for a moment, the way
15 to approach that here could be for this committee, these
16 committees together, to explain that in application, and the
17 applications vary by arena, in application, in each arena
18 where it's applied, it manifests these sound engineering
19 practices and principle in a different way, because, of
20 course, the arenas are different.

21 They may have all the different characters or
22 different -- as we know they are. And in each one, it's a
23 way of explaining rather than a way of designing or
24 operating.

25 That's the thing that bothers me, and so maybe

1 I'll just quit with that. The thing that bothers me is I
2 don't see that you can operate, design even, design using
3 engineering principles, then you observe that, of course,
4 this is a way of explaining that kind of in an overarching
5 way.

6 It's almost as if you can't design a reactor to
7 assure adequate protection, which is, by the way, what the
8 original statute in 1954 asked the AEC to do, which remains
9 the fundamental charter of the Nuclear Regulatory
10 Commission's activities in this area, which they can't
11 design with an adequate protection, but adequate protection
12 is a way of explaining what you are trying to think about
13 when you were doing what you're actually doing.

14 And if you think about it that way, you will adopt
15 an approach in your letter that could diffuse rather than
16 amplify possibilities that elevating into a principle could
17 cause the havoc that we don't want.

18 DR. APOSTOLAKIS: Ode to Joy ought to be playing
19 while you are talking.

20 DR. BUDNITZ: I'd prefer Springstein myself, but you can
21 vote for Ode to Joy if you want. Excuse me.

22 DR. KRESS: Very good. Milt, do you have a few
23 words of advice for us?

24 MR. EISENBERG: I think I've already expressed
25 most of my thoughts. I think it's very, very important to

1 separate the reactor -- I was going to change that to say
2 not the reactor field, because as I think about it, it's
3 related to the characteristics of the reactor, not because
4 it's a reactor.

5 We ought to be careful, because for instance,
6 somebody might come in with some off-the-wall accelerator
7 application which, as radioactive stuff at 2000 psi and a
8 lot of other things, so we should differentiate on a basis
9 of two things, the uncertainty and the potential risk to the
10 public to separate, but that if that is done right up front,
11 I'm not very optimistic that you're going to get rid of the
12 term defense-in-depth, with all of its baggage.

13 But it seems to me that this letter might be a
14 useful device to present proliferation of defense-in-depth
15 to fields other than the reactors.

16 And whatever kind of words we want to use, that
17 the defense-in-depth, as presently understood and utilized,
18 applies to high energy, high risk facilities and that the
19 generic concept of not depending on a single failure for
20 other facilities, like a repository, is provided by having
21 multiple passive barriers or something equivalent.

22 But I strongly urge that you try to prevent the
23 proliferation of this to other facilities.

24 It's also very important that it not just be a
25 two-part split, reactors and Yucca Mountain, because there's

1 a large number of other facilities, clearly more in number
2 than either of these, but if the -- if basically we say it's
3 tied to how significant is the risk, then that allows you to
4 have different rules for lesser facilities.

5 MR. BERNERO: Could I add just one element? There
6 has been an undertone for the day and a half of risk
7 assessment or performance assessment embracing the element,
8 so that there is a -- I'll call it an assessment result that
9 comprises the basis of judgment on adequate safety.

10 One of the points that I had buried in my slides was that
11 the performance assessment is one part of the body of
12 information upon which one judges the acceptability of a
13 high level waste repository.

14 As demonstrated in the WIPP, the intrusion
15 scenario is a real consideration. It's part of the body of
16 information in judging acceptability and it does not lend
17 itself to analytical performance assessment treatment.

18 Similarly, in reactor safety, we now have some
19 terrorist threat in the United States. We now have a design
20 threat for reactors that takes into account the possibility
21 of a vehicle bomb getting close enough to cause core melt,
22 large containment release, and so forth, and that does not
23 lend itself to the typical PRA assessment either.

24 So there is a large body of judgment of acceptable
25 safety and safeguards and in this particular case, it's more

1 safeguards, that is outside the performance assessment or
2 PRA arena and shouldn't be forgotten.

3 DR. GARRICK: I think the comment I would make to
4 that is what you're talking about is scope. That as we have
5 done performance assessments and as we have done PRAs, there
6 has emerged a certain scope of things that we consider. But
7 I would not want to have the record suggest that you can't
8 include those kinds of things in a risk assessment or a
9 performance assessment, because anything you can think of
10 you ought to be able to include, as long as it's relevant to
11 what you're trying to analyze.

12 DR. BUDNITZ: I could comment that what Bob just
13 said compliments what I said very nicely. The fact is that
14 in the vehicle threat arena, the approach has been to take
15 the facts and the problems and the potentials and use sound
16 engineering principles of various kinds, so that the agency
17 carries out its mission of -- by the way, that's part of the
18 common defense and security part of the agency's mission.
19 There is more than just public health and safety. There's
20 common defense and security and the environment. All those
21 words are there.

22 All of those things apply commonly accepted
23 engineering principles of different kinds, one of which is
24 risk assessment, but it is not the only, and in some arenas,
25 it's the principle, but in some arenas, it's not even the

1 principle method used.

2 That then goes along with my -- and this very much
3 compliments my notion that this should be downplayed as sort
4 of a ten commandments principle.

5 MR. LEVENSON: Let me just comment. I did not use
6 the word risk assessment, Bob. I used the word risk --

7 DR. BUDNITZ: I know you did.

8 MR. LEVENSON: -- and that is --

9 DR. BUDNITZ: I agree with you.

10 MR. LEVENSON: -- for the large number of things,
11 the hospitals, the sources, et cetera, we don't want any
12 implication that they need to do a PRA, no matter how simple
13 it is. But there are ways of -- risk, as a generic term,
14 includes both what Bob Bernero was mentioning and --

15 DR. APOSTOLAKIS: Now, there is one other point I
16 want to make, since we are talking about differences between
17 reactors and other areas. You are using the term
18 performance and performance assessment for something that we
19 would never use the word for, like the release or the dose
20 after so many years and so on.

21 I guess that's a performance measure for the waste
22 area. Core damage frequency of the quantitative health
23 objectives are never called performance measures in the
24 reactor area. The reason -- although they are used perhaps
25 in the same way, I think the reason is that we reserve the

1 term for performance indicators, which, by their very
2 definition, mean that you are measuring real data from the
3 plant, you are collecting real data, do some simple
4 calculations, and compare against the performance measure at
5 that level, a threshold.

6 That's the process that was presented yesterday,
7 the new oversight process and so on relies heavily on those.
8 So this word is used in different contexts, I think, in the
9 two areas, and I don't know whether we want to say that in
10 this letter.

11 DR. BUDNITZ: George, you've just made a point
12 that, again, I think compliments what I was trying to say.
13 Look, the reactor has what we call normal operation every
14 day and then there's a spectrum of upsets from, you know,
15 little things to the larger things.

16 And what has consumed NRR for all this time, and
17 appropriately, is to assure that the biggest upsets don't
18 occur or occur with manageable consequences or are kept at
19 very low probabilities per year.

20 Now, at a low level waste burial ground, a Part 61
21 facility like Barnwell or certainly at Yucca Mountain, we
22 use the word performance because you don't think of it in
23 sort of it has normal performance and then an accident comes
24 along.

25 What you're trying to do at a Barnwell is trying

1 to figure out, for the next 50 or 150 or 400 years, what the
2 normally expected behavior, which they call performance, is,
3 as opposed to what the normal things with accidents put on
4 top.

5 DR. GARRICK: Yes, but they do mean safety
6 performance.

7 DR. BUDNITZ: Yes, they do. They do mean safety
8 performance, but because the upsets are of a different
9 character -- by the way, you could have -- the analog of an
10 accident is, you know, a plane lands on Barnwell 200 years
11 hence. That's an accident, right? And that is considered
12 in the design in terms of probability and consequence. So
13 it is considered.

14 But the word performance is used because in the
15 other area, really the way one thinks about these things is
16 in that more different light.

17 DR. KRESS: Now, I don't want to put anybody on
18 the spot, but we would welcome some summary comments from
19 the staff, if you care to make them, and both on the NMSS
20 side and the reactor side.

21 MR. HOLAHAN: This is Gary Holahan. I guess I
22 could say a few things and then if Tom and Norm would like
23 to say something, I guess they could speak for themselves.

24 I think a lot of the things that have been said in
25 the last day or so are helpful in shedding some more light

1 on a concept that's been around for a long time, and I think
2 if the committee were to write some of these things down,
3 not necessarily in the context of rewriting the white paper
4 or rewriting the definition, but in more of an explanatory
5 sense, I think it would be helpful to the staff and the
6 Commission, because we do have a number of activities going
7 forward.

8 Certainly, in the reactor area, the concept is
9 being used in our license amendments, in risk informing the
10 regulations in various processes. And to the extent that we
11 can have a clearer understanding of what it is and what it's
12 not, I think we're probably better off.

13 One of the things that -- I think Bob Budnitz
14 expressed it, sort of in the strongest sense I've heard, but
15 we had other sort of versions of it, and that is that
16 defense-in-depth is not an absolute, and I think when we
17 talk through a number of examples, defense-in-depth is a way
18 of addressing uncertainties where that is important.

19 We have examples where either the consequences are
20 very low or the frequency of events are very low and the
21 staff has never applied defense-in-depth in those cases, and
22 you can go and you can sort of work those examples out.

23 So I don't object to the idea that we should shed
24 a little more light on defense-in-depth and make people
25 aware that it is not a fundamental concept. It is a way of

1 addressing uncertainties. The fact that you are addressing
2 uncertainties is a more fundamental concept. If it's a
3 principle, it's a derived principle, it's not a fundamental
4 thing.

5 And I think that would be helpful. Whether it's
6 designed in or explained afterwards, I think those are
7 interesting thoughts, but I don't -- I'd have to think about
8 it a while before I would rewrite anything on that point.

9 But the point that uncertainties are the more
10 important issue and that as we move forward, we're using
11 this tool, where appropriate, and if the committee would
12 shed some light on the state-of-the-art and the
13 appropriateness of defense, of where defense-in-depth has
14 its largest role, that would be of some value.

15 Now, whether those thoughts would be reflected in
16 an edited white paper or just some other arena, I think, I
17 don't know and maybe that's a matter for the Commission to
18 decide.

19 DR. KRESS: Thank you, Gary. Tom?

20 MR. KING: Let me add to what Gary said. I think
21 a lot of what Budnitz said, at one time, I thought maybe
22 this was a subject that was worthy of a Commission policy
23 statement, but after the discussion, I don't think that's
24 the case.

25 I think what we're talking about is a practice

1 that the Commission has employed over the years. Policy
2 statements, to me, are more to state Commission
3 expectations, not to document practices. I think the issue
4 that really needs to be addressed is how should this
5 practice be applied, so that it's applied consistently,
6 recognizing the various -- it may vary depending on the
7 regulated activity you're talking about, but there probably
8 are some elements of consistency, what is its purpose and so
9 forth.

10 We have other practices that the agency employs,
11 just like defense-in-depth. They employ safety margins,
12 they employ use of codes and standards and so forth. We
13 don't have policies for those things.

14 To me, the real question is not so much -- I think
15 you've talked about a lot of the various elements of
16 application that would be worthy of writing down. The
17 question to me is where do you write them down. Should it
18 be a separate white paper, should it be a modification of
19 the existing white paper, should it be something else? I
20 think that's -- any light the committee could shed on that
21 would be useful, but I think it's worth writing them down
22 somewhere, if we find the appropriate place to write them
23 down.

24 MR. EISENBERG: This is Norman Eisenberg. I think
25 one of our big concerns is that there not be some

1 overarching principle that would be geared toward reactor
2 regulation and imposed on materials regulation. Everybody
3 understands our concerns and has responded positively to
4 that. So that's very good.

5 NMSS is going to move further into risk-informing
6 its regulations and risk-informing its regulatory practices.
7 This is not an easy thing to do necessarily and some of the
8 traditional concepts of safety and defense-in-depth, I
9 believe, is one such concept, have to change in that
10 environment.

11 And some of the things that I've talked about
12 would be, I think, helpful if the subcommittee could endorse
13 to some degree. For example, how do you handle
14 uncertainties in a risk-informed performance-based
15 regulatory environment and how does the degree of hazard or
16 the degree of risk play into those decisions.

17 So that, for example, in a deterministic
18 environment, you want your expected performance, the load
19 bearing capacity of the crane to be above the load, the
20 expected load. When you do a probabilistic calculation, the
21 question is how do you do the comparison and do you still
22 need the same amount of margin or if the consequences of
23 exceeding the limit -- for example, if the limit is 25
24 millirem, can we use the mean value of a dose distribution
25 to demonstrate compliance.

1 This is something that I think is a difficult
2 policy issue that the staff grapples with every day, that
3 demonstration of compliance with a standard, does that have
4 no relationship to what the standard is protecting against
5 and do you need the same degree of assurance for lower risk
6 activities as you do for higher risk activities.

7 This certainly plays into all the discussion that
8 I've heard about uncertainty. But this -- maybe this is not
9 the letter that this should be addressed in, but this
10 certainly is an issue that this subcommittee is going to be
11 involved in, because as NMSS moves to risk-inform its
12 regulatory activities, we're going to confront this again
13 and again.

14 So I would bring that up as something to think
15 about.

16 DR. KRESS: Thank you. I'd like Steve Hanauer to
17 make a few comments for us.

18 MR. HANAUER: Mr. Chairman, ladies and gentlemen.
19 For the record, my name is Steve Hanauer. I've served as a
20 member and Chairman of the ACRS, as a staff member in the
21 Atomic Energy Commission, and NRC regulatory staff. I am
22 now an employee of the Department of Energy, in the Yucca
23 Mountain program.

24 But what I'm going to say is my own opinion and I
25 do not speak for DOE.

1 I've been listening to the discussion particularly
2 today. In my opinion, the various discussions over-estimate
3 the state of knowledge and, therefore, under-estimate the
4 contribution that defense-in-depth and multiple barriers,
5 whatever you want to call it, make to achieving acceptable
6 levels of safety.

7 I think performance assessment and probabilistic
8 risk assessment are very important and very useful. They
9 are the only way to deal with rare events or with 10,000
10 years of projected performance.

11 But the uncertainties involved, I believe, are
12 greater than risk analysts generally believe. The
13 unanticipated challenges, the unexpected behavior and
14 failure modes and the bizarre human behaviors continue to
15 occur and should be acknowledged.

16 It seems to me that defense-in-depth and multiple
17 barriers or whatever you would like to call them is
18 necessary to achieve acceptable levels of safety for some
19 applications. I think the public understands this.

20 That the public skepticism for some pronouncements
21 from the technical community is justified and that
22 defense-in-depth and multiple barriers are a legitimate
23 technical response to this legitimate skepticism.

24 I would observe, I would recommend a certain
25 acknowledgment of the real uncertainties involved as we

1 proceed with our analyses of these things.

2 Thank you.

3 DR. KRESS: Steve, while we have you up there,
4 could I ask a couple of questions about that? You seem to
5 be very receptive of the concept that defense-in-depth in
6 terms of multiple barriers is a good way to compensate for
7 large and basically unquantified uncertainties and that,
8 therefore, it would be very appropriate to apply
9 defense-in-depth principles to Yucca Mountain, which is a
10 little different than what I heard from some of the other
11 people.

12 MR. HANAUER: That's why I asked to address the
13 subcommittee.

14 DR. KRESS: Where do you think the assessment of
15 the potential risk that is associated with Yucca Mountain
16 ought to fit into the thinking on how much defense-in-depth
17 is necessary or how good the barriers have to be or
18 whatever?

19 MR. HANAUER: Well, I've been looking at
20 calculations like that in the last few weeks. To the extent
21 that one has defense-in-depth and to the extent that the
22 models represent what will happen, then when you do the
23 calculations, you find that the results are very low or even
24 zero risk, because of the overlapping protection provided by
25 the multiple barriers or the defense-in-depth or whatever

1 you want to call them.

2 And therefore, it's rather difficult to use
3 probabilistic risk assessment to give a quantitative
4 estimate of defense-in-depth, although Norm Eisenberg's
5 suggestion of a year or more ago on barrier neutralization,
6 if carried beyond single barriers, enables one to evaluate
7 where the design is strong and weak, again, to the extent
8 that the models represent reality, and to tell you where to
9 spend your money.

10 The recent addition of the drip shield to the
11 proposed Yucca Mountain design is an example of this. It
12 turned out that we were, in many people's opinion, including
13 mine, becoming overly dependent on the performance of the
14 waste package and even on the details of this performance,
15 and the drip shield was, therefore, added to decrease the
16 dependence of the overall performance of the repository on
17 this one element.

18 So that you can use this as a tool. You mustn't
19 believe everything you get, but you get insights from it and
20 both the risk assessment and the defense-in-depth I view as
21 tools to achieve using somewhat different approaches, the
22 necessary high degree of safety.

23 DR. APOSTOLAKIS: If I could make a comment, Tom.
24 I think what Steve is telling us is consistent with what
25 seems to be the consensus of the subcommittee. I think that

1 his point is that the unquantified uncertainties are still
2 very large. So that defense-in-depth, a risk-informed
3 defense-in-depth is something that cannot play a major role
4 right now, that you have to apply it almost as a principle,
5 because the unquantified uncertainties are very large.

6 I don't know enough about the repository, but for
7 reactors, I'm not sure that's the case. I think a
8 compromise has to be found because it is true that people do
9 stupid things, still it is true that every now and then
10 something happens that we hadn't thought of, but its risk
11 significance, I would argue, is not such that it would make
12 me worry about the validity of the PRAs.

13 And I think as I mentioned yesterday, the work
14 that the former AEOD is doing collecting data and so on goes
15 a long way towards convincing me that a good part of the
16 PRA, in fact, do represent what happens out there. And it's
17 too bad that the AEOD has not figured out a way to
18 advertise, to publicize what they are doing, because most of
19 the community are not aware of it, including PRA analysts.

20 So I think the words that you are giving us can
21 serve as a caution, so we don't become too enthusiastic
22 about PRA and its results. But I do believe that in the
23 reactor arena, for example, putting a defense-in-depth,
24 applying defense-in-depth at the level that Gary and Tom
25 presented yesterday, and maybe some other levels, is a

1 reasonable way to proceed.

2 In other words, I would give more credence to the
3 results of risk assessment for reactors, because we have
4 been doing them around the world. We've been collecting
5 data, and there seems to be a consensus there that this is
6 it.

7 DR. KRESS: I would certainly agree.

8 DR. APOSTOLAKIS: Now, when it comes to severe
9 accidents, I think you are right. I think your words
10 acquire more weight as we move into those exotic areas where
11 experience is not very strong.

12 DR. KRESS: Bob?

13 DR. BUDNITZ: Can I ask Steve a question?

14 DR. KRESS: Yes.

15 DR. BUDNITZ: Steve, I wonder what your reaction
16 is to the following thought. Gary Holahan said something a
17 few minutes ago I thought rung a very nice bell with me. He
18 said that defense-in-depth is, to him, not a fundamental
19 principle, but it's a derived principle.

20 Let me just postulate something. Imagine, Steve,
21 that you are in control of the design, which you're not, but
22 you're part of the senior management of the project at Yucca
23 Mountain, and you and your colleagues observed that a great
24 reliance on that canister was being placed in the earlier
25 design and you and they felt nervous that maybe you didn't

1 have as much confidence as you'd like to have, so the drip
2 shield was evolved as a means of your achieving more
3 confidence.

4 Now, if the principle of defense-in-depth had
5 never been enunciated by us or anybody else for reactors, I
6 suspect you would have done that anyway. But now you have
7 observed that it is, in fact, for you, a manifestation of
8 this defense-in-depth idea that I know you've known about
9 for 40 years in your previous life as one of the great
10 experts on reactor safety.

11 So I'm going to ask the question. Do you see it,
12 also, what Gary said, as it's derived or it's sort of a
13 manifestation of sound -- what I was saying, sound
14 engineering approaches, or does it rise to a higher level?

15 MR. HANAUER: I don't really think that those
16 words matter. It's almost angels on the head of a pin.

17 DR. BUDNITZ: That's a fair comment.

18 MR. HANAUER: Whether it's a fundamental or
19 derived, I think it's a tool, a very useful tool.

20 DR. BUDNITZ: Okay. Well, the reason why I think
21 the distinction does matter is that not everybody either in
22 the design organizations of the licensees and applicants,
23 nor on the staff, have the experience and wisdom of a Steve
24 Hanauer.

25 DR. APOSTOLAKIS: But they do matter, Steve,

1 because you just said it's a tool. You downgraded it. De
2 facto, by declaring it a tool, you downgraded it. See, when
3 we were writing four years ago the risk-informed guides, we
4 had long discussion around this table as to whether the
5 principle of defense-in-depth should be preserved, and we
6 settled with philosophy.

7 So it does matter. I think it doesn't matter
8 because, in your mind, it's just a tool.

9 DR. BUDNITZ: No, no. It doesn't matter to Steve
10 because Steve -- forgive me, Steve -- has experience and
11 knowledge. By the way, he's not unique in this, but Steve
12 has experience and knowledge which isn't -- and
13 understanding, which, by the way, is not unique, but
14 certainly is greater than your average designer out in the
15 field somewhere or your average regulatory staffer.

16 DR. GARRICK: I think we're quibbling now. I
17 don't think this is --

18 DR. APOSTOLAKIS: I think Steve made his point
19 very well.

20 DR. BUDNITZ: I'm just worried about it being
21 elevated.

22 DR. APOSTOLAKIS: It would not be, unless I'm
23 removed from this committee.

24 DR. KRESS: I also worry, though, Steve, that
25 another person with equal experience, but a different

1 perspective, might come in and say I am still uncomfortable
2 with all the uncertainty, particularly when the stuff gets
3 into the ground and travels through the ground water and so
4 forth, and I want more defense-in-depth. I want you to put
5 another barrier, I want you to fill the cask with depleted
6 uranium and I want better diagnostics to know what's going
7 on and I want a controlled environment inside my cask. I
8 want to be sure there's no moisture in there when I seal it
9 in the first place.

10 There are all sorts of things that I can postulate
11 that would give me a more comfortable feeling, and those are
12 all in the name of defense-in-depth. Where do I stop this
13 process and how do I know when to quit?

14 MR. HANAUER: In fact, such proposals, as you must
15 know, are made every day and I don't think -- you can use
16 PRA as a tool to work on this question and you can use
17 defense-in-depth as a tool to work on this question, but in
18 answering such things, the result is determined by judgment,
19 and not necessarily technical judgment.

20 These are social and political problems and, in
21 fact, theological problems, and I'm not licensed to practice
22 sociology, politics or theology, and, therefore, one has to
23 apply judgment. There is no substitute. There are
24 prominent and influential people pushing depleted uranium
25 and so forth.

1 The project decision-makers, the program
2 decision-makers may, in fact, decide to do it and the
3 decision will not be entirely technical.

4 DR. KRESS: Thank you. We have one other speaker
5 I'd like to call on. Janet, would you like to make a few
6 words?

7 MS. KOTRA: Thank you.

8 DR. KRESS: Please identify yourself for the
9 record.

10 MS. KOTRA: My name is Janet Kotra, and I would
11 like to speak as an earnest, average regulatory staffer, who
12 is speaking as a member of the team preparing the draft
13 final rule for Part 63.

14 And I want to address specifically Dr. Budnitz's
15 comment about the need not to invoke defense-in-depth in
16 Part 63. I want to note here that an earlier Commission in
17 1983, in promulgating the generic regulations for a
18 repository, already invoked defense-in-depth and went so far
19 as to say that the imposition of quantitative subsystem
20 performance criteria were essential to the insurance of
21 defense-in-depth, and that one example, which, as far as I'm
22 aware, is now 17 years old, is unique, where this equation
23 has been made in the context of a rulemaking.

24 We've been discussing it in the context of my
25 colleagues from NRR, in the context of a practice and the

1 discussion here has circulated on how that practice or
2 principle or philosophy is implemented. But the Commission,
3 in promulgating that generic rule, said that it was
4 incumbent upon them in order to ensure defense-in-depth to
5 make this additional test.

6 The Commission more recently, a different
7 Commission, has now said it wants to go a different
8 direction. So it is incumbent upon those of us in the staff
9 to provide the Commission with a justification for that.

10 So I don't believe that it is possible for us not
11 to -- to walk away from that argument and we have to justify
12 why we believe health and safety and protection of the
13 environment are ensured, and I think we also have to
14 recognize, as Mr. Bernero has pointed out repeatedly, that
15 the Congress has said that our criteria have to include
16 requirements not for defense-in-depth, but for multiple
17 barriers.

18 And we have discussed and Norm has laid the
19 groundwork for why the use of multiple barriers is a way to
20 implement a philosophy of defense-in-depth, but I'm kind of
21 at a loss as to how, with a straight face, we can put
22 forward a final rule that does not address this issue and we
23 would certainly -- you know, and in that regard, guidance
24 wherever we can find it on how to implement defense-in-depth
25 and a multiple barrier provision in the context of high

1 level waste disposal is certainly of interest to us.

2 Thank you.

3 DR. KRESS: Thank you.

4 DR. APOSTOLAKIS: Okay. That's it.

5 DR. KRESS: I guess before I close, I will ask the
6 subcommittee members if they would like to make any closing
7 remarks. You're welcome to do it or not to. We've already
8 said a lot.

9 DR. APOSTOLAKIS: Who is writing the letter?

10 DR. KRESS: So this is not a requirement. Who is
11 writing the letter, I don't know. Do you want to write it,
12 George? I think we can discuss this off-line and come up
13 with some process to write a letter.

14 DR. APOSTOLAKIS: We can write pieces and send
15 them to one person.

16 DR. KRESS: Send them to each other or send them
17 to one person. Are there any closing comments from the
18 subcommittee members?

19 DR. GARRICK: The only thing I wanted to say was
20 one way to get a sense of who agrees with you and disagrees
21 with you is to write something down. I did that, passed it
22 around to my colleagues, and much to my expectation, I got
23 some disagreement, but also got some agreements.

24 And what I was trying to do is nurture this idea
25 of what can we agree on of a broad-based nature, and what I

1 was hearing was -- and what I put through my logic engine
2 and came out with was things like supporting the notion that
3 defense-in-depth is a philosophy for assuring safety. It
4 should not be converted to an algorithm or an analytical
5 process, do not support making DID a formal requirement,
6 that's my view.

7 I guess I would continue to strongly encourage
8 that the emphasis be on trying to quantify defense-in-depth.
9 I think the advantage the reactor side has that the waste
10 side does not have, the repository side does not have, is
11 they have a basis for calibrating that measurement. We
12 don't have much of a basis for doing that, but we sure have
13 a basis for trying to improve our measurements.

14 Let's get our yardsticks out there before we
15 decide what the levels should be, except for the overall
16 performance.

17 On this issue of allocation, which is a red button
18 for me, because I don't believe in reliability allocation,
19 based primarily on my reliability analysis experience, it's
20 not just on my risk experience, it has not worked very well.
21 But if we mean by allocation guidance on the quantification
22 of protection system, our lines of defense, and if we mean
23 by allocation being more specific about form of PRA and PPA
24 results, probabilistic performance assessment results, then
25 I'm favor of it.

1 I do not favor prescribing individual system
2 performance, for reasons that you've heard us talk. I
3 continue to believe that we should put the emphasis on
4 understanding what that contribution is, but in context of
5 the performance measures that we're obligated to calculate.

6 I think that one of the things that we as
7 technical people should always strive to do, because we do
8 that better than anything else, is try to calculate what
9 we're doing. Tom Pickford has always -- his answer is
10 always the same, well, what do you do about that, his answer
11 is, well, we try to calculate it, and I'm a great believer
12 in that, that we have to, in the spirit of what Steve
13 Hanauer and others have said, recognize that our
14 calculations are just calculations.

15 In addition to the uncertainties, there are other
16 things that have to be considered in making decisions, that
17 risk assessment is not a decision analysis.

18 So anyway, that's a few of the things. I think
19 that one of the things that I'm concerned about if we
20 attempt to define defense-in-depth, that it will be narrower
21 than we want it to be as soon as we think about it.

22 I think in serving on several nuclear plant safety
23 committees, one of things that has impressed me just
24 absolutely greatly is the impact that improving people
25 performance has had on the performance of plants, without

1 any changes in the performance of equipment.

2 And to me, there is an element of defense-in-depth
3 that is quite fundamental and extremely important and to the
4 extent that we can begin to bring that into the process of
5 the quantification exercise, we ought to try to do that, as
6 well.

7 But I, as the Co-Chairman, appreciate what we have
8 done in the last two days. There are some views that I have
9 that have certainly been affected by what we've heard and we
10 will do our best to see if we can provide some sort of
11 documentation of this in a manner that is constructive for
12 the Commission.

13 DR. APOSTOLAKIS: Maybe next time the ACNW meets
14 with the Commission, you should mention the word safety
15 culture.

16 DR. KRESS: Good idea. As Co-Chairman of this, I
17 would like to express our appreciation to all the
18 participants for this very interesting and stimulating
19 discussion and, I think, very useful one. I'm anxious, and
20 that's the right word, anxious to see what we may -- how we
21 make use of all this when we put something down on paper.
22 It certainly has been stimulating to me and quite a good
23 discussion, I think.

24 So with that as the final thing, I am going to
25 declare this subcommittee closed, adjourned.

1 [Whereupon, at 11:06 a.m., the meeting was
2 concluded.]
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ANN RILEY & ASSOCIATES, LTD.
Court Reporters
1025 Connecticut Avenue, NW, Suite 1014
Washington, D.C. 20036
(202) 842-0034

REPORTER'S CERTIFICATE


This is to certify that the attached proceedings before the United States Nuclear Regulatory Commission in the matter of:

NAME OF PROCEEDING: MEETING: ACRS/ACNW JOINT
SUBCOMMITTEE

CASE NO:

PLACE OF PROCEEDING: Rockville, MD

were held as herein appears, and that this is the original transcript thereof for the file of the United States Nuclear Regulatory Commission taken by me and thereafter reduced to typewriting by me or under the direction of the court reporting company, and that the transcript is a true and accurate record of the foregoing proceedings.



Mark Mahoney

Official Reporter

Ann Riley & Associates, Ltd.

(SECOND DAY)

**INTRODUCTORY STATEMENT BY THE CHAIRMAN OF THE
JOINT SUBCOMMITTEE OF THE ADVISORY COMMITTEE ON REACTOR
SAFEGUARDS AND THE ADVISORY COMMITTEE ON NUCLEAR WASTE
11545 ROCKVILLE PIKE, ROOM T-2B3
ROCKVILLE, MARYLAND
JANUARY 13-14, 2000**

The meeting will now come to order. This is the second day of the meeting of the Joint Subcommittee of the Advisory Committee on Reactor Safeguards and the Advisory Committee on Nuclear Waste.

I am Thomas Kress, Co-Chairman of the Joint Subcommittee. On my left (right?) is Dr. John Garrick, also Co-Chairman of the Joint Subcommittee.

Joint Subcommittee members in attendance are Dr. George Apostolakis of the Advisory Committee on Reactor Safeguards, and Dr. Raymond Wymer of the Advisory Committee on Nuclear Waste. Also present is Dr. Milton Levenson, a consultant to the Advisory Committee on Nuclear Waste, and three invited experts, Mr. Robert Bernero, Dr. Robert Budnitz, and Dr. Thomas Murley.

The purpose of this meeting is for the Joint Subcommittee to discuss the defense-in-depth philosophy in the regulatory process, including its role in the licensing of a high-level waste repository, its role in revising the regulatory structure for nuclear reactors, and how the two applications should be related to each other. The discussion will also include the role of defense in depth in the regulation of nuclear materials applications, and other related matters.

The Subcommittee will gather information, analyze relevant issues and facts, and formulate proposed positions and actions as appropriate, for deliberation by the full Committees.

Michael Markley is the designated Federal Official for the initial portion of this meeting.

The rules for participation in today's meeting have been announced as part of the notice of this meeting previously published in the Federal Register on December 21, 1999.

A transcript of the meeting is being kept. It is requested that the speakers first identify themselves and speak with sufficient clarity and volume so that they can be readily heard.

NOTES ON DEFENSE IN DEPTH

**B. John Garrick
January 14, 2000**

- **Support the notion that defense in depth is a philosophy and approach to assuring safety to the public of nuclear facilities. It should not be converted to an algorithm or analytical process. Do not support making DID a formal requirement.**
- **As a philosophy, prefer that DID not be explicitly defined for fear of the surrogate syndrome—i.e., putting licensing emphasis on surrogates rather than on the required overall performance or risk measure. We should support the concept of transitioning to a risk-informed, performance-based regulatory approach.**
- **Favor allocation if by allocation is meant guidance on the quantification of protection systems (lines of defense) and the form of PRA and PPA results. Do not favor prescribing the performance of individual protection systems or protective barriers. We should continue to put the emphasis on quantifying the role and contribution of individual protection systems to the overall measures of risk and safety performance.**
- **In the spirit of quantifying the performance of protection systems, which includes quantifying uncertainty, we should seek assurance that the protection systems contribute to the bottom line measures of performance and risk, including allowance for “unquantified uncertainties”.**
- **We should continue to embrace the concept of total system performance, where total captures not only the physical systems involved, but the support infrastructure as well, including human performance, procedures, software, and the quality assurance and administrative process.**

DID ISSUES EMPHASIZING THE YUCCA MOUNTAIN REPOSITORY

1. There are uncertainties in PAs. There is much less experience (data) with waste repositories than with reactors, so uncertainties in repository system performance are larger for waste repositories.
2. Performance and risk assessments requirements are not as well understood for waste repositories as for reactors. We need to elucidate and explain these many differences and recognize them in the DID philosophy statements.
3. There should be several lines of defense (DID) against release of radioisotopes and the resultant radiation exposures. The types and number of lines of defense should be directly related to the uncertainties *in system performance and relative hazards of*
4. DID requirements for waste (and nuclear materials) are different in very important ways from DID for nuclear reactors. For example, in the case of the YM repository after closure there is little probability of an accident of the type that reactors may have. This is related to the physical nature of the systems and to the fact that there are very large time-dependent and potential energy differences.
5. NRC should specify *in* clearly how the PA/PRA should be done by DOE in its LA for the YM repository, and what it should include. If the NRC guidance is good then the assessment should be able to be done well without further specific NRC guidance.
6. Because of the nature of the interactions between NRC and license applications for complex systems there will always be a strong possibility of an iterative licensing process (i.e., overtones of "bring me another rock").