

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

UNITED STATES OF AMERICA  
NUCLEAR REGULATORY COMMISSION  
+ + + + +  
MEETING FOR PUBLIC  
COMMENT ON THE DRAFT GENERIC  
ENVIRONMENTAL IMPACT STATEMENT  
FOR IN-SITU LEACH URANIUM  
MILLING FACILITIES

+ + + + +  
Tuesday, September 25, 2008  
+ + + + +

Best Western Ramkota Hotel  
800 N. Poplar Street  
Casper, Wyoming

The meeting convened at 7:00 p.m.

PANEL MEMBERS:

FRANCIS X. "CHIP" CAMERON, Facilitator

PATRICE BUBAR, Deputy Director, Division of  
Waste Management and Environmental Protection

ALAN BJORNSEN, Project Manager, Environmental  
Review Branch

GREGORY F. SUBER, Chief, Environmental Review  
Branch

JOHN HULL, Office of General Counsel

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2

PANEL MEMBERS: (Continued)

DAVID McINTYRE, Office of Public Affairs

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

<u>AGENDA ITEM</u>	<u>PAGE</u>
Opening remarks and introductions .....	4
NRC Roles and Responsibilities .....	9
Draft GEIS .....	23
Question and Answer Period .....	41
Receive Public Comments .....	48
Adjourn .....	86

P R O C E E D I N G S

1  
2 MR. CAMERON: Good evening, everybody.  
3 My name is Chip Cameron, and I work for the  
4 executive director for operations at the Nuclear  
5 Regulatory Commission, which we'll be referring to  
6 tonight as the NRC. And I'd just like to welcome  
7 you to the meeting tonight.

8 And it's my pleasure to serve as the  
9 meeting facilitator tonight, and in that role I'll  
10 try to help all of you to have a productive meeting  
11 tonight. And I just want to go over a few things  
12 about meeting process: first of all, the format for  
13 the meeting; then secondly, some very simple ground  
14 rules to help us to have a productive meeting; and  
15 third, I'd like to introduce the NRC staff to you.

16 In terms of the format for the meeting,  
17 it's basically a two-part meeting. The first part  
18 of the meeting is to give all of you information on  
19 the draft generic environmental impact statement.  
20 And we have two NRC presentations that are going to  
21 try to do that, to tell you what the purpose of the  
22 draft GEIS is, what the preliminary findings that  
23 are in the GEIS, and how you can influence the final  
24 product, the final GEIS on uranium milling. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we'll go out to you for questions after that. We  
2 have some time for questions.

3 And the NRC staff is going to be telling  
4 you that they're going to take written comments on  
5 the draft GEIS, but we wanted to be here tonight in  
6 person to talk to you about it. And anything that  
7 you say tonight will have the same weight as a  
8 written comment. And you may hear things tonight  
9 from either the NRC or from others in the audience  
10 that prompt you to write in to the NRC, to submit a  
11 written comment. Or you may want to amplify on  
12 something that you said tonight.

13 After we're done with questions, we're  
14 going to go to the primary objective of the meeting,  
15 and that's an opportunity for us to listen to you,  
16 to all of your concerns, your advice, your  
17 recommendations about the draft GEIS or the process  
18 that the NRC is using.

19 And we asked you to fill out a yellow  
20 card when you came in if you want to talk, and  
21 that's basically just to give us an idea of how many  
22 people want to speak tonight. So we will be looking  
23 forward to hearing from you.

24 In terms of ground rules, I would first

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ask that you hold all questions until we're done  
2 with both of the NRC presentations, so that we can  
3 get all of the information out to you before we go  
4 to questions. When we do get to questions, if you  
5 have a question, just signal me, and I'll bring you  
6 this cordless microphone. And if you could just  
7 introduce yourself to us and ask your questions,  
8 we'll try to do our best to answer that question.

9 I would also ask that we only have one  
10 person at a time speaking, and the most important  
11 reason for that is so that we can give our full  
12 attention to whomever has the microphone at the  
13 moment, but also so that we could get a -- what I  
14 call a clean transcript. And we have Marcene Ness,  
15 who is our court reporter, our stenographer,  
16 tonight, and she's taking a transcript of everything  
17 that's said tonight, and that will be publicly  
18 available. It's our record and the public's record  
19 of what happened at the meeting tonight.

20 When we get to the comment period, I  
21 would just ask you to try to be brief so that we can  
22 make sure that we hear from everyone who wants to  
23 comment tonight. And I'm going to ask you to follow  
24 a five-minute guideline. And I'm stressing it's a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guideline. Try to hold your comments to five  
2 minutes. There's no -- that trapdoor you see in the  
3 cartoons where you end up in the street if you go  
4 beyond five minutes. That's not going to happen,  
5 because we know that you spend a lot of time  
6 preparing comments for the meeting, and it's  
7 important that we give you the chance to say that.  
8 But if we get into the seven- or eight-minute area,  
9 I'm just going to have to ask you to sum up for us.

10 And finally, I would just ask that we  
11 all extend courtesy to everyone tonight. You may  
12 hear opinions tonight that differ from your own, and  
13 let's just respect the person who's giving that  
14 particular opinion.

15 And let me introduce the staff. We have  
16 Patrice Bubar, Patty Bubar, who is the deputy  
17 director of the Division of Waste Management and  
18 Environmental Protection at the NRC. And she's  
19 going to give you an overview on what the NRC's  
20 responsibilities are in this area and some important  
21 points about the draft generic environmental impact  
22 statement.

23 Then we're going to go to Alan Bjornsen,  
24 who is going to give you the basic details of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 draft generic environmental impact statement. And  
2 Alan is a project manager in Patty's division, and  
3 he's responsible for the preparation of this generic  
4 environmental impact statement.

5 So those are our two speakers. We have  
6 some other NRC staff here to make sure that we can  
7 answer all of your questions. Gregory Subar, right  
8 here, and Greg is the branch chief of the  
9 Environmental Review Branch, again, within Patty's  
10 division. And Greg's staff, for example, Alan,  
11 they're responsible for preparing this draft  
12 environmental impact statement. We brought one of  
13 our senior attorneys, John Hull, with us in case  
14 there's any questions where we need some legal  
15 expertise.

16 And we have Ron Linton right here. And  
17 Ron is in the -- again, it's in Patty's division,  
18 but Ron's expertise is on the site-specific  
19 applications for in-situ recovery. And if we have  
20 questions about site-specific aspects, we're going  
21 to turn to Ron.

22 We have Irene Yu right here, who is a  
23 project manager in the environmental area in Greg  
24 Suber's branch.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           We have David McIntyre. David's right  
2 here, and he's from our Office of Public Affairs  
3 back at NRC headquarters, which is in Rockville,  
4 Maryland. If there are any members of the press,  
5 print or news media, if you have any questions,  
6 please see David.

7           We have two expert consultants with us.  
8       One is Patrick LaPlante, who is the head of the  
9 Washington, D.C., office of an organization called  
10 The Center for Nuclear Waste Regulatory Analyses.  
11 And I guess Edgar -- Edgar is not here tonight.  
12 Okay.

13           And we do have another technical expert,  
14 Myron Fliegel, who's with us right here from the NRC  
15 staff.

16           And with that, I just thank you all for  
17 being here, and we're going to get started with  
18 Patty Bubar.

19           MS. BUBAR: Thank you, Chip.

20           Good evening, and thanks for being here.

21       As Chip has said, I'm Patty Bubar, and I am the  
22 deputy director in the Division of Waste Management  
23 and Environmental Protection at the Nuclear  
24 Regulatory Commission. That division has many

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 responsibilities. Amongst them is licensing of  
2 uranium recovery facilities, as well as  
3 decommissioning of Title 1 and Title 2 oversight  
4 sites. The division also decommissions other  
5 complex sites, including those that were uranium and  
6 thorium processing sites. We work with the  
7 Department of Energy on legacy Cold War sites and on  
8 a waste classification topic called Waste Incidental  
9 to Reprocessing.

10 But tonight we will focus on activities  
11 related to uranium recovery licensing, specifically  
12 the environmental review activities. We have the  
13 regulatory oversight for uranium recovery, and that  
14 includes licensing and then subsequent coordination  
15 and inspection activities as well through our NRC  
16 regional offices. The Wyoming activities are  
17 handled through our Region IV office in Arlington,  
18 Texas.

19 Next slide, please. What I would like  
20 to try to do a bit is to describe to you what we  
21 have been doing to assess environmental impacts  
22 associated with uranium recovery with regards to in-  
23 situ leach of uranium. We want to listen to your  
24 questions and comments. We want to have dialog with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you about the generic environmental impact  
2 statement, or the GEIS.

3 This is the second in a series of public  
4 meetings. We had scoping meetings about this time  
5 last year, last August and September, as we were  
6 developing the GEIS. And the scoping meetings were  
7 to assist us with determining what needed to be  
8 included in the GEIS. This particular meeting  
9 tonight is the third that we've had in Wyoming. We  
10 held similar meetings in New Mexico and South  
11 Dakota. And there will be a total -- this is our  
12 eighth public meeting associated with this document,  
13 the GEIS. So this is our last public meeting on the  
14 draft. This meeting tonight is designed to seek  
15 more public involvement in the process.

16 Next slide, please. We are going to  
17 cover a number of things tonight. I'm going to talk  
18 briefly about our roles and responsibilities as a  
19 regulator. The emphasis will be on our  
20 responsibilities as it relates to the National  
21 Environmental Policy Act, or NEPA. The NEPA process  
22 is a process of disclosure, and it is designed to be  
23 a public process. The fundamental idea is when an  
24 agency is undertaking what is called a major federal

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 action -- and in this case that would be the  
2 potential licensing of a uranium facility -- it is  
3 subjected to the laws under NEPA as directed by the  
4 Council on Environmental Quality.

5 We're going to cover the draft GEIS,  
6 what is its purpose, what is the approach, and, as  
7 Chip said, Alan Bjornsen of our staff, will talk  
8 following me to give you some of those specifics.  
9 Alan will discuss with you the findings that are  
10 reported in the draft GEIS. We will talk with you  
11 about the schedule, what the next steps are, and  
12 then, of course, turn to public comment.

13 Next slide. The NRC is an independent  
14 federal regulatory agency. What do I mean by that?

15 It means we are not part of the executive branch;  
16 rather, we report directly to the oversight  
17 committees in the United States Congress. We do not  
18 report to the President.

19 The NRC was created strictly -- to  
20 strictly carry out regulatory responsibilities that  
21 are of a public health and safety nature. Unlike  
22 the Atomic Energy Commission or the Atomic Energy  
23 Agency, which used to have a number of  
24 responsibilities, some of which were public health

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and safety, the AEA was also -- or the Atomic Energy  
2 Commission was also responsible for ensuring that  
3 the nation procured the necessary uranium that it  
4 needed back in the '40s, '50s, and '60s, first for  
5 national defense during the Second World War, and  
6 then subsequently during the Cold War.

7 We have no responsibility of that  
8 nature. We are strictly regulatory. We are focused  
9 on health and safety. Our mission is to protect  
10 public health and safety and the environmental and  
11 to promote common defense and security.

12 We have responsibility along with  
13 agreement states. And agreement states are states  
14 that have -- that we have imparted certain of our  
15 regulatory authority to via an agreement signed by  
16 the governor. So agreement states have similar  
17 responsibility to NRC if they have become an  
18 agreement state. We have responsibility for  
19 licensing radioactive materials covered by the  
20 Atomic Energy Act, including uranium recovery.

21 Openness and soliciting comments, like  
22 we are doing tonight, is one of the core values of  
23 the agency. It is a very important part of our  
24 process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Our regulations covering environmental  
2 reviews are set forth in the Code of Federal  
3 Regulations, 10 CFR. And you see it in the slide,  
4 10 CFR, Part 51. That is where we lay out the  
5 requirements for coming into -- or following the  
6 NEPA law. These regulations are built around  
7 guidance from the Council on Environmental Quality,  
8 and this is our regulation for ensuring that NEPA is  
9 satisfied.

10           Next slide. Regarding the licensing  
11 review process itself, a license is submitted to our  
12 agency for review. In this case, we're talking  
13 about a license application for uranium recovery.  
14 The decision to grant or deny a license is based  
15 upon satisfying the regulatory requirements that we  
16 have for safety and for protection of the  
17 environment. There is no foregone conclusion that a  
18 license will be granted or that it will be denied.  
19 Rather, it is a decision based upon a review of the  
20 merits of that particular application.

21           We do this review in two parts. The  
22 first is called an acceptance review. We put  
23 together a team of technical people, such as health  
24 physicists, engineers, groundwater hydrologists, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we subject that application to a 90-day acceptance  
2 review to determine if the application is of such  
3 quality that it warrants proceeding with the full-  
4 blown comprehensive technical review.

5 If accepted, we then conduct a detailed  
6 technical review, and this review has two parts: a  
7 site-specific safety review and a site-specific  
8 environmental review. Both parts of these are  
9 required. They are complementary. We cannot issue  
10 a license until both of these reviews are completed.

11 In the case of uranium recovery it takes about two  
12 years to complete both components of the review.

13 Next slide. Regarding the environmental  
14 review process for in-situ recovery of uranium, we  
15 have developed this generic environmental impact  
16 statement. The word "generic" is an NRC term.  
17 Typically in NEPA space it's referred to as a  
18 programmatic environmental impact statement. And  
19 fundamentally the idea in a programmatic impact  
20 statement is to look at all the technical issues or  
21 all the common environmental consequence issues for  
22 a particular modality, and then we do a site-  
23 specific analysis for issues that are particularly  
24 unique to a given site.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The GEIS provides the foundation for  
2 review of numerous in-situ recovery applications by  
3 reviewing the impact of a broad set of actions  
4 related by subject matter and geography. And Alan  
5 will talk much more about that in detail.

6           Next slide, please. In preparing for  
7 this meeting, I went back and reviewed the  
8 transcripts from the scoping meetings that we had  
9 last fall, and it struck me that there were certain  
10 issues that surfaced again and again in comments in  
11 all of the meetings. And I thought it was  
12 worthwhile to take a few minutes to try to clarify  
13 some of these issues.

14           The first is the use of the generic  
15 environmental impact statement. Frankly, I wish  
16 that we did not use the term "generic." As I  
17 mentioned, "programmatic" is more appropriate.  
18 "Generic" causes confusion, because folks will say,  
19 This is not generic; sites are different. And they  
20 are absolute right, but there are components of in-  
21 situ recovery that are common no matter where the  
22 site is. So the GEIS is a document we are  
23 developing consistent with NEPA requirements or  
24 Council on Environmental Quality guidelines. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this document will be used as a first step. It is a  
2 first-step bounding document that we will use in  
3 reviewing the applications that we receive for in-  
4 situ recovery here in Wyoming or elsewhere in the  
5 United States.

6 And at the same time we are developing  
7 the GEIS, I would draw your attention to the box on  
8 the left called the Applicant's Environmental  
9 Report. The applicant is required to collect data  
10 specific to the site they want a license for, and  
11 they have done analyses specific to that particular  
12 site. We evaluate that data. We verify the  
13 findings. We go to the site, conduct inspections.  
14 We collect data ourselves. We conduct an  
15 examination of that environmental report. It is  
16 another cornerstone in the ultimate conduct of a  
17 site-specific review.

18 The box on the right says, Other  
19 Relevant Information and Data. I mentioned a few  
20 moments ago that an important part of our review  
21 process is the safety review. Well, that box  
22 represents the safety review. At the same time we  
23 are reviewing the environmental report, we are also  
24 looking at the safety information that the applicant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has provided. This -- it is a broad spectrum of  
2 information that is required, and the requirements  
3 are set forth in 10 CFR, Part 40. 10 CFR, Part 40,  
4 sets forth the safety requirements for uranium  
5 recovery, whether it would be conventional milling  
6 or in-situ recovery. And then last but not least,  
7 we conduct a site-specific environmental review.

8 All this information -- the bounding  
9 information in the GEIS, the environmental report,  
10 and the safety review -- all come together as a part  
11 of an individual environmental review for each and  
12 every site that an application is presented to us  
13 for.

14 In NEPA space, that environmental review  
15 is called an environmental assessment. When you  
16 step through the process of conducting an  
17 environmental assessment, you can reach one of two  
18 conclusions about a given site. Either you reach a  
19 finding called a FONSI, a finding of no significant  
20 impact; or you determine that you must conduct a  
21 full-blown site-specific environmental impact  
22 statement for that particular site. We don't know  
23 the outcome until we work our way through that  
24 process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           If a site-specific draft -- I'm sorry.  
2           The site-specific environmental assessments will be  
3           issued for public comment, and this will allow us --  
4           or will allow -- or allow us to maximize  
5           opportunities for citizens to be involved.

6           Should there be a determination that  
7           there needs to be a full-blown site-specific  
8           environmental impact statement, then the process  
9           starts all over again. There would be more scoping  
10          meetings, a new EIS, a site-specific EIS, would be  
11          developed, and further public involvement would take  
12          place.

13          Next slide. The next issue that kept  
14          coming up was drinking water. Drinking water is  
15          very precious in the United States, we understand  
16          that, and particularly in the western United States.

17          And I can readily understand the questions and the  
18          concerns that were raised. And I thought it was  
19          important to point out for in-situ recovery of  
20          uranium to take place, it can only take place in an  
21          aquifer or a portion of an aquifer that has been  
22          exempted by the Environmental Protection Agency. I  
23          cite the regulation there, 40 CFR, Part 146.4, which  
24          comes from the EPA's Underground Injection Control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Program Regulations.

2 I think it's a very important point to  
3 stress this type of activity can only take place in  
4 an exempted aquifer. What is an exempted aquifer?  
5 Well, as the slide depicts, it's an aquifer that  
6 does not currently serve as a source of drinking  
7 water and cannot now, or will not in the future,  
8 serve as a source of drinking water. Or it contains  
9 too many total dissolved solids. It has to meet at  
10 least one of these criteria to be exempted by the  
11 EPA.

12 Next slide. Another issue that came up  
13 a lot was restoration of groundwater or in-situ  
14 restoration. And a point I would make regarding the  
15 aquifer: Once an in-situ recovery is authorized,  
16 should it be, we have regulations, as do the  
17 agreement states, that say even though it was an --  
18 it is an exempted aquifer, it has to be restored.  
19 It has to be restored to baseline, which means what  
20 it was prior to the uranium recovery activity, to  
21 maximum concentration limits that align with the  
22 Safe Drinking Water Act or to an alternate  
23 concentration limit.

24 And what this slide shows you is the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 status of two pilots, and those are shown at the  
2 bottom of the slide. There were a number of other  
3 pilots that were done. They were on a smaller  
4 scale, four or five acres. We just highlight two of  
5 the pilots here, and they were fully remediated  
6 through an approved plan. What you see is the three  
7 at the top that are commercial sites. And this  
8 information comes from completed and approved  
9 remediation or restoration plans.

10 What's in the fourth column entitled,  
11 Percent of Constituents Returned to Baseline, you  
12 see two numbers, the first one, for example, 23 out  
13 of 34. What that means is that 23 out of 34  
14 constituents were returned to baseline conditions.  
15 The remainder were remediated or restored to an  
16 approved standard, which in this case was baseline  
17 values plus a pre-mining class of use. And that  
18 pre-mining class of use is a state-by-state  
19 parameter, so it would vary from state to state.

20 So what you see is that remediation or  
21 restoration has occurred either to baseline values  
22 or to an alternate concentration limit for the three  
23 commercial sites that are shown in the slide. So I  
24 was hoping to give you some idea of what restoration

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has taken place.

2 Next slide. Another topic that has come  
3 up in previous meetings has been government-to-  
4 government meetings. And what this slide shows you  
5 is the government-to-government meetings that we  
6 have had this week. We actually met with the Oglala  
7 Sioux earlier on in the week. We have spent the  
8 last few days meeting with four different Bureau of  
9 Land Management Offices, which has been extremely  
10 helpful to talk more fully with them about  
11 coordinating on the environmental reviews and having  
12 them share information with us that will help our  
13 site-specific environmental assessments be more  
14 robust, particularly with respect to cumulative  
15 impacts.

16 And at several of these meetings, there  
17 were other federal agencies represented: Fish and  
18 Wildlife Service, Department of Agriculture, as well  
19 as other state agencies, including the Wyoming  
20 Department of Environmental Quality. And we hope to  
21 actually meet with the Governor's Office tomorrow,  
22 as we're heading out of town.

23 So in summary, why are we here tonight?

24 In a nutshell, we would like to provide more

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 information to you about the contents of the GEIS.  
2 And Alan Bjornsen will go into more detail. But  
3 more importantly, we want to continue the listening  
4 process and have more public dialog about the  
5 contents of the GEIS. And, of course, we want to  
6 answer any questions that you have about the GEIS.

7 And I want to conclude with just one  
8 final thought. We're going to move into comments at  
9 some point in the meeting, and all comments are  
10 invited. And we know comments will range all over  
11 the board, and we will listen to all of them and we  
12 are recording all of them. But I encourage you to  
13 focus your comments, to the extent that you can and  
14 feel comfortable, on the contents of the GEIS. And  
15 the reason I emphasize that is to maximize your  
16 opportunity to influence the document as we proceed  
17 to finalize it.

18 Thank you for your time, and I'm going  
19 to turn it over to Alan now to talk about some of  
20 the specifics in our review.

21 MR. BJORNSEN: Thank you, Patty.

22 And good evening, ladies and gentlemen.

23 My name is Alan Bjornsen, and I am a project  
24 manager for the NRC, and specifically for this GEIS

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 project, I am the deputy project manager.

2           Next slide. My purpose here tonight is  
3 to talk to you about the GEIS, give you a brief  
4 overview of what in-situ leach is, the need for the  
5 generic environmental impact statement, the purpose  
6 of that document, the scope of that document, the  
7 approach that was taken in preparing the document,  
8 some general conclusions that were arrived at, and  
9 then how you can submit comments on this document.

10           But before I go any further, I just want  
11 to make a point that even though it says it's a  
12 draft document, that doesn't mean that it's not  
13 complete. It is complete in every sense. And the  
14 only reason that it is draft is because you, as the  
15 general public, have not reviewed it. And so that's  
16 why we're here tonight to accept your comments on  
17 the draft generic environmental impact statement.

18           Next slide. So first I would like to  
19 give a brief explanation of what in-situ leach  
20 really is for many of you that don't know. I think  
21 a lot do know what in-situ leach is, but in general,  
22 it is very different than commercial uranium mining.  
23       It doesn't involve open pits or underground  
24 workings. It doesn't involve crushing or grinding

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of material. But what it does do, it increases the  
2 concentration of uranium in the groundwater,  
3 specifically in the aquifer that it is milled in or  
4 that it is drawn from. What it also does is it  
5 releases some potentially toxic heavy metals as  
6 well. So that needs to be remediated.

7           There are three components to the ISL  
8 process, and the first is mobilization of the  
9 uranium underground, specifically in the aquifer.  
10 Secondly, it's the processing of the uranium above  
11 the ground. And then lastly, it's the restoration  
12 of that aquifer from which the uranium was taken  
13 out.

14           Next slide. This is a picture of the  
15 Smith Ranch-Highland project near Douglas. This is  
16 what you see on the surface. The white canisters  
17 there are actually well covers. They're connected  
18 by pipes underground, usually buried from four to  
19 six feet, depending on the depth of the frost.  
20 They're connected to that brown building that you  
21 see in the back. And that's called a header house.  
22       And the header house basically monitors and  
23 coordinates the flow that the pipes from these wells  
24 go into.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           These pipes also carry the solution to  
2 dissolve the uranium, and that comes from the main  
3 plant. There are miles and miles of this pipe in a  
4 particular -- in any given well field. Well fields  
5 generally are about 20 acres in size. So therefore,  
6 there is a potential for leaks that can occur, and  
7 so it needs to be monitored. And I'll get into that  
8 later.

9           We had some prong-horned antelope pose  
10 for this picture to give you a general scale for the  
11 size of what you're looking at.

12           Next slide. Okay. What you saw  
13 previously was above ground. This would be a  
14 picture of what you would see below the ground, if  
15 you could. It's a slice that covers hundreds of  
16 feet. It's a simplified diagram, but basically it  
17 shows what's going on underground. The yellow is  
18 the water-bearing unit that the uranium is found in.

19           And the uranium is that gray -- it's kind of like a  
20 backward C shape.

21           And then there is clay layers above and  
22 below the aquifer. These are confining layers. And  
23 the GEIS specifically talks about mining or milling  
24 the uranium in a confined aquifer.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Now, how does this process work? Well,  
2 first water is drawn from the aquifer, and it goes  
3 up through the -- you see the red arrows. That goes  
4 to the central processing facility. When the water  
5 reaches there, it's fortified with oxygen and carbon  
6 dioxide, and then it's pumped down into the aquifer.

7           That combination or that solution releases or  
8 mobilizes the uranium that's in the deposit. Then  
9 it's drawn back up into the central processing  
10 facility. The uranium is removed from solution.  
11 There is a small amount of wastewater, about 1 to 3  
12 percent that goes to waste. The remaining water, 97  
13 to 99 percent, is re-fortified, and the process  
14 continues and so -- until the uranium is depleted or  
15 until it's no longer economically feasible to  
16 withdrawn from the aquifer.

17           You also see other wells there. These  
18 are monitoring wells. And those monitoring wells  
19 monitor any possible -- what they call excursion  
20 from the actual area of withdrawal. They're in the  
21 area above the aquifer. They're drilled below the  
22 aquifer, and they're also drilled within the  
23 aquifer.

24           And if we go to the next slide, now

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you're looking at an aerial view of a well field.  
2 Granted, it's a graphic display, but if you were in  
3 an airplane and you flew over, this is what you  
4 would see. Basically, the central part is the well  
5 field itself. And what you see is what's called a  
6 five-spot pattern, where you have four wells that  
7 are injection wells.

8           Around the entire well field is a  
9 monitoring ring. And those monitoring wells are in  
10 the area above the aquifer, in the area below the  
11 aquifer, and then also in the aquifer and  
12 surrounding. This is very site-specific. And the  
13 distances between the monitoring wells can vary  
14 depending on the site.

15           And as I said before, if anything gets  
16 out of the well field and reaches the monitoring  
17 well, it's what's called an excursion. And it's a  
18 licensee's responsibility to respond to that  
19 excursion. First he has to verify, number one, that  
20 it is an excursion. And then, number two, if it  
21 occurs more than once, then he has to take  
22 corrective action to prevent anything from going  
23 beyond that monitoring ring.

24           Next slide. This again is the Smith

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ranch facility that you saw before. The large  
2 building is the central processing plant. The  
3 building to its left is the administration building.

4 In the processing building, I talked  
5 before about some wastewater that's withdrawn, about  
6 1 to 3 percent. That's also called production  
7 bleed. And this wastewater can be treated three  
8 different ways: It can go to an evaporation pond;  
9 or it can go to a deep-well injection, which is  
10 literally thousands of feet into the ground, and an  
11 NEPA permit is required for that; or it can be  
12 applied to the land. Those are the three types of  
13 treatment.

14 In the central processing facility,  
15 there is also equipment that they use for the  
16 restoration of the aquifer. They just use the same  
17 equipment but without the fortification of the  
18 actual water itself.

19 Next slide. What does the NRC actually  
20 license? Well, we look at this basically four  
21 phases to an ISL facility, and that's construction,  
22 which is, you know, the installation of wells,  
23 roads, any piping and surface facilities; and then  
24 the operation, which would be the injection, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recovery, the processing of the uranium; and then  
2 eventually the yellow cake, which is the final  
3 product from the central processing plant.

4 The restoration is when uranium is no  
5 longer economically feasible to extract. And then  
6 the process continues. And as Patty explained  
7 before and you saw on the previous slides, to  
8 restore that aquifer to pre-operation conditions.

9 And then the last thing is  
10 decommissioning, which is really a deconstruction of  
11 the site itself, taking the buildings down, taking  
12 the pipes up, plugging the wells, reclaiming the  
13 land, and then seeding.

14 Next slide. There are other permits and  
15 approvals that are necessary in addition to the NRC  
16 license. And so -- and a lot of them are  
17 overlapping. And I draw your attention, again, to  
18 the first item, which is the aquifer exemption. A  
19 licensee -- or a licensee applicant cannot even  
20 submit an application until the aquifer is  
21 determined to be exempt by the EPA. So that's  
22 really the most important one there.

23 Next slide. Okay. Why did the NRC  
24 think it needs a GEIS? Patty went through that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 before, but basically there -- in the next couple of  
2 years, there are going to be -- we know that there  
3 are 14 applications that are going to be coming in  
4 from industry. Letters of intent have been sent to  
5 the agency for new facilities, as well as restarts  
6 of existing facilities and expansion of existing  
7 facilities. Altogether, there's 22 potential  
8 applications. And because of this, the Commission  
9 decided that a programmatic or a generic  
10 environmental impact statement would be the way to  
11 go.

12 And it will do the following: It will  
13 ensure that the NRC focuses its resources in both a  
14 rigorous and thorough review of each application;  
15 and secondly, it will afford a consistent approach  
16 to environmental reviews.

17 Next slide, the purpose of the GEIS.  
18 Because the ISL process is standardized throughout  
19 the U.S., there is some commonality among the types  
20 of potential impacts that can be expected. So  
21 therefore, the GEIS prepares the NRC for site-  
22 specific reviews.

23 Next slide. What does the GEIS include?

24 The GEIS addresses the life cycle of an ISL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facility. I explained that before, the four phases.

2 It addresses the activities that are conducted by a  
3 licensee. And these are under conditions of the  
4 license and permits that are issued or granted by  
5 the NRC, the EPA, and other agencies.

6 Next slide. I'd like to talk a little  
7 bit about the approach that the NRC took to  
8 developing the GEIS. The development was a four-  
9 step process, and I will go through each step in  
10 detail. The first was to define the milling  
11 regions.

12 Next slide. Like I said, this was the  
13 first step that the NRC took to how are we going to  
14 handle this document. It was neither realistic nor  
15 practical to consider the whole western region in  
16 one document, so to accomplish the purpose here, we  
17 looked at what states the NRC has authority in, the  
18 non-agreement states essentially. We looked at  
19 locations of present and past ISL facility  
20 operations. We looked at potential future sites.  
21 And then we also looked at locations where uranium  
22 deposits are located. And from these, four milling  
23 regions were determined.

24 This map shows the four regions. Two of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them lie entirely within the state of Wyoming. One  
2 straddles Wyoming, South Dakota, and Nebraska. And  
3 the fourth one is in northwestern New Mexico. The  
4 process that we used is described in detail in  
5 Chapter 1 of the GEIS.

6 Next slide. This is an enlargement of  
7 the Wyoming West Region. I don't know if you can  
8 see the triangles on there, but the triangles  
9 represent both past and potential ISL facilities.

10 Next slide. Number two was to describe  
11 the process. Okay. This is the second step in our  
12 approach, and we wanted to address the life cycle of  
13 an ISL facility. I just gave you an overview of  
14 what an ISL facility is like. The -- in Chapter 2  
15 of the document, there's a detailed description of  
16 what an ISL facility is and how it is operated.

17 In addition, we talk about, in Chapter  
18 2, financial assurance, and that's the surety or the  
19 money that's set aside for site restoration, for  
20 reclamation, and for decommissioning. And it's  
21 based on costs of an independent third party to do  
22 this work. It's updated annually.

23 Chapter 2 also includes a summary of  
24 particular aspects of the NRC licensed ISL

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 facilities over the past 30 years.

2 Next slide. The third step in our  
3 approach was to describe the environmental, and to  
4 do this, we use a document called NUREG-1748.  
5 That's the guidance document that the NRC uses to  
6 evaluate ISL facilities in its environmental  
7 reviews.

8 The details of the description of the  
9 environment is presented in Chapter 3. It's  
10 presented for each region separately.

11 Next slide. These are the categories of  
12 resources that were evaluated or assessed in the  
13 documents. They were taken from NUREG-1748. We  
14 believe that it represents a thorough and wide-  
15 ranging description of the environment in each  
16 region. Recognize, though, that it's a regional  
17 description and not a site-specific description.  
18 That will be done later on a site-specific basis.

19 Next slide. The fourth step in our  
20 approach was to assess the potential effects that an  
21 ISL facility would have on each resource. Actually,  
22 it's on each resource. It's on each phase of the  
23 ISL activity. And it's in each of the four regions.

24 And once we accomplished this, the potential

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 impacts were categorized. And the categories that  
2 we used are on the next slide.

3 Now, these are the significance  
4 categories that the NRC uses. They are described  
5 in, again, NUREG-1748. And these were done for each  
6 region, for each phase, and for each of the 13  
7 resource areas. They represent a rigorous and  
8 lengthy analysis. There were subject-matter  
9 experts, 15 to 20 of them, whose sum, if you add up,  
10 would total hundreds of years of experience, and  
11 they spent literally thousands of hours doing this  
12 analysis. And we summarize the results with small,  
13 moderate and large impacts.

14 Next slide. Now, this is the same slide  
15 that you saw before. Patty explained it in detail.

16 But it shows how the GEIS will be integrated into a  
17 site-specific review. I don't want to repeat what  
18 she said before, but in addition to the GEIS and the  
19 applicant's environmental report, the NRC will also  
20 gather information from other agencies, such as the  
21 BLM, you know, other federal agencies or state  
22 agencies, tribal authorities, and local agencies for  
23 site-specific data.

24 In addition, and this is most important,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there will be an opportunity for public review on  
2 each site-specific EA, on each site-specific  
3 document.

4 Next slide. Now I just want to  
5 transition into the more specific aspects of the  
6 Wyoming West Region. And the following slides  
7 summarize what our subject-matter experts found when  
8 they assessed the potential effects that an ISL  
9 facility would have in the various regions.

10 Next slide. Again, this is a picture or  
11 a map of the Wyoming West Region. It's just to give  
12 you an idea of what we looked at for the following.

13 Next slide. The GEIS found that  
14 basically four resource areas, the ones that are  
15 shown here, were the least affected by a proposed  
16 ISL facility in the Wyoming West Region. Now, if  
17 you recall from the previous slide, the definition  
18 of a small impact is one that was either not  
19 detectable or was so minor that it didn't affect the  
20 normal functioning of that resource. For example,  
21 under aquatic ecology, if there is no surface water  
22 on the site, there would be a small impact on  
23 aquatic ecology.

24 Next slide. Resources shown here, most

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the time, would be minimally affected by an in-  
2 situ leach facility, but under certain conditions  
3 and under certain situations, there could be a  
4 potential for a moderate impact. Now, again, if you  
5 recall from that previous slide, the definition of a  
6 moderate impact is one that does noticeably alter  
7 the resource but it doesn't alter any important  
8 aspects or the functioning of that resource. For  
9 example, under transportation, for short periods of  
10 time, particularly during construction, you know,  
11 vehicle traffic could be increased on local roads.  
12 So that could be a moderate impact.

13 Next slide. The resources shown here,  
14 again, for the most part, would be minimally  
15 impacted. However, under certain conditions, there  
16 is a potential for moderate or even very large  
17 impacts, if not mitigated. And the key here is  
18 mitigation.

19 Again, the definition of a large impact  
20 is one that has a clearly noticeable effect on that  
21 resource and does alter the normal functioning  
22 aspects of that resource. For example. If there's  
23 a threatened and endangered species that's known to  
24 be located on a site, then there is a potential for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a large impact on that site.

2 Now, recognizing these potentially large  
3 impacts, the NRC's going to focus its attention on  
4 the unique aspects of each specific site.

5 Now I know many of you tonight are from  
6 the Wyoming East Region. And there may have been  
7 some confusion about, you know, why we're holding  
8 the Wyoming West here in Casper. Well, the main  
9 reason is Casper's the largest city in the vicinity  
10 of the Wyoming West Region.

11 The presentation that was given in  
12 Gillette on Tuesday night was for Wyoming East, and  
13 it's very similar to what you see here tonight, what  
14 you've heard tonight. While the specific potential  
15 impacts on each resource differ, because the  
16 resources themselves differ, the category of impact  
17 is the same. In other words, for example, if we  
18 take aquatic resources, there may be different  
19 aquatic resources in Wyoming East than West, the end  
20 result was still a small impact. The details of  
21 those impacts are found in Chapter 4 of the GEIS.

22 Okay. After that clarification, what  
23 I'd like to do now, is go over the general  
24 environmental impact statement schedule, where we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have been, where we are now, where we're going,  
2 where we're heading. And then finally I want to  
3 tell you how you can be a part of the review, how  
4 you can comment, and where you can send your  
5 comments, and in what form you can send your  
6 comments.

7 Next slide. This is the overall  
8 schedule. Began back in July of 2007. In August  
9 and September of 2007, public hearing -- public  
10 scoping sessions were held. They were held in  
11 Casper; they were held in Albuquerque and Gallup.  
12 We collected comments through the end of November of  
13 2007. Those comments, in addition to the data that  
14 was collected by subject-matter experts, went into  
15 the development of the generic environmental impact  
16 statement.

17 That document was released for public  
18 review on July 28, and this is the last of the  
19 public meetings, as Patty mentioned before, that  
20 we're holding on that. It's the eighth one. And  
21 the comment period is scheduled to close on October  
22 7. And as Patty mentioned before, we plan to issue  
23 a final environmental impact statement in June of  
24 2009.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Next slide.    Written comments can be  
2 submitted either by regular mail or by email.  
3 They'll be treated equally and fairly.  
4 Additionally, tonight there is an opportunity to  
5 comment orally.    And as mentioned before, your  
6 comments will be recorded.    You need not copy this  
7 information down; it's available on the table  
8 outside of this room.    So as you leave tonight you  
9 can pick up a copy.

10           Next slide.    If you have any additional  
11 questions, say, after you leave tonight, say, Oh, I  
12 should have asked that particular question -- if  
13 it's relating to an environmental issue, James Park,  
14 who is the project manager for the GEIS, can answer  
15 those questions for you.    If it's related to a  
16 safety issue, Steve Cohen, who is a team leader for  
17 the uranium recovery licensing branch, will be happy  
18 to answer your questions.    Again, you need not copy  
19 this down.    It's on the table, and you can pick it  
20 up as you leave.

21           Next slide.    And with that, I will turn  
22 the meeting back over to Chip.    I thank you for your  
23 attention, and I thank you for being here tonight.

24           MR. CAMERON:    Okay.    Thank you very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 much, Alan. Thank you, Patty.

2 (Applause)

3 MR. CAMERON: Thank you. Before we go  
4 to you for questions, there are some additional NRC  
5 staff that I'd like to introduce who were out here  
6 on a -- actually on an inspection of a uranium  
7 facility. And first of all, there's Linda Gersey.  
8 And Linda is an inspector out of our Region IV  
9 region in Arlington, Texas.

10 And next we have Elise Striz, who's a  
11 hydro-geologist. She's in the uranium recovery  
12 licensing branch with Ron.

13 And then we have Doug Mandeville, who's  
14 a geo-technical engineer. And he's also in the  
15 uranium recovery licensing branch.

16 So let's go out to you for questions.  
17 This was a broad overview of a pretty complex  
18 process. Are there questions about the GEIS or how  
19 it's going to be used? Anything? Yes. And please  
20 introduce yourself to us.

21 MS. ANDERSON: Shannon Anderson with  
22 Powder River Basin Resource Council. I just had a  
23 question about the restoration data that was  
24 presented earlier. Of those constituents that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 aren't restored to baseline, what do they consist  
2 of? Are they heavy metals? And what sort of impact  
3 do they have on water quality?

4 MR. CAMERON: Okay. Thank you, Shannon.

5 I think that that's a pretty straightforward  
6 question, and we're going to go to one of our site-  
7 specific experts.

8 Ron, do you understand the question?

9 MR. LINTON: They were various different  
10 constituents in there. I can get you the data.  
11 You've got my phone number. I can get you the data  
12 as to what each one was. I don't remember off the  
13 top of my head exactly what those different  
14 constituents were.

15 MR. CAMERON: Ron, you may want to just  
16 explain to the audience, when we talk about  
17 "constituent," what do we mean by "constituent"?

18 MR. LINTON: Well, that would be the  
19 individual elements that were -- different ions,  
20 different chemicals, the different constituents  
21 could be uranium, radium, calcium carbonate,  
22 selenium, any other types of metals. Alkalinity  
23 might be another one, different constituents that we  
24 would be looking at.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           One of the things we would do is look at  
2 the background and get that background -- have that  
3 background data at an ISL facility. And then we can  
4 compare when we go into restoration. We can compare  
5 what they've actually achieved to that background,  
6 which is the -- as the speakers were talking about  
7 before, you've got either the background or MCLs as  
8 your primary goal and primary restoration target.  
9 And then we have the alternate concentration limit  
10 as our secondary.

11           And you saw up there the class of use,  
12 and that was a consideration that was done in the  
13 past, the class of use. We're now looking at it  
14 more as an alternate concentration limit, which  
15 class of use is a consideration of the alternate  
16 concentration limit, but it actually is an ACL.

17           MR. CAMERON:    Okay.    Thank you very  
18 much, Ron.

19           Other -- anybody else have a question?  
20 Yes, sir.

21           MR. HEILI:   Wayne Heili, with Ur Energy.  
22           In the previous presentation for regions were shown  
23 on the map -- if a proposed project falls outside  
24 of, but perhaps near, those regions and within the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 state, say, within the state of Wyoming or Nebraska,  
2 how will those proposed projects be treated? Will  
3 they be treated under the GEIS, will they be  
4 considered for treatment under the GEIS, or will  
5 they be simply ruled out?

6 MR. CAMERON: That's a good question,  
7 one that I don't think we've heard before.

8 And, Alan, do you want to take a first  
9 crack at that?

10 MR. BJORNSEN: Sure. It's one that we  
11 have considered. The boundaries were arbitrarily  
12 drawn around clusters of existing and potential  
13 sites. If one is close to it, it would be  
14 considered in that region.

15 MR. CAMERON: Does that answer your  
16 question?

17 MR. HEILI: Yes.

18 MR. CAMERON: Okay. Anybody else? Yes,  
19 sir.

20 MR. GARRETT: Thank you. My name is  
21 Richard Garrett. I'm with the Wyoming Outdoor  
22 Council. Could you step us through the process for  
23 reporting on an excursion? You said one step -- or  
24 one excursion -- could you clarify that? I didn't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 capture it all. Thank you.

2 MR. CAMERON: Okay. Let's -- thank you.

3 Let's go to Ron.

4 Can you explain the whole excursion  
5 reporting process?

6 MR. LINTON: The licensee has a --  
7 what's called an upper -- a UCL, an upper control  
8 limit for each one of those wells in the monitoring  
9 well ring for different constituents. It's  
10 primarily three constituents that we would look at.

11 Might be chloride, alkalinity, and what would -- I  
12 can't think of the other one off the top of my  
13 head -- conductivity. That's it.

14 And so what would happen is is those are  
15 sampled every two weeks. So they're sampled on a  
16 regular basis in a production unit, every two weeks.

17 And if they -- one of those constituents -- and  
18 it's outlined in the license exactly, you know, what  
19 it is. And if one of those constituents is over,  
20 that -- then they have to go and taken another  
21 sample within a 24-hour period -- I think it's 24-  
22 hour period, or 48-hour period -- take another  
23 sample. And if that's one over, so that's two, then  
24 it's a confirmed excursion. They have to report

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that to us within 24-hours.

2 And then at that point then, there's  
3 another reporting requirement that within 30 days  
4 they have to report to us again, and they have to  
5 immediately to begin to try to withdraw that  
6 excursion back. You know, so they -- and then at  
7 that point, they also start into a different regime  
8 of sampling at that point too. It's no longer every  
9 two weeks; I think it's every week at that point.  
10 And that's all outlined in the license.

11 So that's how they work with -- that's  
12 what would happen in a case of an excursion.

13 MR. CAMERON: Does that answer your  
14 question, Richard?

15 MR. GARRETT: Fundamentally.

16 MR. CAMERON: Okay. Thank you.

17 Anybody else? Okay. Let's go back to  
18 Sharon.

19 MS. ANDERSON: It's actually Shannon,  
20 just so you have that for the record.

21 MR. CAMERON: I'm sorry.

22 MS. ANDERSON: No problem. I understand  
23 that the NRC's proposing new regulations for ISL  
24 groundwater regulations, and I was just wondering if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you could give us an update on that process and how  
2 that works with the GEIS.

3 MR. CAMERON: Who wants to tackle the  
4 rule-making and -- if you could just explain what  
5 the rule-making is intended to do and what the  
6 implications are for the GEIS for site-specific.

7 MR. LINTON: There is a rule-making  
8 which is specifically centered on groundwater issues  
9 at ISLs, so it's groundwater protection at ISLs.  
10 That's what the Commission specifically told us to  
11 look at. We're in the process of writing a rule,  
12 going through the rule-making process. We've been  
13 meeting with a team of people in D.C. We've been  
14 meeting with EPA. And we are near the point of  
15 getting that rule to upper management and going to  
16 the Commission. We're looking at -- I believe it's  
17 a January date for a possible draft rule -- to the  
18 Commission at the end of October, but then out to  
19 the public.

20 It's really up to the Commission at that  
21 point as to what point they want to go forward with  
22 it. But that's where we're at in the process.

23 Does that answer your question? Okay.

24 MR. CAMERON: Okay. And this rule, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 take it, will go out as a -- ultimately as a  
2 proposed rule for the public to be able to comment  
3 on.

4 MR. LINTON: Yes.

5 MR. CAMERON: Okay. It will go out.

6 I should add at this point that at some  
7 of the other public meetings we've received requests  
8 to extend the comment period. And since the  
9 comment -- since that date is drawing near, I would  
10 just advise you to check the NRC website to see if  
11 there has been an extension that would give you so  
12 many extra days' time to submit your comments on  
13 this.

14 Okay. Let's go to an opportunity to  
15 listen to all of you. And I would ask each  
16 commenter to come up the podium to address us. And  
17 we're first going to go to state legislators, first  
18 of all to Senator Jim Anderson. And then we're  
19 going to go to Representative Bob Brechtel. And  
20 this is Senator Anderson.

21 SEN. ANDERSON: Thank you. And in order  
22 to expedite things, I'll limit my comments to about  
23 three minutes tonight. I will probably submit a  
24 written comment in a more extended form.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           But my name is Jim Anderson. I'm  
2 currently the vice-president of the Wyoming Senate.

3           I represent Senate District 2, which encompasses  
4 most of Converse County and the west side of Platte  
5 County. Both counties, especially Converse, have  
6 demonstrated considerable uranium reserves, and most  
7 persons -- as most persons already know.

8           Converse County is home of one of the  
9 most successful in-situ mining operations in the  
10 country, that being the Smith Ranch-Highlands. I  
11 live only a few miles south of that operation, and I  
12 have a sizeable number of constituents that are  
13 currently employed there.

14           The mining of uranium provides a  
15 considerable boost to the economy of my district,  
16 provides significant number of jobs, and revenues to  
17 the state. Over 200 million pounds of uranium have  
18 been extracted from Wyoming, and it's estimated to  
19 have some 360 million pounds of uranium that could  
20 be successfully produced under today's price index.

21           Any delay of the GEIS or subsequent  
22 license approval would only serve to delay the  
23 economic benefits of the United States and the  
24 people of Wyoming. In 2005, it is estimated that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the industry made indirect economic contributions of  
2 nearly \$20 million from one mine.

3 The issuance of the GEIS from which the  
4 Wyoming applications would be licensed has been  
5 recently delayed by six months from January 2009 to  
6 June 2009. I believe that coupled with the current  
7 financial market unrest and the instability that  
8 prevails throughout the stock market and the  
9 investment community, the delay of the issuance of  
10 the GEIS will only further contribute to the  
11 difficulty of finding investment capital for future  
12 mining operations. This delay, while weakening  
13 investor confidence, would also take away from the  
14 industry's ability to provide jobs, along with the  
15 addition tax revenue, to Wyoming tax communities.

16 Our country is currently wrestling with  
17 how to provide the necessary energy resources to  
18 carry it safely and securely into the future.  
19 Regardless of anyone's belief as to how that can  
20 best be done, we nearly most all agree that nuclear  
21 power must be included in that scenario.

22 Energy challenges are foremost in the  
23 minds of both U.S. citizens and their leadership.  
24 Americans expect actions, both immediate and in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 long-term policy, to ensure reliable, affordable  
2 energy for the future. We must move forward. I  
3 feel that this can be done responsibly as outlined  
4 in the oversight procedures that were previewed here  
5 tonight. I would respectfully request the schedule  
6 of the issuance of the GEIS be revisited and be  
7 allowed to move forward on the January '09 date.

8 Thank you very much.

9 MR. CAMERON: Okay. Thank you. Thank  
10 you, Senator.

11 (Applause)

12 MR. CAMERON: And next we're going to go  
13 to Representative Bob Brechtel.

14 REP. BRECHTEL: Thank you for the  
15 opportunity. I've been requested by the co-chairman  
16 of the Wyoming Minerals, Economic and Business  
17 Committee to present their thoughts, since they  
18 couldn't be here tonight, Senator Grant Larson and  
19 Representative Tom Lockhart -- I am Bob Brechtel,  
20 House District 38, Natrona County, and I also serve  
21 on their committee. And the letter that they asked  
22 me to read is dated September 25, 2008, and you'll  
23 see that it's -- obviously many of us think in the  
24 same vein as Senator Anderson.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           It's addressed to the Dale E. Klein,  
2 Chairman of the U.S. Regulatory Commission,  
3 Washington, D.C.:

4           Dear Chairman Klein, As co-chairman of  
5 the Joint Minerals, Business and Economic  
6 Development Interim Committee of the Wyoming  
7 Legislature, we are acutely aware of Wyoming's role  
8 in providing the resources necessary to meet the  
9 ever-increasing energy demands of our customers both  
10 within and outside the United States. The State of  
11 Wyoming holds claim as the greatest producer in the  
12 energy field in the United States, including oil,  
13 gas, coal, coalbed methane and uranium.

14           Because the Nuclear Regulatory  
15 Commission (NRC) is seeking comments on the issuance  
16 of general environmental impact statement (GEIS), we  
17 will focus our remarks on uranium, the importance of  
18 the uranium industry to Wyoming. The State is, has  
19 been, and hopefully will continue to be the number  
20 one producer of uranium in the United States. More  
21 than 200 million pounds of uranium have been  
22 extracted from Wyoming, and the State has reserves  
23 of 360 million pounds of uranium remaining. In  
24 fact, there is a 35-year history of in-situ recovery

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 (ISR) uranium mining in Wyoming and under NRC  
2 licenses.

3 In October of 2007, the NRC received the  
4 first new ISR license application in almost 20 years  
5 from a company wishing to conduct ISR uranium mining  
6 in Wyoming. Now, the NRC has four new ISR  
7 applications under review for Wyoming projects.

8 In an effort to streamline the  
9 processing of these new uranium projects, the NRC  
10 issued a GEIS to address programmatic issues with  
11 ISR uranium mines. However, instead of streamlining  
12 the process, the result has been a delay of at least  
13 six months, from January 2009 to June 2009 for early  
14 applicants.

15 Although these three companies that  
16 submitted the applications for projects in Wyoming  
17 asked not to be tied to the GEIS to avoid delays,  
18 they were given assurances that the process would  
19 move forward in a timely manner with an issue date  
20 of January 2009 for the GEIS. These companies are  
21 publicly traded, with the funding that is derived  
22 from investors who have based their investments on  
23 commitments by the company and statements made by  
24 the regulatory agencies. Each month of delay erodes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the funds allocated for the construction of these  
2 Wyoming projects and seriously jeopardizes further  
3 support from the investment community.

4 Additionally, the delay of the GEIS and  
5 subsequent license approval impacts the associated  
6 economic contribution from the uranium industry in  
7 terms of direct and indirect jobs, infrastructure  
8 and services, and all associated tax revenues.  
9 Further, addressing the original schedule of January  
10 2009 does not affect the NRC's regulatory authority  
11 and emphasis on safety.

12 I would like to note that the general --  
13 the Joint Minerals, Business and Economic  
14 Development Interim Committee of the Wyoming  
15 Legislature devoted time during the two meetings  
16 this summer to learn more about Wyoming's uranium  
17 industry and how the University of Wyoming School of  
18 Energy Resources can assist an industry that is  
19 experiencing a rebirth with planned construction of  
20 numerous power plants worldwide.

21 Therefore, it is with all due respect  
22 that we strongly urge the NRC to adhere to the  
23 original schedule of January 2009 for the GEIS.

24 I thank you for the opportunity to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 express my views on this important issue.

2 Sincerely, Senator C. Grant Larson and  
3 Representative Thomas A. Lockhart.

4 And I might just add, as member of the  
5 Minerals, Business and Economic Committee, I  
6 strongly support my co-chairmen in this  
7 recommendation that the NRC should stay on its  
8 original schedule.

9 Thank you very much.

10 MR. CAMERON: Okay. Thank you.

11 (Applause)

12 MR. CAMERON: Thank you, Representative  
13 Brechtel. And please thank Senator Larson and  
14 Representative Lockhart for us.

15 We're going to go next to Mark Moxley,  
16 Wyoming Department of Environmental Quality. And  
17 then we're going to go to Shannon Anderson from  
18 Power River Basin Resources Council, and then Tom  
19 Foust, Citizens for Uranium Resource Education.

20 And this is Mark Moxley.

21 MR. MOXLEY: My name is Mark Moxley. I  
22 work for the Wyoming Department of Environmental  
23 Quality, Land Quality Division, in the Lander  
24 office. Land Quality Division regulates mining

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operations, including ISL uranium. I've been  
2 employed there for over 30 years. I've been  
3 involved with permitting, regulating, and restoring  
4 ISL operations.

5 I have two comments to make. One is  
6 that I think it's incumbent on us as regulators --  
7 and I include myself in that, but also the NRC and  
8 the BLM -- I think it's incumbent on the regulators  
9 and the regulated industry to achieve more timely  
10 restoration of these well fields. There was a slide  
11 presented that showed five restored well fields.  
12 And I think that for an industry that's been in  
13 operation for more than 20 years, that's not a very  
14 impressive statistic. I think we need to be a lot  
15 more diligent, a lot more aggressive in achieving  
16 groundwater restoration. It can be done. It's been  
17 demonstrated that it can be done. We just need to  
18 do a little more timely job of it.

19 Second, I think that in order for NRC to  
20 effectively regulate ISL mining, most of which is  
21 going to occur in Wyoming, I think we need an NRC  
22 office in Wyoming. We used to have an NRC office in  
23 Denver; however, that was closed in the mid-'80s.  
24 So I think for the sake of efficiency and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effectiveness, the NRC should seriously consider  
2 putting an office in Wyoming.

3 Thank you.

4 MR. CAMERON: Thank you. Thank you very  
5 much, Mark.

6 (Applause)

7 MR. CAMERON: And next we have Shannon  
8 Anderson.

9 MS. ANDERSON: Thank you and good  
10 evening. My name is Shannon Anderson, with the  
11 Powder River Basin Resource Council. We're a  
12 grassroots, citizen-based organization based in  
13 northeast Wyoming. Most of our members are  
14 landowners in the Power River Basin who have been  
15 impacted by energy development one way or another,  
16 on their lands or in lands neighboring their  
17 property.

18 I will be submitting written comments,  
19 and I spoke in Newcastle, so I'll try and keep this  
20 short tonight. Basically, you know, given what  
21 we've seen in this presentation, you know, I think  
22 this document leaves one of two options. The first  
23 is, you know, complex analysis of a whole host of  
24 issues that are either left out of this GEIS or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 glossed over in this document. These issues must be  
2 considered at the site-specific level and, in fact,  
3 NRC has promised this in previous public meetings.

4 The second option is arbitrarily made  
5 significance determinations from a process that  
6 inappropriately streamlines NEPA in a way that  
7 violates both the letter and the spirit of one of  
8 our most important and fundamental environmental  
9 laws.

10 Our members and other Wyoming citizens  
11 are concerned that NRC has chosen the second path  
12 before the final GEIS has even been completed. For  
13 instance, I came across a letter from NRC to the  
14 U.S. Fish and Wildlife Service requesting Section 7  
15 consultation under the Endangered Species Act for a  
16 site in Wyoming that clearly states that NRC will be  
17 preparing an environmental assessment without even  
18 indicating that an EIS is possible for that site.

19 We wonder how the NRC could make a  
20 finding of no significant impact determination  
21 before the GEIS is final, before technical review of  
22 the application has been completed, and before  
23 agency-to-agency consultation has even occurred.

24 We hope that NRC chooses that, you know,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 first route, the route that will not only comply  
2 with NEPA, but will best promote NEPA's goals of  
3 involving the public in the process.

4 You know, as mentioned earlier, you  
5 know, they said that basically this document is  
6 complete, just, you know, we need some public input,  
7 and we'll get that from you, and we'll issue this  
8 document. You know, how will the public's input  
9 really be considered in this process? That's what  
10 NEPA requires, and that's what the people of Wyoming  
11 expect for these sites. So I hope the NRC will take  
12 that into consideration and that, you know, there's  
13 a role for the people of this state -- landowners,  
14 industry, you know, whoever it is, representatives,  
15 the legislature -- you know, we're the folks that  
16 are going to be impacted, and we should be involved.

17 Thank you.

18 MR. CAMERON: Okay. Thank you, Shannon.

19 (Applause)

20 MR. CAMERON: And is Tom here, Tom  
21 Foust? This is Tom. And then we're going to go to  
22 Oscar Paulson and Wayne Prindle.

23 MR. FOUST: Good evening. My name's Tom  
24 Foust. I live in Riverton. I represent Citizens

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for Uranium Resource Education, and we appreciate  
2 the Nuclear Regulatory Commission's holding this  
3 public meeting to encourage stakeholder involvement  
4 in the development of a generic environmental impact  
5 statement to assess the potential environmental  
6 impacts associated with uranium recovery at milling  
7 facilities employing the in-situ recovery process.  
8 CURE is a newly formed Wyoming-based organization of  
9 private citizens supporting the uranium recovery  
10 industry. CURE will be involving itself in uranium  
11 recovery issues to promote safe and environmentally  
12 sound uranium recovery.

13 This statement is meant to be a general  
14 discussion of the generic environmental impact  
15 statement for in-situ leach uranium milling  
16 facilities. CURE may submit specific and detailed  
17 comments in writing.

18 CURE strongly supports the preparation  
19 of the GEIS. It is increasingly clear that the NRC  
20 will be receiving many new license applications for  
21 uranium recovery projects, the vast majority of  
22 which will be for ISR projects. Given NRC's  
23 resource constraints, expeditious review of these  
24 applications can only be achieved through a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 streamlined licensing process.

2           Since the advent and development of  
3 NRC's statutory and regulatory program for  
4 management of uranium recovery facilities, the ISR  
5 method of recovering uranium has become the most  
6 prevalent form of uranium recovery in the United  
7 States. As the ISR method evolved, the ISR uranium  
8 recovery industry and NRC began to accumulate more  
9 data and to conduct further analyses into ISR  
10 methods, its application to deposits of uranium in  
11 the United States, and its potential impacts to  
12 public health and safety and the environment.

13           Sorry. I'm not a very good public  
14 speaker. Bear with me. Thank you.

15           Over time, these data and analyses have  
16 lead to the creation of a robust repository of  
17 knowledge and experience. All of this information  
18 gathering over the last 30 years shows that a  
19 streamlined licensing process is particularly  
20 suitable for ISR uranium recovery since IRS projects  
21 are essentially cookie-cutter, as both the  
22 subsurface and surface operations at each individual  
23 ISR project are substantially similar.

24           Using a GEIS to approach a particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process operation is nothing new in the context of  
2 environmental impact assessments conducted pursuant  
3 to the National Environmental Policy Act. The  
4 Council on Environmental Quality, the nation's  
5 interpretive body regarding compliance with NEPA  
6 requirements, has specifically recognized the  
7 appropriateness of the programmatic/generic EIS  
8 approach to streamlined environmental impact  
9 reviews. By following this CEQ recommendation, NRC  
10 can focus on the site-specific aspects of a proposed  
11 ISR project without expending unnecessary time and  
12 resources to reinvent the wheel by assessing issues  
13 that have already been assessed, barring particular  
14 site-specific circumstances.

15 It is equally clear, however, that a  
16 GEIS will not preclude consideration of site-  
17 specific environmental impacts that were not  
18 considered in the GEIS. Indeed, NRC's regulations  
19 and guidance prohibit the issuance of ISR uranium  
20 recovery licenses for new projects without some form  
21 of site-specific technical and environmental  
22 assessments to address any issues not assessed  
23 adequately in the GEIS.

24 The public will have opportunities to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 involved in site-specific analyses. The point of a  
2 generic or programmatic assessment is to promote the  
3 efficient use of time and resources by focusing  
4 detailed attention on the site-specific  
5 circumstances and issues that differ significantly  
6 from the ISR GEIS' evaluations and conclusions  
7 regarding such issues. The ISR GEIS in no way  
8 detracts from the ability of the public to provide  
9 input on issues related to specific licensing  
10 actions.

11 The draft GEIS confirms that ISR uranium  
12 recovery is one of the lowest risk activities in the  
13 nuclear fuel cycle. Chapter 4 of the draft GEIS  
14 provides NRC's preliminary evaluation of the  
15 potential environmental impacts of the construction,  
16 operation, aquifer restoration and decommissioning  
17 at an ISR facility. NRC characterizes the majority  
18 of impacts as small and only identifies potential  
19 large impacts in the areas of groundwater,  
20 endangered species, and cultural resources.

21 The conclusion that the majority of ISR  
22 impacts are generally small is borne out by the 30  
23 years of data compiled on ISR activities in the  
24 United States well field balancing, including the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 process bleed, monitoring, the pump tests at ISR  
2 uranium recovery sites have been highly successful  
3 in assuring that recovery solutions are contained  
4 within the ore or recovery zone.

5 Before monitoring ceases, restoration is  
6 completed to minimize or eliminate the potential  
7 risk of post-operation excursions that could result  
8 in the migration of contaminants from the exempted  
9 recovery zone portion of the aquifer to adjacent,  
10 non-exempt portions of the aquifer.

11 Finally, the GEIS will help promote the  
12 availability of domestic sources of uranium to fuel  
13 our nation's expanding fleet of nuclear reactors.  
14 Uranium is an excellent example of the United  
15 States' increasing reliance on foreign sources of  
16 minerals to meet our country's strategic and  
17 critical metals and minerals requirements, even for  
18 minerals with adequate domestic resources. This  
19 increased import dependency is not in our national  
20 interest, particularly for commodities such as  
21 uranium that are critical to pending strategic  
22 programs such as reducing greenhouse gas emissions  
23 or undertaking energy efficiency efforts.

24 The United States currently consumes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about 56 million pounds of uranium each year, yet we  
2 only produce 4-1/2 million pounds. We have the  
3 world's largest fleet of reactors which operate at  
4 the world's highest average capacity factor and  
5 produce 20 percent of our country's electricity.  
6 The price for uranium has recently climbed to an  
7 historic high, and yet new U.S. production is still  
8 lagging, at least in part because of uncertainty  
9 over the regulatory environment for new production  
10 here.

11 At a time when energy costs are rising  
12 and all available sources of energy must be utilized  
13 to meet increased demand, streamlining the licensing  
14 process for uranium recovery, while at the same time  
15 providing needed protections for the environment and  
16 the public, is simply good policy.

17 CURE strongly urges NRC to act  
18 expeditiously to complete the GEIS and not extend  
19 the comment period past October 7, 2008. NRC's  
20 resources will be well spent on this effort given  
21 the impending license applications that will be  
22 submitted over the next three years and beyond and  
23 will serve as a useful tool for licensees, NRC, and  
24 the public at large in evaluating ISR uranium

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recovery projects.

2 Thank you.

3 (Applause)

4 MR. CAMERON: Okay. Thank you. Thank  
5 you very much, Tom.

6 Oscar Paulson?

7 MR. PAULSON: Good evening. My name is  
8 Oscar Paulson, and I am the facility supervisor for  
9 Kennecott Uranium Company's Sweetwater uranium  
10 project located about 42 miles northwest of Rawlins,  
11 Wyoming. Kennecott Uranium Company appreciates the  
12 Nuclear Regulatory Commission's holding this public  
13 meeting to encourage stakeholder involvement in the  
14 development of a generic environmental impact  
15 statement to assess the potential environmental  
16 impacts associated with uranium recovery at milling  
17 facilities employing the in-situ recovery process.  
18 Kennecott Uranium Company is the owner and operator  
19 of the Sweetwater Mill, the sole remaining  
20 conventional uranium mill in Wyoming.

21 This statement is meant to be a general  
22 discussion of the generic environmental impact  
23 statement for in-situ leach uranium milling  
24 facilities. Kennecott Uranium Company plans to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 submit specific and detailed comments in writing by  
2 October 7 -- by the October 7, 2008, deadline.

3 Kennecott Uranium Company strongly  
4 supports the preparation of the GEIS. It is  
5 increasingly clear that the NRC will be receiving a  
6 number of new license applications for uranium  
7 recovery projects, the vast majority of which will  
8 be for ISR projects. Given NRC's resource  
9 constraints, expeditious review of these  
10 applications can best be achieved through a  
11 streamlined licensing process.

12 Kennecott Uranium Company believes that  
13 the preparation of the final document should be  
14 completed without delay, since license applications  
15 prepared by Wyoming applicants are awaiting its  
16 completion in order to be reviewed. Kennecott  
17 Uranium Company supports the prompt completion of  
18 the GEIS, since the Sweetwater Mill could be  
19 modified to elute loaded ion exchange resins from  
20 in-situ uranium recovery facilities in the future,  
21 and this potential feed stream is dependent upon the  
22 commencement of operations by in-situ uranium  
23 recovery operators.

24 In addition, the GEIS will reduce the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Commission's workload regarding the review of in-  
2 situ uranium recovery license applications. The  
3 GEIS will not preclude consideration of site-  
4 specific environmental impacts that were not  
5 considered in the GEIS. Indeed, NRC's regulations  
6 and guidance prohibit the issuance of ISR uranium  
7 recovery licenses for new projects without some form  
8 of site-specific technical and environmental  
9 assessment to address any issues not assessed  
10 adequately in the ISR GEIS. The public will have  
11 opportunities to be involved in site-specific  
12 analyses. The ISR GEIS in no way detracts from the  
13 ability of the public to provide input on issues  
14 related to specific licensing actions.

15 The draft GEIS confirms that ISR uranium  
16 recovery is one of the lowest risk activities in the  
17 nuclear fuel cycle. Chapter 4 of the draft GEIS  
18 provides NRC's preliminary evaluation of the  
19 potential environmental impacts of the construction,  
20 operation, aquifer restoration and decommissioning  
21 of an ISL facility. NRC characterizes the majority  
22 of impacts as small.

23 Kennecott Uranium Company urges the NRC  
24 to act expeditiously to complete the GEIS. NRC's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 resources will be well spent on this effort given  
2 the likelihood of impending license applications  
3 that will be submitted over the next three years and  
4 beyond and will serve as a useful tool for  
5 licensees, NRC, and the public at large in  
6 evaluating ISR uranium recovery projects.

7 Thank you.

8 (Applause)

9 MR. CAMERON: Thank you, Oscar.

10 Is Wayne -- Wayne Prindle? And then  
11 we're going to go to Marion Loomis and Wayne Heili.

12 And this is Wayne Prindle.

13 MR. PRINDLE: Hi. Thank you, NRC. My  
14 name is Wayne Prindle. I'm a staff member of the  
15 BCA, Biodiversity Conservation Alliance, out of  
16 Laramie, Wyoming. We're not an anti-energy  
17 development group, but we are concerned with  
18 wildlife impacts and wild land and landscape  
19 impacts. In the GEIS, there is a few figures from  
20 Wyoming Fish and Game Department that show past or  
21 potential ISL facilities on or in the vicinity of  
22 crucial winter and year-long habitat for big game  
23 species such as antelope, elk, moose, and deer  
24 species.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And also a species of special concern is  
2 sage-grouse, and there are multiple leks and some of  
3 the potential or past facilities on some of the maps  
4 of the Wyoming Fish and Game. And it's not that  
5 this type of energy development can't coexist with  
6 wildlife without having a major impact. There's  
7 other examples in other energy-development  
8 industries, coalbed methane, projects that have made  
9 concessions to have -- coexist with wildlife.

10           We all saw, you know, the picture of the  
11 antelope in the facility. You know, if -- depending  
12 on -- I don't know this site specifically, but  
13 depending on the fencing that surrounds it, it could  
14 be wildlife-friendly, where an antelope could get  
15 though the -- go through the site or migrate.

16           So our main concern is that each -- if there  
17 is a potential for wildlife impacts, that the NRC work with  
18 the companies and look at a site-specific level, the -- any  
19 possible or potential impacts on wildlife. And there could  
20 be design changes in the actual facilities such as roads,  
21 power-line differences, different constructions of power  
22 lines where they don't have raptors perched on power lines  
23 killing the sage-grouse. And as far as fencing goes, they  
24 can -- like I mentioned, they could be wildlife-friendly.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So our main concern is the wildlife, as far  
2 as the big game migration winter ranges, and the sage-  
3 grouse lek habitat, nesting habitat. And each of these, if  
4 there's a potential for an ISL facility to have an impact,  
5 should be looked at on a site-specific level.

6           Thank you.

7           (Applause)

8           MR. CAMERON: Thank you. Thank you, Wayne.

9           Marion? Marion Loomis.

10          MS. LOOMIS: Good evening. I am Marion  
11 Loomis. I'm the executive director of the Wyoming Mining  
12 Association. First of all, I want to thank the Nuclear  
13 Regulatory Commission for coming out and holding these  
14 public meetings and hearing the comments of the public.

15          The Wyoming Mining Association is made up of  
16 mining companies, suppliers, vendors, contractors,  
17 including a number of Wyoming uranium operators. We have  
18 the last operating mill, as Oscar Paulson has stated. We  
19 have a number of operations that hope to open in-situ  
20 recovery operations. We have operations that are in the  
21 reclamation process.

22          I would ask you to consider some phraseology  
23 changes. As you've heard from the industry, the term that  
24 industry is using is in-situ recovery, not in-situ leach.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That might create some confusion in the public eye if  
2 you're not using the same nomenclature that is used by the  
3 industry.

4 Most of the comments that I have in my paper  
5 have all been made, and so I've stricken a number of them.

6 So I'll -- but I would like to make a couple, three  
7 comments. First of all, I'd like to thank the Senator  
8 Anderson and the representative from Natrona County here  
9 for their comments and reading of the statement from the  
10 Joint Minerals Committee. I think that was great. And  
11 certainly we support everything they said and thank them  
12 for that.

13 Just to kind of reaffirm some of the things  
14 that have already been stated, you heard that there are  
15 several operations that have already submitted their  
16 applications for in-situ recovery operations that now have  
17 the potential to be held up because of the delay in issuing  
18 the -- finishing the generic environmental impact  
19 statement. And I would encourage you, and the association  
20 would encourage you, to go forward to the extent that you  
21 can with those operations and not force them to wait until  
22 this is completed.

23 I also am somewhat concerned that I hear  
24 about a new set of rules and regulations that are coming

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 out, and are those operations -- I guess, I question for  
2 you. I should have asked it during the question-and-answer  
3 portion. Are those operations have already submitted their  
4 complete application, or hopefully they're complete, and  
5 you should be in a technical review, all of a sudden going  
6 to be required to go back and adhere to a new set of rules  
7 and regulations which we don't even know what they are. I  
8 would hope that would not be the case, that you would  
9 review those applications with the -- under the rules and  
10 regulations that were in place at the time that they were  
11 submitted.

12 While we're concerned about the -- those  
13 license applications that are already in the review  
14 process, we're very supportive of you continuing to  
15 finalize and adopt this generic environmental impact  
16 statement as quickly as you can. You've heard all of the  
17 great reasons why it should be done. I'll just make a  
18 comment on a couple of them that -- to reiterate the ones  
19 that I think are very important for the public to hear.

20 First, that this is not going to preclude a  
21 site-specific environmental analysis for each operation.  
22 And I think that's important to reaffirm every time you  
23 talk to the public; and that there will be ample  
24 opportunities for the public to comment on each and every

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operation. It's not going to be one comment about every  
2 operation; they'll have opportunities to comment on each  
3 one.

4 Also, it's clear from the comments that have  
5 been made that the industry has been successful in  
6 restoration of well fields. You know, part of the reason  
7 you might not restore a well field as quickly as you might  
8 is if you're still getting some uranium from it. You know,  
9 if it's still producing something, then the -- then I would  
10 hope that we would continue to produce that as long as we  
11 could and get that uranium out of there.

12 With that, I think all the other comments  
13 that I've had have been made, the importance of this  
14 industry to the nation. Twenty percent of the electricity  
15 for this nation comes from nuclear energy. We're getting  
16 it from our friends in Russia and other places, but mostly  
17 it is coming from friendly countries, I guess, Canada and  
18 Australia and inventories. But we have the resources here  
19 in the United States to handle this and produce, and we  
20 need to make sure that our industries go forward to produce  
21 this critical commodity and allow our nation to become more  
22 energy independent.

23 Thank you.

24 MR. CAMERON: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Applause)

2 MR. CAMERON: Thank you very much, Marion.

3 And I think if we have time, I think Marion  
4 raises a good point that we might be able provide a little  
5 bit more information on in terms of what are the  
6 implications of this -- what is a draft proposed rule now  
7 for license applications that are submitted. And I may go  
8 to John Hull or perhaps Mike to address those issues when  
9 we get done with public comment.

10 We have Wayne -- Wayne Heili. Hi, Wayne.

11 MR. HEILI: Good evening. I'm Wayne Heili  
12 with Ur Energy. If I can, I'd like to offer a little  
13 analogy. I really, really like my old truck. But somebody  
14 came along and offered me a more efficient truck, pretty  
15 sleek looking, and I thought, How soon can I drive it?  
16 This is our concern.

17 I'd like to thank the Nuclear Regulatory  
18 Commission for holding these meetings and offering the  
19 public an opportunity to give comment on the draft and  
20 generic environmental impact statement. There's four  
21 reasons why Ur Energy supports this draft statement  
22 preparation, or this preparation. First, industry's risks  
23 are well understood, but the license process is in need of  
24 improvement.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The in-situ industry is over 30 years old,  
2 and the technical processes and associated risks are well  
3 understood by both regulators and practitioners. And the  
4 regulatory regime is generally mature and robust. However,  
5 the current license application process is unnecessarily  
6 burdensome because it requires redundant reviews of common  
7 programmatic environmental issues.

8           Second, and very importantly, the GEIS  
9 delivers on public expectations. Using a programmatic GEIS  
10 approach to assess common environmental concerns is fully  
11 consistent with the public's expectations for government  
12 action. For decades, we the public have been demanding the  
13 streamlining of governmental regulations and an increased  
14 efficiency from our federal regulatory bodies. We demanded  
15 that our rules and regulations be written in plain English.

16       This document before us delivers on those public demands.

17           The GEIS has appropriate regulatory basis.  
18 The programmatic GEIS approach is not new in the context of  
19 environmental impact assessments. The Council on  
20 Environmental Quality, the nation's interpretative body  
21 regarding compliance with the National Environmental Policy  
22 Act requirements has specifically recognized the  
23 appropriateness of programmatic EIS approaches.

24           Finally, industry understands it's not being

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 given a free pass. It's clear to industry that even with  
2 the ISL GEIS -- and I use your language there -- we do say  
3 ISR -- a very important aspect of each license review will  
4 be the evaluation of a site-specific -- of the site-  
5 specific environmental impacts that were not considered in  
6 the GEIS.

7 As stated by the National Mining  
8 Association's Generic Environmental Report, the NRC's  
9 regulations and guidance prohibit the issuance of an ISR  
10 uranium recovery license for new projects without site-  
11 specific technical and environmental reviews.

12 So finally, Ur Energy supports this effort.  
13 Given the NRC's stated resource constraints, efficient  
14 review of license applications can only be achieved through  
15 a streamlining or streamlined process as envisioned by this  
16 GEIS. Completion of the GEIS will result in this  
17 streamlined process, and that meets the public's desire for  
18 environmental protection. Therefore, Ur Energy strongly  
19 supports the development of the GEIS and urges the NRC to  
20 complete the GEIS process without further delays.

21 We, too, hope the NRC takes appropriate  
22 comments into consideration in the final GEIS. Our  
23 detailed comments will be submitted as a portion of the  
24 NMA's comments on or before October 7, 2008.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 MR. CAMERON: Thank you very much, Wayne.

2 (Applause)

3 MR. CAMERON: Thank you.

4 Ted Huss, did you want to say anything?

5 VOICE: He left.

6 MR. CAMERON: Okay. I guess that takes care  
7 of that.

8 I don't know whether John or Mike wants to  
9 say anything about Marion's question about what the  
10 implications of this draft proposed rule -- I mean,  
11 assuming it goes proposed and then final, what are the  
12 implications for license applications that might be  
13 submitted during that period, John?

14 MR. HULL: Let me take a crack at it, Chip.  
15 I feel constrained, because we still are in the -- it's all  
16 pre-decisional at this point. We don't have even a  
17 proposed rule yet. We're still working with the EPA,  
18 working through various issues. As I think somebody  
19 mentioned earlier tonight, we still need to go through both  
20 the NRC internal concurrence process and then submit the  
21 proposed rule to the Commissioners for their consideration  
22 before it can be published as a proposed rule in the  
23 Federal Register. So I really don't feel I can comment on  
24 anything regarding the preliminary contents of the rule,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 since we're -- you know, it's all pre-decisional at this  
2 point.

3 MR. CAMERON: Okay. That's fair. I guess  
4 the most important thing for all of you, including Marion  
5 and his organization, is to monitor the development of this  
6 rule and to submit comments on it when it does go proposed.

7 MR. HULL: Yes. I didn't make clear when I  
8 was just talking a minute ago. You know, the public,  
9 including, of course, the industry, will have an  
10 opportunity to comment on the proposed rule after it's  
11 published.

12 MR. CAMERON: Okay. Thank you.

13 Mike or Ron, do you want to add anything on  
14 that? This is Myron Fliegel.

15 MR. FLIEGEL: One of the things to recognize  
16 is that in the past, the NRC licensing process for ISLs or  
17 ISRs, as the industry calls it, has been based upon  
18 individual reviews, because our regulations really weren't  
19 very specific to ISLs. And so we go through a process, and  
20 because we didn't have specific regulations, we would tie  
21 licensees with license conditions. And as we developed  
22 that process, we also developed guidance documents that  
23 described the kinds of things that we thought we needed to  
24 license and operate an ISL in a safe and environmentally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sound manner.

2 And so our licensees could look at our  
3 guidance documents, and then when we did a review, we would  
4 document that in a license so they'd be tied to it. Well,  
5 the rule is taking -- most of what you'll see in the rule  
6 comes from what we've done in the past. So it's not --  
7 you're not going to see something that you've never seen or  
8 heard of before. It's now going to put it in a regulation  
9 so that, you know, we can do this consistently, and the  
10 public and the industry can see exactly what the  
11 requirements are. So in that sense, it's not going to be  
12 something drastically new.

13 In addition, as we're reviewing the new  
14 applicants, those of us who are reviewing it know what's in  
15 the rule. So we're not going to -- we're -- in the same  
16 sense that in the past, when we looked at an application,  
17 we pushed our licensees to do what we thought was  
18 protective to public health, safety and the environmental,  
19 well, now we know what we're proposing in the rule, so  
20 we'll push our license -- or applicants in that direction.

21 Now, hopefully that helps.

22 MR. CAMERON: That's useful clarification.  
23 Thank you, Mike.

24 And the NRC staff is going to be here after

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the formal close of the meeting to answer any questions,  
2 have discussions with you. Before I ask Patty Bubar, as  
3 our senior official, to close the meeting for us, is there  
4 any other burning issues anybody wants to bring up before  
5 we close? Okay.

6 MR. GARRETT: I apologize.

7 MR. CAMERON: That's okay.

8 MR. GARRETT: I think it's an easy question.

9 There is some -- Richard Garrett with Wyoming Outdoor  
10 Council. There is some ambiguity in my mind now. I  
11 thought that I understood that the GEIS may or may not  
12 allow for a site-specific review. It doesn't preclude it,  
13 but it does not necessarily require it. Is that correct or  
14 not?

15 MR. CAMERON: I think that this is important  
16 to just answer, clarify that in terms of what is -- what  
17 will happen or might happen at the site-specific stage in  
18 terms of environmental review.

19 Patty, do you want to do that for us?

20 MS. BUBAR: Yes. Thank you for the question.

21 The generic environmental impact statement lays the  
22 foundation and will help focus us when we do go to do the  
23 site-specific review. We will do a site-specific review  
24 for every application that is accepted by the NRC. As I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had mentioned in my opening remarks, that review -- if we  
2 begin with an environmental assessment, if a finding of no  
3 significant impact results from that environmental  
4 assessment, that will be the level of review for that  
5 application. And it will have tiered off of the generic  
6 environmental impact statement.

7 If we cannot have a finding of no significant  
8 impact, then we will do a site-specific EIS. So there will  
9 be additional site-specific review for every application.

10 MR. CAMERON: And did you also mention that  
11 even if it's an environmental assessment, that we would  
12 request public comment?

13 MS. BUBAR: Yes. I think I said that in my  
14 opening remarks, but I'll reiterate that. Yes. Every  
15 site-specific environmental assessment that we do will be  
16 put out for public comment.

17 MR. CAMERON: Okay. Thank you.

18 Shannon, did you have something on this?

19 MS. ANDERSON: Would NRC be willing to put  
20 that promise in writing in the form of regulation that an  
21 EA would be required to be submitted for public comment?

22 MS. BUBAR: Well, I can't make that  
23 commitment right here. If -- I mean, the rule-making  
24 process begins with a -- you know, a petition can be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 submitted by someone asking that something like that be  
2 turned into a rule. But we do absolutely intend to do a  
3 site-specific environmental assessment and put it out for  
4 public comment for these applications.

5 MR. CAMERON: And I think the most important  
6 concern behind Shannon's question is that there be some  
7 documentation at least, perhaps not in a rule, but  
8 documentation that the --

9 MS. ANDERSON: From a regulatory requirement.

10 MR. CAMERON: Okay. But you would at least  
11 document this in the final environmental impact statement.

12 Go ahead, John.

13 MR. HULL: Chip, I'd just add to what Patty  
14 just said. We feel under our present regulations we  
15 certainly have the flexibility to do these site-specific  
16 environmental assessments. But as Patty said, you know, if  
17 there is a desire to put that into a regulation somehow,  
18 you know, there is the petition for rule-making process  
19 that would need to be followed. But to my knowledge, the  
20 NRC does not plan to initiate any such rule-making.

21 MR. CAMERON: Okay. Thank you.

22 Did you want to say something?

23 MR. McINTYRE: I just wanted to say I think  
24 we're on public --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CAMERON: Wait. We have to --

2 MR. McINTYRE: Sorry.

3 Patty, aren't we on record publicly in  
4 writing as saying that we would do that for public comment  
5 on these environmental assessments, I believe in our letter  
6 to Governor Richardson last year?

7 MS. BUBAR: Yes. And also, I believe, in a  
8 Federal Reg. notice. Yes. Greg can give the specifics.

9 MR. CAMERON: Greg Suber.

10 MR. SUBER: Yes. As a result of the -- of  
11 some of the comments we had at our initial scoping meeting,  
12 when we issued the extension for the scoping process, we  
13 also officially made a commitment to issue every EA  
14 associated with the GEIS for public comment.

15 MR. CAMERON: Okay. Thanks for raising that  
16 clarification, Dave. Thank you, Greg.

17 Patty, do you want to close the meeting out  
18 for us?

19 MS. BUBAR: Yes. Thank you, Chip.

20 And thank you, everyone, for all the comments  
21 and the insights.

22 Before I close, I do want to say, as I  
23 mentioned in some of the opening remarks, the process  
24 associated with reviewing the safety report and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 environmental report and deciding whether to issue a  
2 license or not is generally a two-year process.

3 So I know there have been a lot of comments  
4 made tonight about the schedule for the generic  
5 environmental impact statement. But we still anticipate,  
6 even with this delay in -- or as people say, this delay  
7 from the January to June time frame, we still anticipate to  
8 be able to stay within that two-year time frame for  
9 completing the review and deciding whether to issue a  
10 license. So I just wanted to make that clarification.

11 I guess I would like to just thank everyone.

12 I mean, it's been very helpful to hear the various  
13 viewpoints and be able to understand the issues and the  
14 concerns. Given that all of this is being documented or  
15 recorded, we take these very seriously, and we will address  
16 all of the comments that we receive, either tonight in  
17 these public meetings or other public meetings, or if you  
18 submit them in writing. So that's part of our process.

19 So I just would really like to thank  
20 everyone. I encourage you, if you did not speak up tonight  
21 and have comments, to please submit those comments. And if  
22 you have suggestions on things that we either missed or  
23 need to do to make the document a more robust final EIS,  
24 please provide us those comments.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So with that, I guess we will close the  
2 meeting, unless anybody has anything that they did not have  
3 an opportunity to say.

4           MR. CAMERON: Thank you.

5           MS. BUBAR: Okay. Well, thank you very much.

6           (Applause)

7           (Whereupon, at 9:00 p.m., the public hearing  
8 was concluded.)

9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701