

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
564th Meeting - OPEN SESSION

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Wednesday, July 8, 2009

Work Order No.: NRC-2946

Pages 1-175

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 + + + + +

6 564th Meeting

7 + + + + +

8 WEDNESDAY,

9 JUNE 8, 2009

10 + + + + +

11 ROCKVILLE, MD

12 + + + + +

13 The Committee convened in Room T-2B3 in the
14 Headquarters of the Nuclear Regulatory Commission, Two
15 White Flint North, 11545 Rockville Pike, Rockville,
16 Maryland, at 8:30 a.m., Dr. Mario Bonaca, Chair,
17 presiding.

18 COMMITTEE MEMBERS PRESENT:

19 MARIO V. BONACA, Chair

20 SAID ABDEL-KHALIK, Vice Chair

21 J. SAM ARMIJO, Member-At-Large

22 JOHN D. SIEBER

23 SANJOY BANERJEE

24 JOHN W. STETKAR

25 DENNIS C. BLEY

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COMMITTEE MEMBERS PRESENT: (CONT.)

DANA A. POWERS

WILLIAM J. SHACK

MICHAEL T. RYAN

OTTO L. MAYNARD

HAROLD B. RAY

CHARLES H. BROWN, JR.

MICHAEL CORRADINI

GEORGE E. APOSTOLAKIS

NRC STAFF PRESENT:

KENT HOWARD

SAMSON LEE

BRIAN HOLIAN

RON BELLAMY

DUC NGUYEN

DAVE WERKHEISER

HANSRAJ ASHAR

BENNETT BRADY

CHING NG

JOHN BURKE

GOUTAM BAGCHI

STU RICHARDS

KAMAL MANOLY

TOM SCARBROUGH

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PEI-YING CHEN

NRC STAFF PRESENT: (CONT.)

ANNE KAMMERER

CHRIS HOXIE

RALPH LANDRY

STEVE BAJOREK

JOSEPH STAUDENMEIER

ALSO PRESENT:

JOHN THOMAS

MARK A. MANOLERAS

CLIFFORD I. CUSTER

PETER P. SENA, III

BRIAN MURTAGH

STEVE BUFFINGTON

DENNIS WEAKLAND

BILL ETZEL

DAVE GRABSKI

P.T. KUO

RICHARD STARCK

JIM PARELLO

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

TABLE OF CONTENTS

1

2 Opening Remarks by the ACRS Chairman 5

3 License Renewal Application and the Final

4 Safety Evaluation Report (SER) for the

5 Beaver Valley Power Station 11

6 Draft Final Revision 3 to Regulatory Guide

7 1.100, "Seismic Qualification of

8 Electric and Mechanical Equipment for

9 Power Plants" 82

10 Applicability of TRACE Code to Evaluate New

11 Light Water Reactor (LWR) Designs 136

12 Adjourn

13

14

15

16

17

18

19

20

21

22

23

24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
 1323 RHODE ISLAND AVE., N.W.
 WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

8:28 A.M.

CHAIR BONACA: Good morning. The meeting will now come to order.

This is the first day of the 564th meeting of the Advisory Committee on Reactor Safeguards. During today's meeting the Committee will consider the following: license renewal application in the Final Safety Evaluation Report for the Beaver Valley Power Station; Draft Final Revision 3 to Regulatory Guide 1.100, "Seismic Qualification of Electric and Mechanical Equipment for Power Plants"; Applicability of TRACE Code to Evaluate New Light Water Reactor (LWR) Designs; Format and Content of the Biennial Research Report to the Commission on the NRC Safety Research Program; and preparation of ACRS reports.

A portion of the session dealing with applicability of the TRACE code to evaluate new Light Water Reactor designs may be closed to discuss information that is proprietary to General Electric Hitachi or its contractors.

This meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Mr. Sam Duraiswamy is the Designated Federal Official for the initial portion of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 meeting.

2 We have received written comments from
3 Paul Gunter of Beyond Nuclear regarding the Beaver
4 Valley license renewal applications. His comments
5 will be made part of the record of today's meeting.

6 We have received no requests for time to
7 make oral statements from members of the public
8 regarding today's sessions. Federal and industry
9 personnel will be on the phone bridge line to listen
10 to the discussion regarding Regulatory Guide 1.100 and
11 TRACE Code.

12 To preclude interruption of the meeting,
13 the phone lines will be placed in a listening mode
14 during the presentations and Committee discussion. A
15 transcript of a portion of the meeting is being kept.

16 It is requested that the speakers use one of the
17 microphones, identify themselves, and speak with
18 sufficient clarity and volume so that they can be
19 readily heard.

20 I will begin with some items of current
21 interest. Board members who have not completed a
22 mandatory online training course on information
23 security awareness should complete it during this
24 week. If you need assistance, see Vicky Brown.

25 Mr. David Bessette, who has been with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 NRC for about 30 years, of which about three years
2 with the ACRS staff, has retired on June 30, 2009.
3 During his tenure on the ACRS he provided technical
4 support to the Committee in its review of several
5 matters including PWR sump performance, applicability
6 of the TRACE Code to the ESBWR design, and power
7 uprate applications. His in-depth knowledge of
8 thermal hydraulic issues, regulatory process, and
9 technical support to the Committee reviewing several
10 complex, technical issues are much appreciated. We
11 wish him good luck in his future endeavors.

12 We have several new staff members and
13 summer hires. I will present their bios and please
14 hold your applause until I finish reading the bios.

15 (Laughter.)

16 MEMBER CORRADINI: Are they going to stand
17 up so we can find them in the room?

18 CHAIR BONACA: We will ask them to stand
19 up at that point.

20 New staff members: Ms. Kathy Weaver
21 joined the ACRS staff as a Senior Staff Engineer on
22 June 8, 2009. She has been with the NRC since 1990.
23 Prior to joining the ACRS staff, she worked as a
24 reactor inspector, a resident inspector in Region 4, a
25 senior resident inspector in Region 2, a senior

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 project manager in NRR and mostly simply the technical
2 assistant to the NRR, associate director for Operating
3 Reactor Oversight and Licensing. Ms. Weaver received
4 a Bachelor's degree in Engineering and an Associate
5 degree in Nuclear Technology from Arkansas Technical
6 University. She will be the Cognizant Staff Engineer
7 for the Plant Operations and Fire Protection
8 Subcommittee.

9 Dr. Weidong Wang joined the ACRS staff as
10 a senior staff engineer on July 6, 2009. He has been
11 with the NRC since 1999. Prior to joining the ACRS
12 staff, Dr. Wang worked at the Office of Research as a
13 Reactor System Engineer. From 1999 to 2006, he
14 managed a number of research projects including PUMA,
15 experimental problems in the TRACE and RELAP code
16 development project. In 2007, he joined NRR and
17 reviewed ESBWR design certification, ESBWR COL, and
18 ABWR COL applications. Technical areas he reviewed
19 include the ESBWR LOCAs, instability, transients and
20 applicability of TRACE for analyzing the ESBWR design.

21 Prior to joining the NRC, Dr. Wang worked at INL,
22 Idaho National Laboratory where his main
23 responsibilities included reactor system code
24 development and code user and support. Dr. Wang
25 graduated from Suzhou University in China with a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Bachelor's degree in Physics in 1983 and received his
2 Ph.D. from the School of Nuclear Engineering of Purdue
3 University in 1997. Dr. Wang will be working with
4 thermal hydraulic issues, PWR performance, EPU
5 applications and other issues as assigned.

6 Ms. McKoy Moore joined the ACRS staff as a
7 team leader in June 2009. She has been with the NRC
8 since 2007. Prior to joining the ACRS staff, she
9 worked as a recruiting and professional development
10 coordinator for the Office of the General Counsel.
11 Ms. Moore has over ten years of experience in
12 workforce and professional development which includes
13 diversity and professional development, manager for
14 Robins, Kaplan, Miller and Ciresi, assistant director
15 for career and professional development, University of
16 St. Thomas School of Law and staff attorney for
17 workforce development and public benefits, Mid
18 Minnesota Legal Services. She's a recent graduate of
19 the NRC Leadership Potential Program and holds a juris
20 doctorate from the Howard University School of Law and
21 a Bachelor of Arts in Sociology from the University of
22 North Carolina.

23 Ms. Desiree Davis joined the ACRS staff in
24 June as a management analyst. She holds a B.A. degree
25 in psychology and a B.A. degree in French Language and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Literature from the University of Maryland, College
2 Park. This fall, Desiree will pursue a master's
3 degree at the Georgetown University majoring in
4 Security Studies with a concentration in international
5 security.

6 And finally, summer interns: Ms.
7 Gabrielle Fuller joined the ACRS staff recently as a
8 summer intern. Gabrielle is currently pursuing a
9 master's degree at the College of New Jersey majoring
10 in interactive multimedia with a minor in women and
11 gender studies.

12 Mr. Thomas D'Agostino joined the ACRS
13 recently as a summer intern. Thomas is pursuing a
14 B.S. degree in Civil Engineering at Virginia Tech.
15 Subsequent to graduation, he plans to pursue a
16 master's degree in Civil Engineering. He's currently
17 assisting Mike Lee with a paper on seismic safety in
18 nuclear reactors.

19 And finally, Mr. Patrick Arzabarzin joined
20 us on staff as a summer intern in June. He's pursuing
21 a B.S. degree majoring in political science at Purdue
22 University. He is currently involved in the ACRS
23 conference room renovation project. Subsequent to
24 graduate, Patrick plans to pursue a career in politics
25 or work as an attorney for the Federal Government.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 With that I think I listed all of them and
2 all of you welcome aboard.

3 (Applause.)

4 Okay, that was quite a number of new
5 arrivals.

6 (Off the record comments.)

7 We can move now to the first item on the
8 agenda which is license renewal application and final
9 Safety Evaluation Report for the Beaver Valley Power
10 Station and Dr. Bley will lead us through that
11 presentation.

12 MEMBER BLEY: Thank you, Mr. Chairman.
13 Beaver Valley Power Station Units 1 and 2 are 3-loop
14 Westinghouse PWRs situated on the Ohio River, a bit
15 down river from Pittsburgh. The current license power
16 rating of each of the units is 2900 megawatt-thermal
17 and gross electrical output of 974, 969 megawatts for
18 Unit 1 and 2 respectively.

19 First Energy requested renewal of the
20 operating license for 20 years beyond the current
21 license terms which expire in 2016 for Unit 1 and 2027
22 for Unit 2. One thing I'll mention before we get into
23 the presentation is we had a subcommittee meeting back
24 on February 4th. One of the impressive things to me
25 was they really managed to have minimal exceptions to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the GALL. I think they met 92 percent of those.

2 Coming out of that subcommittee meeting,
3 there were several more RAIs issued and resolved. I
4 think we'll hear about those. And at that meeting,
5 our members raised several concerns, the most
6 important of which us seemed to be the issue of
7 submerged 4kV cables for the relevant servicewater
8 pumps and today we're going to hear how that's been
9 resolved.

10 Beaver Valley 1 containment liner
11 corrosion, which a number of the members expressed
12 real concern about, especially the issues of how
13 convinced can we be that no water, it's impossible for
14 water to get behind the liner and that what we heard
15 last time with looking for bubbles in the liner is
16 probably not real good acceptance criteria. So we're
17 looking forward to hearing how that's turned out.

18 One other had to do with the fatigue cycle
19 estimates and the historical fidelity. We got a
20 glimpse of the histograms, but we would ask for a
21 little more explanation on that, a brief explanation
22 of why we think ten years is a good -- the last ten
23 years is a good predictor for future reactor vessel
24 performance. And we had noted that our RDNDT would
25 have exceeded the acceptance criteria and we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 relying on the new ones to carry us there.

2 There were a few issues with Boral and
3 some of the Unit 1 and 2 differences. I think the
4 chairman noted that we received a letter and if staff
5 is inclined to comment on that, we'd be interested in
6 hearing what you have to say.

7 At this point, I think I'll turn it over
8 to Brian Holian. Thank you.

9 MR. HOLIAN: Thank you, Dr. Bley and
10 Chairman, good morning, ACRS members. My name is
11 Brian Holian and I'm the Division Director for License
12 Renewal. I'll just do introductions and a few
13 introductory comments and then turn it over to the
14 licensee for their presentation, followed by staff's
15 presentation.

16 To my right is Dr. Sam Lee, Deputy
17 Director, Division of License Renewal. To his right
18 is the Project Manager for the Beaver Valley license
19 renewal, Mr. Kent Howard. I'd also like to highlight
20 just three members from Region 1 that are here today.

21 Behind me is the Branch Chief of Division of Reactor
22 Projects for Beaver Valley and that's Dr. Bellamy, Ron
23 Bellamy. We also have the Senior Resident Inspector
24 from Beaver Valley, Dave Werkheiser. And we also have
25 a BRS Inspector who also will be heading on soon to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Indian Point as Resident Inspector, Ajo Ayegbusi.

2 We also have other branch chiefs and
3 technical staff members that you'll hear from in
4 response to questions during the staff presentation.

5 I would like to just highlight two items.

6 There was one open item at the Subcommittee meeting
7 in the draft SER and as you mentioned that was
8 submerged cables and the issue of them being wetted or
9 submerged historically. You'll hear from the licensee
10 and us on that resolution of that issue.

11 Also, we had an issue, as you mentioned,
12 that got quite a bit of discussion at the Subcommittee
13 and that was the containment liner degradation first
14 found in the 2006 steam generator replacement,
15 exterior, some corrosion found in the exterior
16 aspects. Following that Subcommittee meeting and that
17 outage, you'll hear about it today. There was an
18 issue identified during the outage of through-wall on
19 the liner and you'll hear the root cause of that issue
20 and what the licensee has done and also commitments
21 they've made both in response to the exterior-type
22 corrosion and this interior corrosion that did go
23 through-wall.

24 On that issue, the staff did receive a
25 letter from Citizen Power back in May responding to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that issue and saying that the draft SER should be
2 expanded to include aspects of this issue and we
3 agreed with that letter. We responded in June and
4 said we have sent additional RAIs to the licensee and
5 we were further reviewing that issue.

6 As you mentioned just yesterday, July 7th,
7 we received a letter this morning. We received
8 another letter from Citizen Power stating that they
9 understand what the licensee has committed to and
10 their response for additional information, additional
11 UT and just summarizing that letter quickly for the
12 Committee, the two main items I got out of it is one,
13 there's a commitment to do expanded UT. The letter
14 takes issue with the timing of that. It's to be done
15 before the period of extended operation and the letter
16 basically says the sooner the better.

17 The second issue is the number of UT
18 samples. Seventy-five, one foot by one foot areas
19 were proposed and accepted by the staff. And there is
20 some issue with the randomness of those, how you pick
21 that sampling criteria. The licensee has proposed
22 more of a smart sample and I think the letter takes
23 issue with one, how you're doing that sampling and
24 two, the amount that should be done based on the root
25 cause. If you would exclude that issue, their issue

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be that you would have to do more because you've
2 had an instance where through-wall has come through.

3 So that's a quick summary of the letter.
4 The staff will have to respond in writing to that
5 letter and our technical experts haven't gotten all
6 the way through it. We just received it this morning,
7 but we'll be able to respond verbally to parts of
8 that.

9 With that, I'll turn it over to Beaver
10 Valley and Pete Sena, the Site VP.

11 MR. SENA: All right, thank you, Brian.
12 And good morning.

13 Mr. Chairman, distinguished members of the
14 Committee, thank you for the opportunity for Beaver
15 Valley to present its application for license renewal.

16 I'm Pete Sena, I'm the Site Vice President at Beaver
17 Valley.

18 With me to my left is Cliff Custer. Cliff
19 is the project manager for license renewal. Then
20 there's Mark Manoleras. Mark is the director of site
21 engineering at Beaver Valley. And we also have John
22 Thomas. John is our senior technical lead for license
23 renewal. Additionally, in the back we have members of
24 the core license renewal team and members of the
25 Beaver Valley staff that are available to answer any

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specific questions that may come up through the
2 Committee.

3 Safe, reliable operation has been the
4 priority at Beaver Valley for the last 33 years.
5 Today Beaver Valley's safety record is one of the top
6 in the industry and that's noted by our top decile
7 metrics with respect to INPO index.

8 Our management of active components has
9 been absolutely improved over the last 33 years of
10 operation through PM programs, through critical
11 spares, through corrective and elective maintenance,
12 but as we're all aware license renewal hinges on our
13 ability to manage passive components.

14 This morning, we'll have the opportunity
15 to discuss, as Brian talked about, recent operating
16 experience at Beaver Valley. From my viewpoint good
17 news is not there are no problems. Good news rather
18 is you're identifying your issues and you're
19 correcting your problems, your issues, rather, before
20 they become problems.

21 As we'll discuss with our containment
22 liner activities, we believe that we are effective
23 with our inspection program. We have corrected the
24 deficiency and we've properly adjusted our going-
25 forward actions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 With that, I'll turn it over to Mark
2 Manoleras. Thank you.

3 MR. MANOLERAS: Thanks, Pete. What we'll
4 today is we'll discuss a short description of the
5 site. I will review the overall license renewal
6 project. We'll discuss our open item resolution
7 associated with inaccessible medium-voltage cables.
8 Also, Cliff will discuss some of the subcommittee
9 follow-up items you heard discussed before. This will
10 include recent OE associated with MRP-146 and some of
11 the inspections that were completed, and also some
12 recent OE associated with our Unit 1 containment
13 liner. We'll also provide an overall summary of the
14 project.

15 We had already heard about his site
16 description. Beaver Valley again is a two-unit, 3-
17 loop Westinghouse PWR, 17 miles west of McCandless on
18 the Ohio River. It's owned and operated by Ohio
19 Edison and Toledo Edison, part of the First Energy
20 Nuclear Generation Group.

21 Beaver Valley went commercial in 1976 and
22 Beaver Valley Unit 2 in 1987.

23 I'll now turn it over to Cliff to discuss
24 the license renewal project.

25 MR. CUSTER: Thank you. The license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 renewal project, the Beaver Valley core team remained
2 engaged with the industry. We attended several of
3 other nuclear industry audits and inspections.
4 Remained engaged with the NEI Working Groups, and of
5 course the NRC meetings.

6 In addition, the application received
7 independent assessments by an industry panel, our own
8 site QA, an industry peer-review group, and the FENOC
9 Corporate Nuclear Review Board.

10 Our methodology was consistent with NEI
11 95-10. From the very beginning it was our project
12 intent to maximize Gall consistency. As you heard,
13 we're nearly 92 percent of the AMR line items are
14 consistent with GALL.

15 Our open item was identified in the draft
16 SER and the subcommittee meeting on February 4th on
17 inaccessible medium-voltage cables. I'm pleased to
18 say that we've closed that open item. The method that
19 we used to close the item was recognized that we
20 needed to modify our Age Management Program for one
21 that was more consistent with GALL.

22 We offered and provided the new
23 commitment, the commitment of three parts to
24 development a methodology to demonstrate the cables
25 will continue to perform their intended function,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 minimize exposure to significant moisture or
2 replacement of the cables. Our current priority is on
3 minimizing the exposure to significant moisture and
4 we're working in that direction.

5 With respect to some of the subcommittee
6 follow-up items that you heard Chairman speak to, we
7 had some recent operating experience during our spring
8 outage in 2009 with respect to the MRP-146
9 inspections. MRP-146 is Materials Reliability
10 Program.

11 VICE CHAIR ABDEL-KHALIK: Excuse me, on
12 the previous slide, does the water in these manholes
13 ever freeze?

14 MR. CUSTER: We have seen no instance of
15 freezing in these manholes.

16 VICE CHAIR ABDEL-KHALIK: So the cables
17 are never exposed to freeze-thaw cycles?

18 MR. CUSTER: I would ask Brian Murtagh to
19 talk about that.

20 MR. MURTAGH: Good morning. I'm Brian
21 Murtagh from Design Engineering. No, there's been no
22 evidence of a free-thaw cycle.

23 VICE CHAIR ABDEL-KHALIK: Okay, thank you.

24 MEMBER BROWN: I have one other question
25 on the cables also. In the subcommittee meeting, as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 result of this discussion also, there were three
2 things you were going to do. But in that subcommittee
3 meeting you identified that you all were going to
4 provide documentation to show those cables were
5 designed for submerged operation and I didn't know
6 whether anything else had been supplied along that
7 line. I hadn't seen it. It's not reflected in these
8 three action items.

9 MR. CUSTER: Brian, would you like to
10 comment on that, please?

11 MR. MURTAGH: Yes, we can. During the
12 subcommittee, we provided information that the cables
13 were suitable for the environment and we did provide
14 the staff the previous information regarding the cable
15 constructions and the vendor letters that describe the
16 cable. However, we have since come to an
17 understanding that cables need to be more than
18 suitable for the environment. They need to be
19 qualified for the environment. Therefore, the
20 localized environment for these cables has to be
21 consistent with qualification and therefore we need to
22 eliminate the submerged conditions.

23 MEMBER BROWN: Okay, that's a nuance on
24 the word suitable like qualified?

25 MR. MURTAGH: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: Okay, thank you.

2 MEMBER MAYNARD: Point of clarification.
3 You're not doing all three of these. These are ors.

4 MR. CUSTER: These, in fact, are ors.
5 Thank you for the clarification.

6 As a subcommittee follow-up item, as I
7 said, in the spring of 2009 this year we had recent
8 operating experience with respect to our
9 implementation of MRP-146. MRP-146 is a Materials
10 Reliability Program, guidelines for inspection of
11 reactor coolant system branch lines for thermal
12 fatigue.

13 We had made commitment, our commitment 31
14 for Beaver Valley Unit 1. It happened to be 32 for
15 Unit 2. At Unit 1 in that outage there were 13 piping
16 locations that were screened in as susceptible. All
17 those locations were examined during our 1R19 spring
18 outage. We identified on one line which happened to
19 be the alpha loop drain line, a two-inch diameter
20 line, nondestructive indications on that line.

21 The probable cause is in alignment with
22 what was expected from MRP-146, thermal fatigue.
23 However, we still have metallurgical confirmation
24 pending to confirm that that is, in fact, the case.
25 The pipe was replaced that contained the indication.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: The screening analysis
2 examined those things that are screened in, go back
3 and redo the screening analysis now once you have an
4 indication?

5 MR. CUSTER: I'd like Steve Buffington to
6 talk about our methodology there.

7 MR. BUFFINGTON: I am Steve Buffington
8 from Design Engineering. Sir, I'm not sure I
9 understand your question.

10 MEMBER POWERS: The screening analysis,
11 you find some things, then you go in and you find an
12 NDE indication on one of those things you screened in.
13 Doesn't that affect your acceptance criteria for your
14 screening?

15 MR. BUFFINGTON: The screening for this is
16 based on geometry and operating conditions. And we
17 predicted -- well, we indicated that these 13
18 locations might be susceptible to thermal fatigue and
19 those were the locations that were inspected. There
20 are follow-up activities along MRP 146 and they
21 include analysis that determines what the severity of
22 thermal cycling would be at the screened-in locations.
23 And then incorporation of that into design analysis,
24 along with the other thermal transients that are
25 occurring. And depending upon what your results of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that detailed analysis are, identifies when you would
2 do follow-up inspections and what further actions we
3 would take.

4 MEMBER POWERS: So you don't -- I mean you
5 set some threshold for your thermal cycling to do your
6 screening analysis. That threshold is not intended to
7 find anything?

8 MR. BUFFINGTON: No, that threshold is not
9 depending on results of inspection.

10 MEMBER POWERS: It seems like it ought to
11 be, doesn't it? I set a threshold based on something.
12 I find indeed things are exceeding that threshold.
13 Shouldn't I set a more restricted threshold?

14 MR. BUFFINGTON: Well, these locations did
15 exceed the threshold which is why for the screening
16 which is why we went and looked at them.

17 MEMBER POWERS: And if you subsequently
18 find an NDE indication, isn't the threshold maybe a
19 little too generous?

20 MR. BUFFINGTON: If I may, it's a question
21 with respect to the threshold of the acceptance
22 criteria for the NDE, for the UT exams, or the
23 screening for scoping in?

24 MR. SENA: If I may, Steve, wouldn't the
25 fact that we found something consistent with our

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 screening confirm that the screening was appropriate?

2 MR. BUFFINGTON: Yes, I believe that's
3 correct. I think if we had found indications in
4 something that screened out --

5 MEMBER POWERS: But you never looked if
6 you screened it out.

7 MEMBER ARMIJO: You inspected 13 locations
8 that were screened in. Of those 13, you found
9 indications only on one location -- the screened
10 criteria were not -- were I would say somewhat
11 conservative, yes, that you -- if you found 13 out of
12 13 with defects, I would have said you better reset
13 your criteria, because the threshold is lower than
14 what --

15 MEMBER POWERS: What is your probability
16 of making that type two error? And somewhere around
17 10 percent probability which is what you would have
18 here is a little high, I think. I don't know what the
19 probability is on your screening, but I would assume
20 your screening has the likelihood of me having a flaw
21 and I screened out things like one percent or
22 something like that. It would be my screening type.
23 I don't know what theirs is.

24 MR. MANOLERAS: Yes, I definitely -- this
25 is Mark Manoleras, the Engineering Director of Beaver

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Valley. I definitely understand the question. MRP-
2 146 provides pretty solid guidance on how to select
3 the locations. The analysis is then performed. The
4 identified locations are then screened in. The
5 inspections are then performed, and then the follow-on
6 actions are identified.

7 I believe that we are definitely following
8 in accordance with the guidance of MRP-146. I
9 definitely understand your question. We've entered
10 that into our corrective action system in doing some
11 additional evaluation additionally.

12 MEMBER BLEY: Let me ask a related
13 question. It's been kind of hinted at and that would
14 be do we know what that -- the things that are
15 screened out, the screening procedure, does it have in
16 mind a likelihood of gauze being in the places that
17 are screened out? Is that the screening criteria?

18 MR. CUSTER: Steve, would you like to
19 explain that?

20 MR. BUFFINGTON: The screening criteria,
21 this was put together as part of the MRP-146 program
22 and that's basically screening us on geometry and the
23 flow in the loops and how you would develop a thermal
24 cycling within that unisolable branch line. That
25 process is all based on testing in the industry and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 also industry experience including other cracks that
2 have occurred on the unisolable branch lines.

3 MEMBER SHACK: It seems to me that the
4 screening criteria is called in question if you have a
5 failure or some indication that is found in a
6 component that would have been screened out. That
7 would be the criteria. The screening criteria is
8 appropriate if after you do the examination you find
9 an indication in something that was screened in, but
10 the reverse is not necessarily logical in my mind.

11 MEMBER ARMIJO: Just for a little more
12 detail, of these 13 locations that were screened in,
13 was there any kind of ranking of the most likely and
14 did that correlate with the one location where you
15 found the defect or the indication? In other words,
16 were they all viewed as an equivalent risk or was
17 there some --

18 MR. BUFFINGTON: Yes, I'd like to answer
19 that. There are basically two configurations that we
20 were including and that's when you branch off of the
21 top of the loop that's considered an up horizontal
22 configuration or a down horizontal configuration.

23 The location we had the indications was
24 down horizontal, and in this particular instance there
25 was nothing unique about this where we would think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we had flaws on this loop versus the other two
2 loops.

3 We did inspect 100 percent of our down
4 horizontal locations and did not find indications in
5 the other five locations.

6 MR. CUSTER: If I could, I would like to
7 bring Dennis Weakland to the microphone.

8 Dennis, would you care to talk to us a
9 little bit about the inspection criteria developed by
10 the industry for MRP-146?

11 MR. WEAKLAND: I am Dennis Weakland.
12 FENOC Materials Corporate. I'm also chairman of the
13 MRP IIG integrations group that produced this document
14 for the industry under EPRI.

15 The 146 examinations were developed
16 analytically over the past several years and
17 experiences we've seen with small-bore and nonisolable
18 components off the RCS loop because the industry saw
19 an issue. The industry took a voluntary action. This
20 is all of the MRP-146 documents were done under the
21 NEI initiative 03-08 to which our outside of code,
22 nonmandated. These are initiatives that the
23 executives imposed upon themselves to take on.

24 These inspections that were performed at
25 Beaver Valley were the first round of inspection

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 programs for the industry. We're just now getting
2 through the completion of that by the end of this
3 calendar year.

4 And what you're seeing is part of the
5 feedback mechanism that we have, the metallurgical
6 work being done will be fed back into the criteria to
7 assess the analytical work, was it correct, and we
8 generally will revise our guidance as we have done
9 with MRP-139 for Alloy 600. We had to revise that
10 because we found things in the field. That's the
11 purpose of the guidance. It's go out, get ahead of the
12 issue, find the issue before we find failures in the
13 industry and it was -- it did exactly what it was
14 supposed to do. We found thermal fatigue, what we
15 believe to be thermal fatigue, prior to it becoming a
16 failure. It was being proactive in the materials
17 perspective. That's the purpose.

18 MEMBER BLEY: Thank you. Let's go on.

19 MR. CUSTER: Thank you, gentlemen. Okay,
20 in the next subcommittee follow-up item, on the screen
21 right now are early containment construction photos
22 that were previously requested from the subcommittee.

23 The picture demonstrates in situ liner construction
24 and the degree of rebar density involved in the
25 design.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Next slide please.

2 The liner design itself, carbon steel
3 liner. Nominal thickness on the floor is one quarter
4 of an inch. Three-eighth's of an inch, nominal
5 thickness on the wall and a half inch on the dome.

6 Insert plates are installed into the
7 liner. Those are 5/8ths to inch and a half thick.
8 They have separate studs so that any large loads are
9 transferred to the concrete of the liner. There are
10 overlay plates attached to the liner for very light
11 loads such as cable trays and so on and penetration
12 strengths for the loads directly to the concrete in
13 the wall.

14 Now the studs on the liner on 12-inch
15 centers and the liner itself is a leak-tight membrane.
16 It performs no structural function.

17 COURT REPORTER: Sir, that's your paper on
18 the microphone.

19 MR. CUSTER: Thank you very much.
20 Continuing on, as we discussed previously in the
21 subcommittee meeting in 2006 --

22 VICE CHAIR ABDEL-KHALIK: Just a
23 clarification, if I may, this is a leak-tight
24 membrane. What is the functional purpose of the
25 liner?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: John, would you like to
2 discuss this?

3 MR. THOMAS: It's the fission product
4 barrier. It's a gas membrane for containment to
5 retain fission products after an accident.

6 VICE CHAIR ABDEL-KHALIK: So leak-
7 tightness is an important performance measure for that
8 functional requirement of the liner?

9 MR. THOMAS: Containing the fission
10 products following an accident, yes.

11 VICE CHAIR ABDEL-KHALIK: Thank you.

12 MR. CUSTER: Returning back to -- as we
13 previously discussed in the subcommittee meeting in
14 February, in 2006, during our 1R17 outage for steam
15 generator replacement, during hydro-demolition,
16 removal of the concrete for the 20 by 20 opening for
17 the steam generator, we exposed the backside of the
18 land. We identified three areas of corrosion on the
19 concrete side of the exposed liner. None of these
20 areas were, in fact, through-wall. The areas were
21 randomly spaced within that 20 by 20 area. There was
22 no necessarily any pattern.

23 In 2009, this spring, during the scheduled
24 visual inspection in accordance with the IWE code, we
25 identified paint blisters with some rusting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Subsequent cleaning revealed the primer coat, in fact,
2 was blistered, in a small through-wall flaw,
3 approximately one inch by 3/8ths of an inch.

4 The volumetric UT exam determined the
5 extent of corrosion around the flaw was an area around
6 two by five inches, two inches by five inches.

7 MEMBER POWERS: You call this a small
8 flaw, but if I compare that flaw size to your design
9 basis leak rate, I think it's not small.

10 MR. MANOLERAS: Bill Etzel, can you please
11 talk about that?

12 MR. ETZEL: Yes, this is Bill Etzel, the
13 lead PRA engineer at Beaver Valley. We looked at the
14 risk significance of the hole and looked at the
15 equivalent diameter which would be about a .7 inch
16 circular hole and compared that to our definition for
17 large early release frequency which has a minimum
18 diameter of two inches. So we were a lot smaller than
19 our required minimum granule size. So any release
20 would be small early release.

21 MEMBER POWERS: I have no idea what you're
22 talking about. If I compare this to your design basis
23 leak rate that's a hole of what, roughly two
24 millimeters in diameter would give you your design
25 basis leak rate. And this is enormous compared to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that.

2 MR. ETZEL: We also looked at industry OE.
3 North Anna had a similar containment liner hole back
4 in 1999 and they did a localized pressure test. They
5 had approximately a quarter inch hole diameter. So we
6 took their test results and scaled them up by the
7 ratio of the areas and then took our as-found type A
8 test leakage and added those two leakages together to
9 come up with a total estimated leakage through hole.
10 That value was less than or maximum allowable
11 containment leakage rate.

12 MEMBER POWERS: I am surprised. Let's put
13 it this way. I don't know what your design basis leak
14 rate is, but I'm guessing it's around .1 percent per
15 day. And the question is do you now come into
16 violation of 10 CFR Part 100 doses at the site
17 boundary for the design basis source term going into
18 this plant? And that seems to be offered.

19 MR. MANOLERAS: Bill, go ahead and address
20 that.

21 MR. ETZEL: Yes, our design basis is .1
22 percent containment error mass per day. You have to
23 factor in that after we took away the containment
24 liner, the concrete behind the liner was in good
25 condition. So it didn't have a through-wall through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the concrete. So that would also provide additional
2 barrier to leakage.

3 MEMBER POWERS: So you're taking some
4 credit for fission product continuation by the
5 concrete?

6 MR. MANOLERAS: No, what Bill is trying to
7 explain is that the results were conservative to the
8 Part 100 limits. In addition, we did not take credit
9 to the concrete behind the liner.

10 MR. SENA: We took no credit for the
11 concrete. We took no credit. That's just additional
12 conservatism them.

13 MR. MANOLERAS: We took credit for North
14 Anna's test which had the concrete --

15 (Laughter.)

16 MEMBER POWERS: One would hope --

17 MEMBER BLEY: Tell us about this two by
18 five inch flaw. You said it's equivalent to a .7 inch
19 diameter circular hole. So it really wasn't two by
20 five?

21 MR. CUSTER: Let me comment to that,
22 please. The opening was one inch --

23 MEMBER BLEY: That was the one by one by
24 3/8ths.

25 MR. CUSTER: One inch by 3/8ths.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Horizontal there was some loss of wall.

2 MEMBER BLEY: That was the extent of
3 corrosion. Okay, thanks.

4 MEMBER ARMIJO: Was this through-wall hole
5 detected by any leak rate test, routine testing or
6 periodic testing or was it only detected by the
7 blister and subsequent exam?

8 MR. CUSTER: It was detected by the
9 blister. And the subsequent exam that followed it up.

10 MEMBER STETKAR: Do you have a risk-
11 informed ILRT frequency now in place at Beaver Valley?

12 MR. ETZEL: We had a risk-informed one
13 time extension, but it's no longer risk-informed.

14 MEMBER STETKAR: When is the last time you
15 did an ILRT?

16 MR. SENA: That would have been after the
17 steam generator replacement outage.

18 MR. CUSTER: 2006.

19 MEMBER STETKAR: Thank you.

20 MEMBER CORRADINI: And that was -- just to
21 be clear, that was before you found this?

22 MR. CUSTER: Correct.

23 MEMBER POWERS: That would suggest that
24 this corrosion progresses very, very fast.

25 MEMBER CORRADINI: Or, just another way of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 saying it, or if I understood how he explained your
2 interpolation, it was part of it and it was below the
3 limit.

4 MEMBER POWERS: Mike, a hole like this
5 will never make the integrated leak-rate test.

6 MEMBER CORRADINI: Unless I misunderstood
7 his explanation, they took the --

8 MEMBER POWERS: I didn't understand his
9 explanation at all, so --

10 (Laughter.)

11 MEMBER CORRADINI: Okay, but as he
12 explained it, he took the North Anna results, scaled
13 it with area at their IRLT which is 100 and something
14 percent of design pressure and then showed that was
15 well within their leakage.

16 So for the leak rate part of it they are
17 taking credit of the containment concrete.

18 MEMBER MAYNARD: It does not surprise me
19 that you pass on IRLT with a hole of that size in the
20 liner as long as the concrete is good behind it which
21 is what I think the condition was.

22 MEMBER BLEY: Thank you.

23 VICE CHAIR ABDEL-KHALIK: How comfortable
24 are you that this is the only sort of location where
25 you have wastage in the containment liner?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MANOLERAS: We believe that the
2 programs we put in place will identify these locations
3 prior to us exceeding any of the design limits.

4 VICE CHAIR ABDEL-KHALIK: But as of today,
5 do you know the state of the liner, other than the
6 fact that you have identified this particular hole?

7 MR. MANOLERAS: We have just completed our
8 IWE inspection of this outage and we have successfully
9 completed that IWE inspection. Additionally, the flaw
10 that we identified we repaired and performed a leak
11 test on, so yes, yes, we believe with that IWE
12 inspection and the repair of that location in the
13 liner that our liner meets the requirements. That's
14 correct.

15 MR. SENA: So if I may, the IWE code
16 inspection, three inspections over a ten-year interval
17 requires 100 percent visual inspection of the
18 accessible containment liner within the containment
19 structure. We completed that 100 percent inspection
20 this outage. This was the one blistered location we
21 did identify.

22 We had the Type A test as we stated back
23 in 2006. This was the code inspection which
24 identified the blister which we then cleaned and
25 removed the rust away to identify the through-wall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 condition. So I believe what's important is now we
2 found a problem, now you have to adjust your going-
3 forward inspection plans.

4 MEMBER SHACK: Let me ask a half-related
5 question. In the early days at Beaver Valley that was
6 a sub-atmospheric containment and the pressure during
7 operation was about ten pounds absolute.

8 MR. SENA: Correct.

9 MEMBER SHACK: You chose to utilize the
10 alternate source term which allowed you to reduce the
11 amount of backing in the containment. What pressure
12 do you -- you're still negative?

13 MR. SENA: Still negative.

14 MEMBER SHACK: What pressure do you
15 operate at now?

16 MR. MANOLERAS: About a half a pound sub-
17 atmospheric.

18 MEMBER SHACK: Good. At ten pounds
19 absolute if you had a significant hole in the
20 containment, you could tell by the pump out rate.

21 MR. SENA: Absolutely.

22 MEMBER SHACK: At a half a pound, I doubt
23 that you could tell, right?

24 MEMBER RAY: Wait a minute, all of this
25 reference to the test results inevitably winds up with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the concrete masking what the leak rate is going to be
2 from the membrane. The membrane is supposed to
3 prevent leakage from a design-basis accident.

4 MEMBER SHACK: Right.

5 MEMBER RAY: At which point the condition
6 of the concrete can't be taken credit for. So I guess
7 I just think that the idea that the leakage is going
8 to be small from a small hole, from a hole this size,
9 as small as Dan says, in the design-basis conditions
10 isn't logically supportable because the concrete, you
11 can't -- you, yourself said, you can't take credit for
12 the concrete and the reason is because it's condition
13 in the design-basis event can't be predicted, can't be
14 credited. The only thing you can credit is the
15 membrane itself.

16 MEMBER SHACK: From a deterministic basis,
17 you're correct. From a probabilistic basis, which is
18 what they use and can take credit based on --

19 MEMBER RAY: I don't think so.

20 MEMBER SHACK: Well, that's the way it is.

21 MEMBER RAY: That's not right.

22 MEMBER SHACK: I'd like to get an answer
23 to my question that I asked before.

24 MR. MANOLERAS: Bill, why don't you take a
25 shot at that question?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: Could you tell? The answer
2 is probably not, right?

3 MR. MANOLERAS: Probably not, Jack.

4 MEMBER SHACK: Okay.

5 MR. SENA: Jack, as a former senior
6 reactor operator at a half pound, I'd agree, probably
7 not.

8 MEMBER SHACK: Probably not.

9 MR. SENA: If they trend it long term and
10 if you're particularly looking for that, perhaps.

11 MEMBER SHACK: I even doubt that because
12 of the temperature difference. Okay.

13 MEMBER BLEY: Before we leave this, I've
14 forgotten, what kind of corrosion was this and where
15 did it occur?

16 MR. CUSTER: This corrosion was a
17 localized corrosion.

18 MEMBER BLEY: Was it inside or --

19 MR. CUSTER: From the outside of the
20 concrete side of the liner to the inside.

21 MEMBER BLEY: From the concrete, so
22 between -- and what kind of corrosion was it?

23 MR. CUSTER: It was a pitting attack.

24 MEMBER BLEY: So there was moisture in
25 there?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CUSTER: Yes.

2 MEMBER RAY: It was a piece of wood that
3 was the site of corrosion.

4 MR. CUSTER: If I could, gentlemen, my
5 next slide will answer some of those questions and we
6 can do a follow up with that.

7 MEMBER CORRADINI: Before we go on to what
8 caused it, I guess I heard between Jack and Dana and
9 Harold three different opinions about whether you can
10 or cannot take credit of the concrete for the design
11 basis. So I'm still not clear if you can or cannot.

12 MEMBER SHACK: Cannot.

13 MEMBER CORRADINI: So then Dana's question
14 is operative, that you can't use this sort of analysis
15 to estimate your leak rate.

16 Is that correct?

17 MEMBER SHACK: From a risk standpoint,
18 yes? From a design basis standpoint, no.

19 MEMBER RAY: The reason I disagree with
20 Jack on the risk standpoint is the risk model for the
21 behavior of the concrete in the design basis event I
22 think has got to be explored before you claim, take
23 credit for the concrete on a risk basis.

24 MEMBER POWERS: We don't know how to do it
25 is the problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RAY: That's my point.

2 MEMBER BLEY: This is a key issue for us,
3 but I think we need to go ahead, because we're almost
4 out of time and then we want to hear the rest of what
5 you have to say. So please go ahead.

6 MR. CUSTER: Okay, continuing on with the
7 description of the screen occurrence here, we found
8 wood immediately behind the liner. That analysis
9 confirmed that there was moisture in the wood. The
10 corrosion was attributed to this wood in contact with
11 the liner in the presence of moisture. As we said,
12 our concrete was found to be in good condition and we
13 replaced the sectional liner.

14 Our corrective actions with respect to
15 this event, of course, a follow-up UT of the replaced
16 area during the next Unit 1 outage. We did do
17 baseline of the replaced area. We have planned
18 additional 100 percent IWE visual inspections for the
19 next Unit 1 and 2 refueling outages.

20 We will maintain our schedule for the
21 normally-scheduled exams for the final outage, and we
22 intend to do supplemental volumetric inspections on
23 both liners prior to entering the period of extended
24 operation. That is a random inspection on these areas
25 in accordance with the guidelines from IWE that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provide a methodology similar to give us a high-level
2 confidence on those areas.

3 MEMBER BLEY: Can you explain for us a
4 little bit how you do this volumetric examination?

5 MR. CUSTER: The UT examination?

6 MEMBER BLEY: No, I'm okay.

7 VICE CHAIR ABDEL-KHALIK: What is your
8 tech spec limit on the containment leak rate?

9 MR. CUSTER: Bill, do you have that
10 information?

11 MR. ETZEL: This is Bill Etzel again. As
12 I stated previously, our containment tech spec leakage
13 rate is .1 percent of the total air weight per day.
14 And that equates to about 6,831 standard cubic feet
15 per day.

16 MEMBER SHACK: That is at design pressure.

17 MR. ETZEL: That is at design pressure.

18 MEMBER SHACK: Through SDP.

19 MEMBER ARMIJO: But that is an integrated
20 leak including the liner and the concrete and I don't
21 believe you have a capability of just what's leaking
22 between from past the liner. So I don't know how else
23 you could measure?

24 MR. MANOLERAS: That's correct.

25 MEMBER RAY: You identified a mechanism

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the through-wall corrosion wood debris. Was there
2 ever any mechanism identified for the prior observed
3 corrosion when the steam generator replacement was
4 made?

5 MR. CUSTER: In 1R17 when we did the steam
6 generator replacement, the section of concrete was
7 removed by hydrodemolition, high water pressure. As a
8 result, we searched the concrete debris field, but
9 found nothing as a result.

10 MEMBER RAY: Thank you.

11 MEMBER ARMIJO: Just order of magnitude,
12 what was the extent of and mechanism of corrosion in
13 that large area? Was it pitting or just generalized
14 thinning or what?

15 MR. CUSTER: There was some generalized
16 and some pitting attack as well.

17 MEMBER ARMIJO: Okay.

18 VICE CHAIR ABDEL-KHALIK: I asked earlier
19 about the functional purpose of the liner and you
20 stated that it's a leak-tight membrane. How is that
21 functional requirement -- accomplishment of that
22 functional requirement is attained? Can you measure
23 the leak rate of the liner in and of itself?

24 MR. MANOLERAS: I can answer that
25 question. The liner performance is verified by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 several facets. Every ten years we perform a type
2 alpha test, type A test. We pressurize the
3 containment and measure that leak rate. Then three
4 times over that interval, we basically do an IWE
5 inspection over the 100 percent of the visually
6 accessible areas of containment. Those are the two
7 manners in which the code requires you verify the
8 liner performance.

9 VICE CHAIR ABDEL-KHALIK: So you actually
10 measure the leak rate of the liner in and of itself?

11 MR. MANOLERAS: You cannot.

12 MR. SENA: It is the entire containment
13 structure.

14 MEMBER RAY: The IRLT mostly measures the
15 leakage of penetration.

16 MR. SENA: That's correct.

17 MEMBER RAY: And so that's what you're
18 measuring and the visual inspection is used to assure
19 the continued integrity of the liner. That's the way
20 it works.

21 MR. SENA: That's correct. Well, again
22 for 10 CFR per the code then you also have your type
23 bravo testing of your major access areas or
24 containment airlock for example. And then of course,
25 you have your type C testing of your individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 penetrations.

2 MR. CUSTER: Okay, so continuing forward,
3 I'd like to turn it back over to Mark if there are no
4 further questions.

5 MEMBER ARMIJO: I guess, you know, having
6 looked at your documentation, your whole inspection
7 approach going forward is based on the assumption that
8 the mechanism is caused by this wood, moist wood in
9 contact with the liner causing localized failure over
10 time.

11 And you're going to have some random UT
12 inspection and 100 percent visual to give you some
13 indication of whether there might be the same
14 mechanism operating elsewhere. And really, the only
15 thing that you -- you don't know where the wood, where
16 other pieces of wood might be, so you're going to rely
17 entirely on either by chance that your UT will find a
18 location or the visual will be reliable, that you'll
19 always form a blister that tells you that liner is
20 pretty much --

21 MR. CUSTER: At that point in time
22 something has gone through. Keep in mind that the
23 methodology for choosing the random location is in
24 alignment with the statistical methodology providing
25 95 confidence level similar to what's used in the IWE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 code.

2 MEMBER CORRADINI: Can you repeat that
3 last part? I'm sorry.

4 MR. CUSTER: The methodology that we will
5 be using to choose these random locations is
6 consistent with the methodology to provide 95 percent
7 confidence level to identify these areas similar to
8 that used in the IWE code.

9 MEMBER CORRADINI: Okay, so what if I
10 change 95 to 99, what would the number of samplings be
11 from?

12 (Laughter.)

13 MR. THOMAS: We would need to calculate
14 that, but it would be very substantial.

15 MEMBER SHACK: From 90 to 95 it goes from
16 25 to 75 and so you can sort of take the slope.

17 MEMBER CORRADINI: Let me just ask one
18 more question. So when you do the visuals, you
19 essentially photograph -- I'm still trying to
20 understand how you do the visuals. You photograph
21 certain blocks of containment?

22 MR. CUSTER: What I'd like to do is ask
23 Dave Grabski our IS individual to describe how he does
24 those inspections and respond to the question.

25 MR. GRABSKI: Yes. This is Dave Grabski.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I'm the ISI program owner at Beaver Valley. How we
2 perform those examinations are we use a systematic
3 approach based on the I-beams in our containment. So
4 we'll ask the inspector to measure or examine visually
5 between these two. If he finds anything, of course,
6 that's the way he references it. So it's a visual.
7 He wouldn't necessarily take pictures or a video of
8 it, unless of course, there was an indication and then
9 we would take pictures.

10 MEMBER ARMIJO: Just let me ask, is he
11 going to report a one-inch diameter blister or just a
12 three-inch diameter blister or any blister?

13 MR. GRABSKI: Any anomaly whatsoever,
14 whether it's a blister or whether it's a scratch,
15 scrape.

16 MEMBER CORRADINI: And then you go in and
17 do the additional inspection?

18 MR. GRABSKI: right.

19 MEMBER CORRADINI: On top of your sampling
20 inspection.

21 MR. GRABSKI: Well, if we found any kind
22 of anomaly, we would ask a qualified Code VT examiner
23 to come and take a look at it before we did anything.

24 MR. SENA: If I may, I think it's
25 important just to kind of summarize and put this all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 together. So we've done the Type A test per the code
2 every ten years. The code then requires the visual
3 inspection three times per interval. We believe that
4 visual inspection was effective and that we did
5 identify a deficiency. We correct that particular
6 deficiency. That is corrected.

7 Now what's important then is so what do
8 you do going forward? And we believe that going above
9 and beyond the current code requirements by performing
10 additional visual inspections, by essentially short
11 cycling during the supplemental inspection next outage
12 for both units and then doing the additional
13 volumetric exams with the 95 percent confidence
14 criteria is appropriate for the actions going forward.

15 MEMBER SHACK: Describe for me, this is
16 before the period of extended operation which is how
17 many outages?

18 MR. SENA: Well, the next visual exam will
19 be done next outage for both units.

20 MEMBER SHACK: When do I start the UTs?

21 MR. SENA: The UTs, Mark?

22 MR. MANOLERAS: Yes, and again, the
23 commitment was made for license renewal. That's why
24 it was submitted prior to the period of extended
25 operation. We expect to complete in a very timely

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 manner. I will work with our project manager and our
2 project owner to get those done in a very soon
3 subsequent outage.

4 MEMBER CORRADINI: So the answer to his
5 question is what though?

6 (Laughter.)

7 MR. SENA: We're scoping our current
8 outage right now.

9 MR. MANOLERAS: The availability of
10 resources, making sure that we have the criteria set.
11 Make sure that the random locations are set. So
12 we're in the process of working through that.

13 MEMBER ARMIJO: But when you do the next
14 outage, the next inspection, and let's, for example,
15 you find some blister, inch, two inch, whatever, will
16 you do UT then? Will you do something else? Or just
17 say hey, we found a blister and we'll do UT a few
18 cycles from now?

19 MR. CUSTER: Our methodology is pretty
20 much consistent. As a matter of fact, it's
21 proceduralized. If we find any blister, as David
22 said, the first thing that we do is a VT-2 inspection,
23 determine the extent of what's there. We follow it up
24 with a UT, if we expected that there was any primer
25 coat delamination or anything of that nature, rather

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than a top coat delamination.

2 MEMBER CORRADINI: I'm sure this was said
3 in the subcommittee, but just remind me, what is the
4 level of detection if you do a UT in terms of
5 percentage of through-wall? When do you start seeing
6 something that worries you? What's the indication?
7 Is it 10 percent of through-wall? Is it some
8 fractional amount, half of it in terms of pitting? If
9 you were to have done the UT on what you found --

10 MR. GRABSKI: Yes, this is Dave Grabski
11 again, we would obtain from design engineering a
12 screening criteria for that thickness. If it was
13 above that thickness and acceptable, we certainly
14 would trend it and track it. If it was below, then
15 we'd have to take the necessary corrective actions.
16 But we would go in there with a number from our design
17 engineering based on where the indication is located.

18 MR. CUSTER: I think it's important to
19 point out here that we're talking of pitting/corrosion
20 type of attack where the criteria would be developed
21 based on the diameter of the pit, the depth of the
22 pit.

23 MEMBER CORRADINI: Right.

24 MR. CUSTER: So it's not like it's a
25 uniform corrosion where there would be a number.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: Right.

2 MR. CUSTER: That would be --

3 MEMBER CORRADINI: What I guess I'm asking
4 and I'm sure you answered it, but I just didn't
5 understand the answer, at what level does the signal
6 start worrying you? I think I heard you say well, it
7 kind of depends, but I'm trying to get a feeling for
8 what does that imply in terms of a physical pit size
9 that you start going across a boundary and then start
10 performing some sort of action other than watching it.

11 MR. GRABSKI: The liner plate is fairly
12 consistent. It will have some low points here and
13 there based on what we've seen, but anything less than
14 ten percent would start getting our interest.

15 MEMBER CORRADINI: Okay, thank you.

16 MEMBER SHACK: What is the actual code
17 requirement on this liner since it has no structural
18 function. This is not like a steel containment where
19 I would do an analysis, strength analysis. What do I
20 do and what is the requirement here? Do I just have a
21 remaining ligament?

22 MR. GRABSKI: We did an evaluation three
23 years ago and again I'm talking off the top of my head
24 here. I think the general wall thickness requirement,
25 that's general, was in the 140 range. Anything else,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if you had an indication one inch and small, it could
2 down below 100, maybe to the 40 mil range. Don't hold
3 me to that. Again, I'm just recalling what we had
4 based on the evaluation we had in 2006. It is a
5 membrane if its membrane thickness is localized.

6 MEMBER SHACK: What part of the code do I
7 use to do that analysis? Is it the same analysis that
8 I use for the steel containment?

9 MR. MANOLERAS: Steve.

10 MR. GRABSKI: I will speak from Section
11 11. It's going to give it to the owner to do it, as
12 far as construction code.

13 MEMBER SHACK: The ones you did have you
14 lost about half the wall in the worst case and you had
15 a pit down to .33 depth, which is getting pretty deep.

16 MR. WEAKLAND: This is Dennis Weakland.
17 Generally, the way you would do these types of
18 examinations is very similar to the way you would do
19 any pitting evaluation for buried piping, other piping
20 lines and the rest because pits tend to be very
21 localized. The smaller the pit, the thinner the wall
22 that you can handle because it has supporting
23 structure around it.

24 MEMBER SHACK: In that case, the pipe wall
25 has a structural function. I know how to do that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis.

2 MR. WEAKLAND: We would look at it --

3 MEMBER SHACK: This has some structural
4 function, does it?

5 MR. WEAKLAND: We would look at the design
6 pressure at accident, 45 pounds, and say what do I
7 need, wall thickness, to withstand that based on the
8 size of that opening. So if the pit --

9 MEMBER SHACK: So I'm doing an analysis
10 with a concrete backup?

11 MR. WEAKLAND: No.

12 MEMBER CORRADINI: That's what I think
13 they were saying.

14 MR. WEAKLAND: You assume the concrete
15 doesn't exist. You're essentially allowing it to
16 expand.

17 MEMBER SHACK: And the .375 shell is going
18 to take the design pressure?

19 MR. WEAKLAND: No. You don't assume it
20 for the pressure across that membrane. That's what
21 you're doing. You use the 3/8ths plate. You apply 45
22 pounds across a specific area.

23 MEMBER SHACK: A liner and a concrete
24 shell.

25 MR. WEAKLAND: If you assume a 3/8ths

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thick --

2 MEMBER SHACK: The liner needs nothing.

3 MR. WEAKLAND: And you have a pinhole, if
4 you have 5 mils at the surface and you have something
5 that is a tenth of an inch in diameter, doesn't need
6 to be very thick to handle 45 pounds. If it's a half
7 an inch in diameter, it's got to be thicker. If it's
8 an inch in diameter, it's got to be thicker yet.
9 that's how the analysis is. It's very similar to
10 pitting corrosion on piping.

11 MEMBER SHACK: I think you're relying on
12 the integrated leak rate test to determine the
13 integrity of the liner. Visual examination does not
14 show anything until your through-wall and if it is
15 caused by moisture on the outside, and so in between
16 picking it up as a visual and the periodic integrated
17 leak rate test you're in sort of an area where you
18 don't exactly know what the liner condition is.

19 On the other hand, there's a pretty good
20 assurance that if you pass these tests, if you do the
21 visual exam and detect a small hole, then the
22 presumption is the hole will be small. But that's an
23 assumption.

24 MEMBER BLEY: Gentlemen, are we done?

25 MR. SENA: If I may try to answer your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question again with respect to when are we going to do
2 the UTs? It's important to note that the need to do
3 these additional volumetric exams have been entered
4 into our corrective action program. 10 CFR 50,
5 Appendix Bravo Part TR16, of course, dictates
6 timeliness, right? Prudence on our part also dictates
7 the need not to wait until 2027, not to wait until
8 2016. So that's what we're evaluating right now as
9 far as looking at resources, outage scopes scheduling,
10 as far as when we can place it prior to the period of
11 extended operation so the commitment was simply prior
12 to the period of extended operation, but not to wait
13 until 2016 or 2027. That's what we're looking at
14 right now.

15 MEMBER BLEY: Okay, thank you. Thanks
16 very much. Do you have more to close with?

17 MR. MANOLERAS: Just again we appreciate
18 the opportunity to present the license renewal
19 application to the ACRS today. Thank you.

20 MEMBER BLEY: Thanks very much. Thank you
21 for your presentation. We'll have a little discussion
22 come the end of the next presentation. Thank you.

23 We were a little bit longer than we were
24 scheduled because that's of high interest to us. If
25 we can move through the more routine things quickly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and focus on the key points, we'd appreciate it.

2 MR. HOLIAN: Brian Holian again, Division
3 of License Renewal, once again the staff's
4 presentation will be made by Kent Howard, the project
5 manager, assisted by Ron Bellamy, a branch chief from
6 Region 1.

7 MR. HOWARD: Good morning. My name is
8 Kent Howard and I am the project manager for the
9 Beaver Valley Power Station license renewal
10 application.

11 Today, we will present the results of the
12 staff review of the application as documented in the
13 Safety Evaluation Report.

14 To my right is Dr. Ronald Bellamy. Dr.
15 Bellamy is a branch chief in Region 1. Dr. Bellamy
16 will present a slide detailing the results of the June
17 2009 regional inspection that reviewed inaccessible
18 medium-voltage cables and the containment liner
19 issues.

20 Also with us in the audience are members
21 of the NRC staff and of course, they're here to answer
22 any questions that may arise.

23 Next slide.

24 This slide is an overview of some of the
25 site information containment in the LRA. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 applicant covered this pretty thoroughly in their
2 presentation, so we'll just continue right on past
3 this.

4 Recap of the February 2009 ACRS
5 subcommittee meeting, the SER with open items was
6 issued on January 9, 2009. There was one open item in
7 the SER open item. It was the inaccessible medium-
8 voltage cables. There were no confirmatory items.
9 There were 249 RAIs issue. At the time there were 31
10 commitments for Unit 1 and 32 for Unit 2.

11 The addition of the number of commitments
12 is that Unit 2 uses a wood pole electrical structures
13 inspection program that Unit 2 does not have.

14 Next slide.

15 This slide is a summary of the follow-up
16 items from the February ACRS subcommittee meeting.
17 Those follow-up items are the inaccessible medium-
18 voltage cables, the containment liner issue, the
19 Boral, which was a new program and the metal
20 fatigue/cycle count histograms.

21 For our presentation this morning, staff
22 wanted to focus on those four items.

23 Subsequent to the subcommittee meeting
24 there were six additional RAIS issued. We resolved
25 open item 3.03.1.11-1 related to the inaccessible

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 medium voltage cables. There was an additional
2 committed added for both Unit 1 and Unit 2 which
3 brought the number of commitments to 32 for Unit 1 and
4 33 for Unit 2.

5 The recent containment liner issue was
6 addressed in the final SER which was issued on June 8,
7 2009.

8 Next slide.

9 Now we get into our inaccessible medium-
10 voltage cable issue. During the staff's review there
11 was one open item. The open item dealt with the
12 inaccessible medium-voltage cables. During the aging
13 management programs audit in March 2008, headquarters
14 staff was concerned that inaccessible medium-voltage
15 cables that had been submerged for a period of time
16 may be degraded and may not perform the intended fund
17 during the period of extended operation. The staff
18 requested that the region follow up this item during
19 their audit that was held in June 2008.

20 In this slide, I would like to point out
21 that the SER with open items, inaccessible medium-
22 voltage cable AMP was a plant-specific program. That
23 program was revised to be consistent with GALL XI.E3.

24 The applicant committed to either one of three
25 options. They would either adopt an acceptable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 methodology that demonstrates cable will continue to
2 perform their intended function, or they will
3 implement measures to minimize cable exposure to
4 significant moisture through dewatering manholes,
5 they're going to pump them down, or they're going to
6 replace the in-scope, continuously submerged medium-
7 voltage cables with cables designed for submerged
8 service.

9 MEMBER SHACK: Kent, you mentioned they're
10 going to pump them down. Does that mean periodically
11 inspect and pump them down when they find water, or
12 are they going to install sump pumps? I didn't want
13 to interrupt.

14 MR. HOWARD: No problem. In speaking with
15 the applicant, they are going to install sump pumps
16 with a level switch and right now they're trying to
17 establish --

18 MEMBER SHACK: I just wanted to make sure
19 they were going to have some sort of continuous
20 process. Thank you.

21 MR. HOWARD: Are there any other questions
22 on the inaccessible --

23 MEMBER BROWN: You used the word
24 "designed." We had the nuance between suitable and
25 quality. Does design mean qualified in this case?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HOWARD: No.

2 MEMBER BROWN: Okay, so we're back to
3 suitable again.

4 MEMBER ARMIJO: Well, that is a problem,
5 isn't it? If it isn't qualified for that service by
6 test, why isn't it acceptable?

7 MR. HOLIAN: This is Brian Holian. The
8 answer is on number one that they would have to
9 demonstrate, as we talked to the subcommittee, a cable
10 that is designed, not suitable, is qualified for
11 underwater, if they were to choose that method. If
12 you remember the subcommittee, those members that were
13 here, that was their original thought. They thought
14 they had enough test data to do that. The staff said
15 no, we don't believe you. And that discussion
16 continued since the subcommittee and you heard the
17 applicant say okay, we understand your position and
18 they've left it as an option, should they go ahead and
19 replace that cable and put it in as number one or
20 convince us that they have done testing.

21 MEMBER BROWN: The answer is really design
22 means qualified?

23 MR. HOLIAN: Yes, design means qualified.

24 MEMBER BROWN: All right, that resolves my
25 problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR BONACA: One question I had from
2 previous license renewals and other licensees, the
3 issue for that was that the concern was cycling
4 between the dry condition and the wet condition. That
5 was the most challenging to the cabling. So could you
6 address how the -- the alternative three would be
7 successful.

8 MR. HOWARD: I would like to defer that
9 question to Mr. Duc Nguyen.

10 MR. NGUYEN: My name is Duc Nguyen and I
11 would like to address your question. The issue with
12 the inaccessible medium-voltage cable, but water
13 treatment phenomena. Probably the water would
14 permeate the insulation during the cable energize, so
15 you are right that most of the problem is dry and wet
16 condition, due to the cable energized most of the
17 time. So that's the problem with the issue
18 inaccessible medium-voltage cable.

19 CHAIR BONACA: So I guess the cable is
20 designed for submerged service would also be resistant
21 to continuous alternation of drought and wetness?

22 MR. NGUYEN: Yes, but qualified to be
23 submerged, we call it the submarine cable, they have
24 the last sheet outside the cable would prevent the
25 moisture to permeate the insulation and most of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cable that is installed in nuclear power plants, they
2 are not qualified, but they qualified for the EQ local
3 test, but they're not qualified for continuous
4 submerged. That's why we did not agree with the
5 applicant based on the test data provided to us that
6 the EQ local test data which is not the submerged test
7 data.

8 MEMBER SHACK: As I recall, these people
9 have not just the wetting problem, they have some
10 cables that are genuinely submerged all the time.

11 MR. NGUYEN: All the time, yes. And they
12 are not separate cables.

13 MR. HOLIAN: This is Brian Holian, just to
14 interrupt Duc, I think we have an electrical engineer
15 representative and also Dr. Bellamy. I think the
16 question also might be going to okay, you've had some
17 periods now where they've been submerged. What has
18 that done to the cable itself for continued operation
19 or premature aging. The licensee has entered again --
20 Ron, you might want to mention the recent inspection
21 where the Region went out with the Electrical
22 Engineering Branch from Headquarters to look at the
23 issue and kind of force the point on you have had a
24 history of this, so the Region is looking at following
25 up on their corrective actions for that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ron?

2 MR. BELLAMY: I can do that now, if you'd
3 like. One of the Regions' Specialist Inspections was
4 just done in June of this year. We had an electrical
5 expert as well as a Region 1 manager accompanied by
6 NRR technical support. This was done in light of an
7 inspection sample with respect to problem
8 identification and resolution and the team, these
9 three individuals did look at the condition of the
10 vaults. They did observe that although there was some
11 moisture in one vault and measurable water in one of
12 the other vaults, the vaults are periodically pumped
13 down when water is observed in the vaults.

14 The licensee has committed, FENOC has
15 committed to a long-term program of considering
16 exactly how to ensure that the vaults stay drier, not
17 dry, but drier, so there is not standing water in the
18 vaults for extended periods of times. One of the
19 options that they're looking at is to put a water
20 sensor and then an automatic sump pump type system in
21 probably two of the vaults. That schedule has not
22 been set yet. Dave Werkheiser, the Senior Resident,
23 and I will ensure that we continue our inspections in
24 that area and we will document any results that come
25 from those inspections in future inspection reports.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now with respect to the medium-voltage
2 submerged cables issue, we have not completed our
3 evaluation of exactly how a licensee has done with
4 respect to that yet. We have not done an exit
5 interview with them. That exit will be held on July
6 22nd. Mr. Werkeiser and I will conduct that exit and
7 we are looking at one potential finding with respect
8 to design control. So we will monitor the licensees'
9 corrective actions as they go forward from this point.

10 VICE CHAIR ABDEL-KHALIK: Now the licensee
11 stated that they had never observed the water in those
12 manholes freezing. Is there any physical reason to
13 expect that in that part of the country that water
14 that' stagnant in manholes would never freeze?

15 MR. BELLAMY: This is northern Pittsburgh
16 area. I'm not aware of any. I've been at the Beaver
17 Valley plant for five years now and I'm not aware of
18 any instances where there's been water reported and
19 freezing in these walls or any other type of contained
20 water activity on this site. Obviously, the river
21 there does freeze in chunks at times. But we have
22 never seen any in our inspection activities of any
23 water freezing there.

24 MEMBER BROWN: How deep are the manholes?

25 MEMBER SHACK: It depends on the depth

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 underground.

2 MEMBER BROWN: I was going to say the same
3 thing, depending on the depth of the manholes, you go
4 pretty far down. You can get a pretty stable
5 temperature profile, 45 to 50 degrees --

6 MEMBER SHACK: And the depth in that area
7 is roughly a foot and a half to two feet, at least
8 these cables are like ten feet down.

9 MEMBER STETKAR: Ron, just to remind us,
10 this topic actually is current licensing issue.

11 MR. BELLAMY: Yes, it is. It's not
12 necessarily unique to license renewal. That's
13 correct.

14 MEMBER STETKAR: And Dave, the vaults are
15 generally --

16 MR. WERKHEISER: Yes. Dave Werkheiser.
17 I'm the Senior Resident at Beaver Valley Power
18 Station. I actually crawl down into these vaults in
19 question, so I am qualified to go down there and these
20 are approximately 17 to 20 some feet in depth, so
21 after at about 5 feet they tend to be isothermal. We
22 have not seen issues with them freezing or any issues
23 that manifest themselves at a plant.

24 MEMBER SHACK: Are they covered?

25 MR. WERKHEISER: Yes, they are covered.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HOWARD: We actually jumped ahead a
2 little bit. We'll go back to slide 9.

3 First off, are there any more questions on
4 the inaccessible medium-voltage cable issue?

5 The Boral Surveillance Program for Unit 1
6 was a new aging management program that was submitted
7 to the staff after the SER with open item was issued
8 in January. The program was evaluated by the staff and
9 it was determined that aging would be adequately
10 managed by 10 CFR 54.21(a)(3).

11 I'd like to point out that this program is
12 only applicable to Unit 1, because Unit 2 uses
13 Boroflex and Boroflex is a neutron-absorber.

14 The containment liner issue. On April 23,
15 2009, during a scheduled Unit 1 IWE inspection, a
16 paint blister was discovered on the containment liner,
17 revealing through-wall corrosion. The staff issued
18 RAI B.2.3-4 on May 7, 2009 requesting the applicant
19 explain how the recent plant-specific operating
20 experience would be incorporated into the IWE AMP.

21 Next slide.

22 The actions taken to address this issue
23 for both Units 2 and Unit 1 on the next outage,
24 they'll do 100 percent visual exam of the liner plate.
25 They're also going to UT to repair area on Unit 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 during the next outage. For each subsequent outage on
2 Units 2 and Unit 1, they're going to resume their
3 regularly scheduled IWE visual examinations of the
4 liner plate. And the last two items are the
5 commitments, 32 and 33, where they are committed to do
6 volumetric exams of 75, one foot by one foot areas of
7 the liner plate to ensure 95 percent confidence level.

8 Those are commitments.

9 MEMBER POWERS: Ninety-five confidence on
10 what?

11 MR. HOWARD: That was from the acceptance
12 criteria in the IWE regulations.

13 MR. ASHAR: I am Hansraj Ashar from
14 Division of License Renewal. I will try to address
15 what the questions you might have about the level of
16 confidence. You spoke to the acceptance criteria when
17 they do the UT, it would be according to the IWE
18 requirement which allows ten percent of liner
19 degradation without any action to be taken. If it's
20 more than ten percent, they are to perform repair
21 installation and show that the liner integrity is
22 maintained.

23 VICE CHAIR ABDEL-KHALIK: But the question
24 is 95 percent confidence level. What does that mean?

25 MR. ASHAR: It means that your chances of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not detecting something in the degradation area would
2 be 5 out of 100. That is what it means.

3 VICE CHAIR ABDEL-KHALIK: What could
4 replace the chance that you're more than 10 percent,
5 your 95 percent sure you would have found that.

6 MR. ASHAR: Let me explain a little more.
7 What they are doing is they are going to perform UTs.
8 UTs cannot accept this kind of a through-wall. Where
9 are they going to do it? They are going to do the
10 areas which are suspect areas, okay, that means where
11 they find some kind of flaking of a coating or where
12 they find some bulging of the liner plate and so many
13 areas out that they are going to go through around the
14 entire containment and make sure that they cover all
15 the areas which are it may requires more than 75. If
16 they find so many places where they're to do UT. But
17 they are right now committing to 75 samples.

18 Now if they find more of them, they ought
19 to expand their base. That is part of the
20 requirement, this particular requirement, they
21 increase their sample size.

22 MEMBER POWERS: As I understand, there
23 will be -- and I don't understand it very well, you're
24 going to do the 75 one foot by one foot areas and
25 you're going to be 95 percent confident that there is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 no corrosion deeper than 10 percent in those 75 square
2 feet of area.

3 MEMBER SHACK: If they find no corrosion
4 and no 75 areas, then they're confident.

5 MEMBER POWERS: That is a kriging
6 analysis.

7 MEMBER SHACK: Okay.

8 MEMBER POWERS: How did you do the kriging
9 analysis?

10 MS. BRADY: This is Bennett Brady,
11 Division of License Renewal. My understanding of it
12 is if they do the sample and they get an estimate of
13 how many flaws it is, they will be 95 percent certain
14 that it is 95 percent free of flaws. That's my
15 interpretation of it.

16 MEMBER POWERS: There will be 95 percent
17 confidence that there are no flaws deeper than 10
18 percent or the entire surface area.

19 MS. BRADY: Not free.

20 MEMBER POWERS: How did you do the kriging
21 analysis?

22 MEMBER ARMIJO: Some of us don't know what
23 that analysis is.

24 MEMBER POWERS: Well, you've got a big
25 area, you sample pieces of that area and that tells

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you something about the whole area. Okay?

2 MEMBER ARMIJO: But does anybody do that?

3 MEMBER POWERS: They did it. They took it
4 out of FDTR 7514, Chapter 4.

5 MEMBER BLEY: The letter we mentioned we
6 received that a declaration attached to it, but as I
7 recall argue that these should be wholly random
8 samples rather than looking at the vulnerable areas.
9 What's the staff's -- have you thought that through.
10 Do you have a position on that?

11 MR. ASHAR: Yes sir. Let me give a little
12 historical background on this table, the degradation
13 of the containment liner. Before this Boral instance
14 we had four containments which had been subjected to
15 this type of degradation. One was -- I start with
16 North Anna, Summer, then Brunswick and D.C. Cook. In
17 case of North Anna, it was the same reason: two by
18 four liner between the liner and the concrete and
19 acidity prevailed and it started corroding from inside
20 and with the time, that was a long time, about 15 to
21 20 years after the log was put in probably,
22 accidentally or inadvertently. It appeared to be
23 start corroding in and in and in.

24 Now the evidence didn't show before that
25 because they do regular examinations. If it was just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shown when they showed the rust, removal of the rust
2 coming off much larger than what can contain and then
3 it starts showing the coating degradation. So in case
4 of North Anna, it was two by four log. It case of
5 Surrey, it was same two by four log, but it was in the
6 dome area. The dome, top of the dome, the concrete
7 area is the pressure-retaining boundary. So there was
8 no problem so they corrected everything and they saw
9 the dome generally is good enough.

10 In case of Brunswick, they found two
11 through holes during a routine examination. The rust
12 coming out. And then when they did the UT and they
13 scour out the area just like what we already did, they
14 found out that they're in one particular hole it was,
15 I believe, a worker's glove stuck between the liner
16 and the concrete and was creating acidity and that
17 made it -- what they did after that, after that they
18 went through a number of areas just like some degraded
19 areas which will tell you hey, these are the areas of
20 suspect that it might have something going on there,
21 either due to bulging or buckling or liner code
22 integration. Where will they see the venting problem
23 UT? But to make sure that it is not same type of
24 instance is not going on anywhere. And they continued
25 to do that during the subsequent inspections. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 did not do any kind of sampling or anything. They
2 said wherever we see this, we are going to do this UT.

3 MEMBER BLEY: Thank you.

4 MR. HOLIAN: This is Brian Holian. Just
5 to summarize, Hans just gave you some background and
6 operating experience that he's looked at as part of
7 the staff's review for this. One, it not being a new
8 issue. We have see instances where foreign material
9 inside the concrete have caused similar type
10 degradation in the liner. So that was why he was
11 bringing that up.

12 The staff still owes you a response in the
13 95 percent probability. As I mentioned in the
14 introduction we have that in the letter that just came
15 in yesterday from Citizen Power on Beaver Valley and
16 we will clarify that sampling in the 95 percent
17 confidence.

18 MEMBER BLEY: Thank you.

19 VICE CHAIR ABDEL-KHALIK: I'm still trying
20 to understand in words what that means. Let me try
21 something. If I do these 75 -- if I test these 75 one
22 foot by one foot location and find that none of them
23 has more than 10 percent loss, then I'm 95 percent
24 confident that the entire area will not have more than
25 10 percent loss.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now if that is the case what if we find
2 that some of these 75 samples have more than 10
3 percent loss? What would be the meaning of this
4 testing process?

5 MR. HOLIAN: If there's more, we would
6 expect that they would expand their sample size,
7 expand the sample size and follow the guidance in that
8 EPRI document. And we'll summarize that for the staff
9 in our response to that letter.

10 MEMBER BLEY: And that is part of that
11 commitment.

12 VICE CHAIR ABDEL-KHALIK: Thank you.

13 MEMBER ARMIJO: I have just one question
14 that I meant to ask the applicant. Is it the staff's
15 opinion and the applicant's opinion that the water
16 that was ultimately causing this problem is a
17 continuing leakage somewhere between the liner and the
18 concrete or just an early live leakage retained in the
19 wood and somehow over time maintain the right moisture
20 corrosion conditions to cause this localized failure?
21 What is the staff's position? Do you believe there's
22 active leakage or not?

23 MR. BELLAMY: Based on recent inspections
24 that regional specialists have done, the staff has
25 concluded and this conclusion is in writing in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inspection report that was just issued this week, is
2 that that water is localized and it is from the wood
3 that was embedded between the liner and the --

4 MEMBER ARMIJO: Somewhere early in life or
5 during construction this wood was soaked with water
6 and retained it and kept that --

7 MEMBER BROWN: It was in the concrete.

8 MEMBER ARMIJO: That was the source of the
9 water. It's not active leakage from some other
10 location.

11 MR. BELLAMY: That's correct.

12 MEMBER ARMIJO: Okay.

13 MR. HOLIAN: This is Brian Holian again
14 and that's probably what the operating experience at
15 home has brought up. There's been other cases where a
16 piece of wood, two by four, whatever, has gotten into
17 a construction phase and has exhibited itself years
18 later in this type of behavior in the liner. I will
19 bring up though that the July 7th letter that we just
20 received yesterday from Citizen Power does question
21 that root cause and they question whether
22 subatmospheric containments in general and Beaver
23 Valley being one of those does -- questions, whether
24 there's a mechanism that also will draw water into
25 that liner concrete aspect in some methods. So the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 staff will address that, as I mention, when we address
2 that letter.

3 MEMBER RAY: You've got to assume that
4 concrete has cracks in it. In that regard, the
5 inspection report you just spoke of references the
6 analysis that the applicant talked about in terms of
7 leak rate and then he has the following statement.
8 "Accordingly, the licensee determined that the
9 estimated containment leakage rate was within the
10 maximum allowable leakage rate specified in the
11 technical specification."

12 That clearly is taking credit for the
13 leak- prevention function being performed in the --
14 what's referred to here as the other nuclear facility
15 by the concrete. And yet, everybody stipulates that
16 well, no, we're not supposed to do that. I don't
17 understand how you reach this conclusion about the
18 containment leak rate wasn't exceeded by a hole in the
19 liner that is as big as this one was. If the basis
20 for that conclusion is simply to say well, somebody
21 else tested something similarly, we scaled it up, and
22 it was within the allowable leak rate because, as I
23 say, that's taking credit for the concrete in terms of
24 what leakage is measured.

25 Can somebody, Brian or somebody, speak to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that? Is that the position?

2 MR. ASHAR: This is Hans Ashar, Division
3 of License Renewal. Let me explain the pumping
4 pressure during the ILRT, integrated leak-rate testing
5 is close to about 45 peak calculated pressure. Peak
6 calculated pressure is much lower than the containment
7 design pressure. At that time structurally the
8 concrete, as well as the liner stays together and they
9 are mostly in the elastic range. There is not much
10 cracking in concrete, so what is happening that when
11 you pump up to 45 psi or 39 psi, what is the peak
12 calculated pressure for that particular plant, what
13 happens is that concrete helps in retaining leakage at
14 that time because the concrete is in good shape
15 outside the liner.

16 Although the liner is giving away, the
17 concrete is still resisting it. That's why at least
18 in three cases I remember they performed ILRT just two
19 years before they found this particular area.
20 Instead, it met the requirement of the specifications.

21 MEMBER RAY: You just said a statement
22 which is that the specifications can be met taking
23 credit for both the liner and the concrete.

24 MR. ASHAR: And the concrete.

25 MEMBER RAY: Okay, if that's your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 position, I think we want to think about that. I'm
2 very surprised, to put it mildly.

3 MR. ASHAR: I'm not saying because of any
4 theoretical reason, this is what we have found. In
5 case of the railing. They have done the ILRT just in
6 2006.

7 MEMBER RAY: I know, but you're mixing up
8 what is measured in an IRLT with what the function of
9 the structures is and design basis. And I just think
10 you want to think about that some more.

11 MR. HOLIAN: I think we understand the
12 question. The applicant also tried to respond, I
13 think, with the aspect of they respond on the visual
14 examination of the liner during the ten-year period to
15 also verify. So I think what you have the staff and
16 the applicant stating is we do use this gross measure
17 as a confidence piece, but that it's the IWE visual
18 examination that they credit. Now they're going to
19 supplement it with UT.

20 MEMBER BROWN: Well, that's fine, Brian.
21 I'm just saying that the conclusion as stated in the
22 inspection report here, I don't think it's correct,
23 because I would have said that the hole as Dana I
24 think was trying to say was a big hole and it would
25 have exceeded the tech spec limit, but for the fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that you're taking credit in this analysis here I just
2 referred to the concrete structure. If that's what
3 you want to do I just think you need to think about
4 that very carefully because I don't believe it's --

5 MEMBER MAYNARD: I don't agree, Harold. I
6 think we've got to be careful that we don't penalize
7 conservatism and design and design assumptions and
8 stuff. The real intent of the containment system is
9 to retain the fission product. I believe that to try
10 to translate a small hole in the liner as saying okay,
11 that's going to go directly out to the atmosphere and
12 you have to be able to meet your overall design, Part
13 100 requirements and stuff without taking credit for
14 your entire containment system, I think we're
15 penalizing some of the conservative -- we do this in a
16 lot of cases where we say all right, it's really the
17 entire system that we're counting on, but we're going
18 to go ahead and assume that all the rest of this is
19 not there, but in reality it is there. I think we
20 have to be a little careful.

21 MEMBER BLEY: I think we've got it on the
22 record here. The rebar is still there, Harold, and
23 the concrete is still here.

24 MEMBER BROWN: The IRLT does not subject
25 the containment concrete to the stresses that it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 designed to withstand. In other words what I'm saying
2 to you is that the IRLT tests the membrane integrity,
3 that's fine. But the leak rate has got to assume a
4 design basis event which doesn't occur during an ILRT.

5 And therefore, when you find a hole in the
6 containment liner, you have to ask yourself do I want
7 to take credit for the concrete during a design-basis
8 event or containment integrity? Yes or no. That's
9 all I'm saying.

10 MEMBER BLEY: The strength of the
11 containment comes from the rebar, not the concrete.
12 We need to go forward because even given our late
13 start time, we're approaching the end.

14 MEMBER SHACK: The screaming among the
15 members which we can resolve later.

16 VICE CHAIR ABDEL-KHALIK: Just a point of
17 information. Of the four plants that you mentioned as
18 having containment liner issues, is any of them a sub-
19 atmospheric container?

20 MR. ASHAR: No.

21 VICE CHAIR ABDEL-KHALIK: None.

22 MR. ASHAR: Brunswick was BWR.

23 VICE CHAIR ABDEL-KHALIK: Thank you.

24 MR. HOLIAN: North Anna and Surrey are
25 sub-atmospheric, but I don't know if he had operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experience.

2 MR. ASHAR: Surrey did not have a liner
3 problem.

4 MR. HOWARD: We're going back to Dr.
5 Bellamy right now.

6 MEMBER BLEY: And then we need to do that
7 kind of quickly.

8 MR. BELLAMY: The only other comment I
9 would make is that in addition to the medium voltage
10 cables, we did have a specialist on site that took a
11 look at the containment liner issue. Mr. Werkheiser
12 and I made a number of containment entries. We
13 observed the liner penetration. We observed the piece
14 of wood, the repair activities were physically
15 observed by the region. That's all documented in the
16 inspection report that has been issued. And the
17 bottom line conclusion in the inspection report is
18 that there were no findings identified by the NRC with
19 respect to the licensee's identification, evaluation
20 or correction and implementation of a repair program
21 for the containment liner presentation. That's all I
22 have.

23 MEMBER BLEY: thank you very much.
24 Anything else from my colleagues?

25 Well, I'd like to thank the staff and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 First Energy for very good presentations and a good
2 discussion.

3 Mr. Chairman, we're almost on time, given
4 our late start.

5 (Laughter.)

6 CHAIR BONACA: Any other questions from
7 members on this topic? If there are no questions, we
8 will take a break for 15 minutes and restart again at
9 10:30.

10 (Off the record.)

11 CHAIR BONACA: Let's get back into the
12 meeting and the next item on the agenda is the Draft
13 Final Regulatory Guide 1.215, Guidance for ITAAC
14 Closure under 10 CFR Part 52.

15 VICE CHAIR ABDEL-KHALIK: No. We're on
16 1.100 right now.

17 CHAIR BONACA: This is the modified.

18 (Off the record comments.)

19 CHAIR BONACA: We have been changing it
20 around. Okay. So that's Draft Final Revision 3 to
21 Regulatory Guide 1.100, Seismic Qualification and Mr.
22 Stetkar will take us through it.

23 MEMBER STETKAR: Thank you, Mr. Chairman.

24 The purpose of today's presentation is to
25 brief the Committee on the Draft Final Regulatory

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Guide 1.100, Revision 3, entitled "Seismic
2 Qualification of Electrical and Active Mechanical
3 Equipment and Functional Qualification of Active
4 Mechanical Equipment for Nuclear Power Plants."
5 Proposed Revision 3 of this regulatory guide was
6 issued for public comment as Draft Guide 1.175 in May
7 of 2008. The comment period closed in July of 2008.

8 Today we'll hear presentation from the
9 Staff regarding fundamental elements of the regulatory
10 guide and I assume a summary of the public comments
11 and the resolution of the public comments.

12 Mr. John Burke will be presenting the
13 material from the Staff and assisting us today the
14 Committee is Mr. P.T. Kuo who's one of our consultants
15 and has been very active in the area of seismic
16 qualification material.

17 I am not aware of any requests at this
18 time for comments by members of the public or other
19 stakeholders. I understand that we do have people on
20 an open bridge line. That bridge line has been put in
21 the listen only mode so you're capable of hearing what
22 we say, but we're no anticipating comments by anyone
23 at this time.

24 With that, I would like to turn it over to
25 Mr. Stu Richards of the Staff who I understand would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like to make some comments.

2 MR. RICHARDS: I think you did an
3 excellent --

4 MEMBER APOSTOLAKIS: Mr. Kuo has changed.

5 MEMBER SIEBER: Yes. Can't you tell?

6 MEMBER APOSTOLAKIS: When?

7 MR. KUO: Excuse me. I retired last March
8 and then I think ACRS strong searched my consultant.

9 MEMBER APOSTOLAKIS: You had a wonderful
10 experiences sitting over there.

11 (Laughter.)

12 MR. KUO: Thank you.

13 MEMBER STETKAR: And with that, Mr.
14 Richards.

15 MR. RICHARDS: I don't think I can add
16 much to your introductions, but thank you very much.
17 We're glad to be here and John Burke's going to lead
18 our discussion. He's supported by Goutam Bagchi and
19 Ching Ng from NRO and because this is a multi-
20 discipline reg guide there's a variety of staff in the
21 audience that are all here to support the discussion.
22 Unless there's any questions.

23 MEMBER STETKAR: I did want to ask a
24 question that wasn't quite clear to me. Are you
25 requesting a letter from the Committee regarding the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reg guide? When we originally set up this meeting, it
2 was primarily an information only question and answer
3 type topic. Are you asking for a letter from us?

4 MR. RICHARDS: Yes, we are.

5 MEMBER STETKAR: Okay. Thank you.

6 MR. RICHARDS: All right. John.

7 MR. BURKE: All right. Good morning. I'm
8 John Burke from the Office of Research and what we're
9 going to talk about today is the Reg. Guide 1.100
10 Revision 3 and we'll go over the background, some of
11 the significant changes from Revision 2 and then some
12 of the public comments and how we've resolved those
13 public comments.

14 In all electrical and active mechanical
15 equipment important to safety it must be seismically
16 qualified in accordance with 10 CFR 50 Appendix A, GDC
17 2 and 10 CFR 50 Appendix B, Criterion III. Two
18 standards have been provided or prepared by industry
19 to provide methods on meeting the seismic
20 qualification requirement and that's IEEE 344. 2004
21 is the latest version of that and it's the recommended
22 practice for seismic qualification of Class 1E
23 electrical equipment and then there's an ASME standard
24 QME-1-2007 for mechanical equipment.

25 MEMBER APOSTOLAKIS: To what extent do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 these overlap?

2 MR. BURKE: The ASME standard for
3 mechanical equipment refers back to the IEEE standard
4 some for seismic qualification. But the ASME standard
5 also addresses functional qualification in addition to
6 seismic.

7 MEMBER APOSTOLAKIS: Can you explain the
8 difference?

9 MR. BURKE: The functional qualification
10 is more in valves where it's demonstrating that the
11 valve will stroke or remain functional.

12 MEMBER APOSTOLAKIS: Under a seismic
13 event.

14 MR. BURKE: During and after a seismic
15 event.

16 MEMBER SIEBER: With and without.

17 MEMBER APOSTOLAKIS: Whereas IEEE does
18 what?

19 MR. BURKE: IEEE does the same for
20 electrical and I&C equipment.

21 MEMBER BROWN: I was going to say it has
22 functional in it.

23 MEMBER APOSTOLAKIS: Yes.

24 MEMBER BROWN: I got the impression from
25 your statement that the IEEE had no function. It was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just whether it broke or not, fell apart. And I was
2 waiting for --

3 (Simultaneous conversations.)

4 It's just that the functional part -- My
5 understanding was that initially you're incorporating
6 -- I've forgotten how when I read the stuff. There
7 were separate documents.

8 MR. BURKE: Yes.

9 MEMBER BROWN: And now you're just kind of
10 moving things together with reg guide saying, "Hey,
11 here's this one and this one that are going to deal
12 with both the functional as well as the mechanical and
13 both electrical and then valves and other mechanical
14 stuff." Is that --

15 MEMBER APOSTOLAKIS: Class 1 includes
16 mechanical.

17 MR. BURKE: That was electrical.

18 MR. MANOLY: This is Kamal Manoly from
19 NRR. The previous revision to the reg guide had only
20 endorsed IEEE 344. This is the first time we're
21 endorsing one for electrical and another one for
22 mechanical.

23 MEMBER APOSTOLAKIS: Does the IEEE
24 standard include mechanical equipment?

25 MEMBER SIEBER: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: It does not.

2 MEMBER SIEBER: No.

3 MEMBER APOSTOLAKIS: Okay. So then we're

4 --

5 MR. MANOLY: That is the major change.

6 MR. BURKE: And we're going to get into
7 that more.

8 MEMBER APOSTOLAKIS: Sometimes the answers
9 are very simple.

10 MR. BURKE: Yes.

11 (Laughter.)

12 MEMBER APOSTOLAKIS: Even when I ask the
13 question.

14 MR. BURKE: All right. A little history.
15 The last revision of this reg guide was in June 1988
16 and that Revision 2 described methods acceptable for
17 the seismic qualification of electrical and mechanical
18 equipment and endorsed IEEE 344-1987 which was at that
19 time the latest addition of IEEE 344.

20 There was a separate reg guide, Reg Guide
21 1.148, for functional specifications for active valve
22 assemblies and that is Rev 0 March 1981 and it was
23 methods the Staff considered acceptable for functional
24 qualification of active mechanical equipment. That
25 reg guide endorsed ANSI Standard N278.1-1975. Well,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that ANSI standard has since been replaced by the ASME
2 QME standard that we're now reviewing and endorsing.

3 In 2007 we began the process of revising
4 this reg guide and the draft, Draft 1175, endorses
5 IEEE 344-2004 and the ASME QME standard and like I
6 said previously this is the first time we're endorsing
7 the ASME QME standard.

8 Pardon?

9 MEMBER APOSTOLAKIS: Do you find the IEEE
10 standard useful?

11 MR. BURKE: Yes. It's --

12 MEMBER APOSTOLAKIS: You kind of
13 hesitated. Is it high level? How many other IEEE
14 standards does it cite?

15 MR. BURKE: Not many.

16 MEMBER APOSTOLAKIS: Well, that's
17 surprising.

18 MR. BURKE: This is the only IEEE standard
19 specifically for seismic qualification of equipment.

20 MEMBER APOSTOLAKIS: And is it specific
21 enough you think? I mean it's an unusual standard.

22 MR. BURKE: It's specific.

23 MEMBER APOSTOLAKIS: Okay.

24 MR. BURKE: And very detailed in some
25 areas.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BAGCHI: It has a long history. It is
2 very useful. It has criteria for the excitation time
3 history how they need to be developed and all of those
4 things are incorporated.

5 MEMBER APOSTOLAKIS: In my experience with
6 I&C --

7 MEMBER POWERS: It's not good.

8 MEMBER APOSTOLAKIS: -- have not been very
9 good. Your silence is telling.

10 MEMBER BROWN: They are very high level.

11 MEMBER APOSTOLAKIS: And they are secular.

12 MEMBER BROWN: Yes.

13 MEMBER APOSTOLAKIS: Please.

14 MR. BURKE: All right. So some of the
15 differences --

16 (Off the record comments.)

17 Some of the major differences between
18 Revision 2 and Revision 3 of this reg guide is that
19 Revision 3 encompasses both seismic qualification of
20 electrical and active mechanical equipment and
21 functional qualification of mechanical equipment and
22 this revision expands the guidance on using earthquake
23 experience-based methods for seismic qualification. A
24 guidance was added for qualification and high
25 frequency sensitive equipment and this reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incorporates input from NRR, NRO and NMSS.

2 MEMBER SHACK: Just curious. Why did you
3 include the long history on pages seven and eight in
4 the reg guide? That really has nothing to do with the
5 guidance to the user.

6 MR. BURKE: I believe that's the history
7 on mechanical and --

8 MEMBER APOSTOLAKIS: For completeness
9 maybe.

10 MR. BURKE: I think just one reason was I
11 mentioned earlier Reg Guide 1.148 is the existing reg
12 guide for mechanical and we're incorporating it into
13 this one and we just wanted to explain that process.
14 I would envision the next revision of this reg guide
15 would probably cut a lot of that out.

16 MEMBER APOSTOLAKIS: Did it bother you,
17 Bill?

18 MEMBER SHACK: It just seemed a little
19 strange in a reg guide which is normally telling me do
20 this, do that sort of thing to then sort of come into
21 a kind of dispersive discussion of the history of MOV
22 testing and some certain amount of chest-thumping in
23 here.

24 MEMBER SIEBER: It will come out as a
25 novel.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But that's okay. Just
2 curious.

3 MEMBER APOSTOLAKIS: Okay.

4 MEMBER BROWN: I actually found it useful
5 because it wasn't -- I was a little bit surprised that
6 the last time anybody had done anything with
7 mechanical stuff was 27 years ago and whereas even in
8 the IEEE standard had been updated five years ago
9 which was also a long time based on what's been
10 learned over the years.

11 MR. BURKE: And this is just all in one
12 slide how we got to or what we're doing with this
13 revision. We have the 1988 version of 1.100, the 1981
14 revision of 1.148 and what those different reg guides
15 addressed and now we're combining them both into
16 Revision 3.

17 All right.

18 MEMBER APOSTOLAKIS: I still find it
19 confusing when you have two boxes that say seismic
20 qualification and functional qualification. They're
21 both seismic.

22 MEMBER STETKAR: No. Functional
23 qualification is not seismic qualification.

24 MEMBER APOSTOLAKIS: That's what the
25 gentleman said. Before and during and after the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 seismic event.

2 MEMBER STETKAR: And during any other
3 conditions in the plant. This is functional
4 qualification of a piece. It applies to valves. It
5 also applies to pumps and non-metallic parts as
6 mechanical.

7 MEMBER APOSTOLAKIS: Dependent of the
8 earthquake or including the earthquake and other
9 things.

10 MEMBER SIEBER: Yes.

11 MEMBER STETKAR: It is not related to
12 earthquake qualification.

13 MEMBER SIEBER: Right. It's before the
14 earthquake.

15 MEMBER STETKAR: It's functional
16 qualification. There's a stroke time from motor-
17 operated valve, for example, to isolate some system.
18 That stroke time must be maintained under any plant
19 operating conditions.

20 MEMBER APOSTOLAKIS: So the box that says
21 "seismic qualification" includes functional
22 qualification during earthquakes. That's what it
23 means not the other way around.

24 MEMBER STETKAR: The other way around.

25 MEMBER SIEBER: The other way around.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER APOSTOLAKIS: The other way around.
2 What does the box "seismic qualification" include?
3 Let's start with a simple sentence. What is it?
4 There is an earthquake and I want to make sure of
5 what?

6 MR. BURKE: The equipment continues to
7 perform its safety function during and after the
8 earthquake.

9 MEMBER APOSTOLAKIS: And that's not called
10 seismic functional qualification. Could it be called
11 that?

12 MR. BURKE: Yes

13 MEMBER SIEBER: It could.

14 MEMBER APOSTOLAKIS: It could. And on the
15 right then is not known seismic functional
16 qualification.

17 MR. BURKE: That's right.

18 MEMBER APOSTOLAKIS: Now it's clear.
19 Based on the previous answer, it was not clear.

20 MR. BURKE: All right.

21 MEMBER APOSTOLAKIS: Good.

22 (Off the record comments.)

23 MEMBER STETKAR: Do you know by the way
24 why did ASME bundle together the seismic and the
25 functional qualification in a single standard?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BURKE: I don't know.

2 MEMBER STETKAR: Okay. Continue. Ignore
3 the side call conversations.

4 MR. BURKE: Okay. Again with the major
5 changes in this revision, combining the IEEE standard
6 and the ASME standard into one regulation or one reg
7 guide, all of the guidance for seismic or regulatory
8 guidance for seismic qualification is in one document
9 now instead of two separate documents. And the
10 regulatory efficiency would be improved and the
11 consistency would be improved by having everything in
12 one document. And as we get further into this
13 presentation you'll see there were several comments
14 from the public relate to this.

15 So this revision, like I said, endorses
16 ASME QME 1-2007 which has a lot of lessons learned for
17 operating experience of active mechanical equipment.
18 The existing Reg Guide 1.148 will be withdrawn when
19 this revision is approved.

20 One of the biggest changes in this reg
21 guide is related to use of earthquake experience-based
22 methods. In the last revision in 1988, there was one
23 sentence in that reg guide that addressed of use of
24 earthquake experience data and it basically said if
25 you're going to use earthquake experience data you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to submit it for the staff review and approval.

2 That's been expanded greatly in this
3 revision. And both the IEEE standard and the ASME
4 standard have extensive discussions in their standard
5 about use of experience database and the reg guide has
6 greatly expanded the regulatory positions related to
7 that. So the Staff finds that experience-based
8 methods would be acceptable if you can demonstrate
9 similarity with a seismic excitation and a physical
10 and dynamic characteristics between the item you're
11 attempting to qualify and the items in the database.

12 MEMBER APOSTOLAKIS: Now I would like to
13 understand that a little better. What does that mean?

14 Can you give me an example? A simple example?

15 MR. BURKE: I'll try. A seismic
16 experience database has two pieces to it, but the one
17 that's probably the easiest to explain is going back
18 to USI A-46 and SQUG if you're familiar with that
19 terminology back 20, 25, years ago.

20 MEMBER BROWN: What's a SQUG again?

21 MR. BURKE: SQUG is Seismic Qualification
22 Utility Group and this was the older --

23 MEMBER BROWN: SQUE or SQUG?

24 MR. BURKE: SQUG.

25 MEMBER SIEBER: SQUG.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BURKE: This goes back to the older
2 plants. The original IEEE 344 standard was 1971.
3 There are quite a few of the existing plants where
4 their licensing basis predates that IEEE standard. So
5 the seismic qualification of equipment was handled a
6 lot different back then.

7 So USI-A46 addressed that issue how do we
8 qualify equipment that is older than the IEEE
9 standards. One method used was the use of earthquake
10 experience data. In that you have, say, oil
11 refineries, fossil plants, industrial facilities that
12 have experienced real earthquakes and industry went to
13 those facilities to see what survived and what did not
14 survive that actual earthquake and then characterized
15 it to what was the strength of that earthquake, what
16 was the ground motion as best as could be determined,
17 what were the characteristics of that equipment
18 whether it was a circuit breaker or a relay or a valve
19 or a pump that made it fail or led it to survive and
20 continue to function and that database is the
21 earthquake experience database. And that process was
22 used to justify the plants that were under the
23 umbrella of USI-A46.

24 MEMBER STETKAR: John, didn't that --
25 doesn't that earthquake experience database also

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 include some results from testing?

2 MR. BURKE: Yes, it does.

3 MEMBER STETKAR: And arguments that
4 similar groups of equipment you can demonstrate
5 similarity to a certain type of equipment that was
6 undergoing a test, a relay or a switch or something
7 like that.

8 MR. BURKE: Right.

9 MEMBER APOSTOLAKIS: But the qualification
10 for a given nuclear plant actually don't count what
11 the design basis earthquake.

12 MR. BAGCHI: Yes.

13 MR. BURKE: Yes.

14 MEMBER APOSTOLAKIS: So not all experience
15 might be relevant.

16 MR. BURKE: Correct. You have to -- I
17 meant the earthquake experience database is grouped by
18 classes. So take an electric motor. One class might
19 be half horsepower to five horsepower or 20 horsepower
20 to 200 horsepower. That's a class of equipment as
21 what we're talking about here.

22 MEMBER APOSTOLAKIS: And now if I have a
23 safety related component in a nuclear plant and a
24 similar but not safety related component in a chemical
25 plant that exhibits a certain behavior, how do I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 relate it?

2 MR. BURKE: You would -- If the equipment
3 that you're attempting to qualify in your nuclear
4 plant fits the similarity and the dynamic
5 characteristics and it's the same model number or
6 similar model number as what survived in that fossil
7 plant and then you compare the actual seismic ground
8 motion to your required response spectrum at the power
9 plant and if it envelopes, then it's qualified.

10 MR. BAGCHI: John, is it not appropriate
11 to point out to the ACRS that primarily what we're
12 talking about for the change in Revision 3 here is
13 recorded testing of past seismic shakable testing and
14 response spectra that were recorded from that
15 experience. So there is a base of information that
16 already exists.

17 MEMBER APOSTOLAKIS: For safety-related
18 components.

19 MR. BAGCHI: For any component that you
20 want to consider for seismic qualification.

21 MEMBER APOSTOLAKIS: I'm more interested
22 in safety-related.

23 MR. BAGCHI: It is all applicable really
24 to safety-related components.

25 MEMBER APOSTOLAKIS: But in other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industries they don't have that kind of thing.

2 MR. BAGCHI: No, that's right.

3 MEMBER APOSTOLAKIS: So it would be hard
4 it seems to me to take experience in an oil refinery.

5 MR. BAGCHI: Absolutely. Not only that.
6 It would be very hard to determine actually what
7 response spectrum that was experienced that could be
8 attributed to the successful functioning of a piece of
9 equipment. But it was done with the help of a panel
10 and everything else and I think in this regulatory
11 guide we do not endorse it for any plant other than
12 the A46, USI A46 plants.

13 MEMBER APOSTOLAKIS: Thank you.

14 MR. BURKE: All right. Another change in
15 this reg guide was we added guidance to the
16 qualification of equipment sensitive to the high
17 frequency excitation and that guidance is consistent
18 with the interim staff guidance used for new reactors.

19 And as mentioned previously, the public
20 comment period was from May to July of last year and
21 we received 84 comments from the groups listed. A lot
22 of the comments were similar or overlapping. Like the
23 comments from IEEE and comments from Westinghouse may
24 have been the same issues. And then we had a public
25 meeting in December to address the comments and we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 representatives from those groups listed.

2 I thought we'd discuss some of the major
3 comments here and we've already talked about one of
4 them which is why are we combining Reg Guide 1.100 and
5 Reg Guide 1.148 into one document. In the draft guide
6 that was sent out for public comment the reasoning
7 wasn't well explained and that was one of the reasons
8 the background section was expanded to give a better
9 history on it and explain why we're combining them
10 and, like I said, when this revision is approved, then
11 we'll withdraw 1.148.

12 MEMBER STETKAR: John, you mentioned --
13 Could you elaborate on that just a little more because
14 I quite honestly found it confusing to myself that
15 these two different sets of qualification criteria
16 would be bundled into a single regulatory guide given
17 the historical separation of the two.

18 From the staff's perspective, there were
19 several comments regarding the fact that it wasn't
20 clear why they were being combined. Could you
21 elaborate a bit more on the staff's perspective of why
22 this is either more efficient from a regulatory
23 perspective or less confusing to a potential user of
24 the guidance?

25 MR. BAGCHI: One regulation where it all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comes together is the qualification regulation under
2 50.48 I believe. That's the qualification that's
3 required for environmental conditions and it includes
4 seismic.

5 PARTICIPANT: 50.49.

6 MR. BAGCHI: I'm sorry. 50.49. It
7 includes seismic. That's why in the sequence of
8 qualification to meet the regulation seismic comes
9 last and it is appropriate to put them altogether in
10 one kind of reg guide where seismic is the final stage
11 of the qualification.

12 MEMBER STETKAR: I'm asking more along the
13 lines of bundling the non-seismic functional
14 qualification guidelines with the seismic
15 qualification.

16 MR. BAGCHI: I don't have an easy answer
17 to that.

18 MR. SCARBOROUGH: This is Tom Scarborough
19 with NRO. This goes way back to when we were working
20 originally on QME-1 to develop a standard that the
21 Staff could endorse way back to Jim Richardson's day
22 back in NRR. The way ASME had written QME-1 they
23 included seismic with the functional qualification and
24 that was their scope. That's how they worked it.

25 So as we work through over the past 20

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years working closely with ASME to develop this
2 standard that we could endorse when we got to the end,
3 we have a seismic portion of QME-1 and we have a
4 functional qualification, the flow testing, that sort
5 of thing, where we incorporated like Dr. Shack said
6 the history of MO dropper valves (phonetic) and all
7 the lessons learned and the internal clearances and
8 the dimensions that we found to be critical for flow
9 testing under high flow conditions. So that's all
10 bundled into the very specific guidance in QME-1-2007.

11 So we get to that point and then we have
12 one whole standard and we have to decide do we like
13 split this and endorse, write two reg guides and have
14 one reg guide endorse the seismic portion and another
15 reg guide endorse the functional qualification
16 portion.

17 And what we decided was that the
18 functional qualification was such a clean endorsement.

19 You'll find these almost no conditions placed on
20 functional qualification side and so since it was such
21 a clean endorsement it was easy just to piggyback it
22 right into the standard.

23 A user picking up QME-1, they can use it
24 for everything now if they go to Reg Guide 1.100.
25 They don't have to pick up two reg guides to use this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 standard and that was the reasoning. It was just a
2 simple logistics in terms of simplicity of it. We
3 didn't have much to say about the functional
4 qualification because we'd spent 20 years reading the
5 standard the way we thought would be appropriate. So
6 that's the reason.

7 MEMBER STETKAR: I guess I understand
8 that. Reading the public comments I guess I'm
9 curious. Did you have meetings after the public
10 comment period?

11 MR. BURKE: Yes, we did.

12 MEMBER STETKAR: How did those meetings go
13 because a lot of the public comments seem to say they
14 wanted to keep the two reg guides separate regardless
15 of the fact that they both referenced the same
16 standard?

17 MR. SCARBOROUGH: And that's one approach
18 we could have taken and we discussed this with them at
19 the public meeting. That's absolutely one way we
20 could have taken it. At the time, we just made a
21 decision whether to have two reg guides to endorse one
22 standard or sort of one reg guide to endorse the
23 standard which covers sort of two areas of review and
24 we just thought from a efficiency point of view it was
25 just easier just to go with the one reg guide and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 piggyback the functional qual because there were
2 almost one conditions to place on that portion of the
3 standard.

4 And we explained that and they sort of saw
5 our approach and if we had to do it over again we
6 might have done it a different way. But that was the
7 decision we made at the time to try to move it through
8 as quickly as possible.

9 MEMBER STETKAR: Okay.

10 MR. MANOLY: It was a -- purpose.

11 MEMBER STETKAR: Thank you.

12 MR. BURKE: So another -- The use of
13 earthquake experience methods is addressed in both the
14 IEEE standard and the ASME standard and this comment
15 concerns the earthquake experience methods for ASME
16 equipment and we mentioned briefly the USI-A46 and the
17 SQUG and the industry requested approval to use the
18 SQUG methodology for qualifying new equipment.

19 And the staff does not accept this SQUG
20 methodology for non-A46. However, we do accept --

21 MEMBER BROWN: What's the difference
22 between -- I'm not familiar with A46. Okay.

23 MR. BURKE: Like I said earlier, A46 is
24 that subset of existing plants that more or less
25 predate the early '70s. I don't know exactly the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cutoff. It's a '74.

2 MEMBER BROWN: So for plants subsequent to
3 that you don't accept the SQUG data.

4 MR. BURKE: That's correct.

5 MEMBER BROWN: All right. That's --
6 You've answered. I don't mean to get --

7 MR. BURKE: And it's roughly half, isn't
8 it? About half of the existing plants.

9 MEMBER STETKAR: It's about 70 units.

10 MEMBER BROWN: Okay. I just needed to
11 understand the basic difference there and I've got it.

12 MR. CHEN: This is Pei-Ying Chen from NRR.

13 MEMBER BROWN: Don't confuse me.

14 MR. CHEN: No, no. I can help you out.

15 MEMBER BROWN: That's very hard to do.

16 MR. CHEN: Yes, I used to handle USI-A46
17 code for maybe more than a dozen years. So I know a
18 little bit about the history. The reason there is an
19 A46 -- is at the time most of the new plant were
20 ***11:03:18 1975. So it's an improved criteria in
21 344-1975. So all the plants which were qualified
22 before that was put into USI-A46 plan which is about
23 70 some plants at the time.

24 And then because of the difference in
25 qualification at the time of license the whole USI-A46

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was resolved in a different sort of criteria than the
2 later plant. So that is really the basic.

3 MEMBER BROWN: Okay. I got it now. You
4 did not further confuse me. I think I'll stay on the
5 same track. Thank you.

6 MEMBER STETKAR: John.

7 MR. BURKE: Yes.

8 MEMBER STETKAR: How does the reg guide --
9 I may have missed it in my reading. How does the reg
10 guide treat qualification of new equipment for the A46
11 plants? Suppose I want to install a new digital
12 instrumentation control system for example in my A46
13 plant. Can the licensee use the SQUG methodology to
14 qualify that equipment, the cabinets, the anchorages
15 and things for the new plant?

16 MR. MANOLY: Yes, this is Kamal Manoly
17 again from NRR. All the plants that were under A46
18 ended up in group rating that procedure in their SARS.

19 MEMBER BROWN: Which procedure do you
20 mean?

21 MR. MANOLY: For the Generic
22 Implementation Procedure which implements the SQUG
23 methodology. It became part of the SAR for all these
24 plants for replacement equipment and modifications in
25 the plant, for equipment that meet the criterion in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the GIP. So the equipment that fit in the classes
2 that's described in the GIP they can basically use the
3 GIP.

4 MEMBER BROWN: What's the GIP?

5 MR. MANOLY: The Generic Implementation
6 Procedure.

7 MEMBER BROWN: Say that again.

8 MR. MANOLY: The Generic Implementation
9 Procedure. That was used for qualification .

10 MEMBER BROWN: So they don't have to meet
11 the new standards.

12 MR. MANOLY: No.

13 MEMBER BROWN: Okay.

14 MR. BAGCHI: However, if it's a piece of
15 equipment that's brand new and does not fall in that
16 database they have to qualify.

17 MEMBER BROWN: Well, I'm just a little bit
18 -- I question that I mean. That was 1975 and earlier
19 and now they're going to put in a new set of digital
20 I&C equipment and we're going to seismically qualify
21 it to some experience base from pre 1975. So it's a
22 little bit -- I understand licensing basis set before
23 you guys leap on me. The current license, whatever
24 they were brought under, but that just seems to be a
25 dichotomy to me that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RICHARDS: Goutam, correct me if I'm
2 wrong, but what I think what you just said is that if
3 it's not in the existing category you can't do it and
4 chances are most of the digital systems that we'd be
5 seeing today probably didn't exist in 1975.

6 MEMBER BROWN: No. But there are circuit
7 cars and boxes and I mean the crane metal cans with
8 drawers or something come in and out. I mean they
9 look the same, the valve and the pump and things like
10 -- I don't know why they wouldn't look the same
11 because those a blacksmith -- Anyway, we can go on.

12 MR. BURKE: All right.

13 MEMBER STETKAR: The main comments, on the
14 previous slide, from the industry regarding the
15 experience database were planted toward the use of the
16 experience for new plants. Is that correct? Did I
17 understand you correctly? They wanted to be able to
18 use the experience data for --

19 MR. BURKE: Yes, I believe that's correct.

20 MEMBER STETKAR: Okay.

21 MR. MANOLY: This is Kamal Manoly again.
22 I think industry would like to be able to use the
23 approach for non A46 plants, the operating reactors.
24 Industry has been updating the database and expanding
25 it and we felt that they can consider it, but we need

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to know the database that they will be using.

2 MEMBER STETKAR: Yes, if I read all the
3 qualifications in the reg guide it's pretty
4 discouraging.

5 MR. MANOLY: Well, I mean I think we
6 wanted to see a procedure that implements the code and
7 that's the procedure that we'd like to approve first
8 before we grant that to non A46 plants.

9 MR. BURKE: The existing reactors that are
10 not A46, the 30 or so, right now they have to get
11 approval for every application case by case. This
12 opens that up a little bit where they can get approval
13 for the process and not necessarily a case by case
14 approval.

15 MEMBER STETKAR: I didn't think of it in
16 that context, but okay.

17 MR. BURKE: There was another series of
18 comments about the nonmandatory appendices in the QME
19 standard and the way the draft reg guide was worded it
20 was confusing over whether the nonmandatory appendices
21 were now becoming mandatory by the way we were
22 addressing them and endorsing them in this reg guide.

23 So we clarified the language to say if your
24 qualification program is relying on a nonmandatory
25 appendix, then that nonmandatory appendix then becomes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mandatory for you.

2 MEMBER BROWN: I'm obviously the slowest
3 of the group and that's why you're looking at me.

4 (Laughter.)

5 MEMBER STETKAR: John, ignore him. He
6 speaks up when he wants to.

7 MR. BURKE: Okay.

8 (Off the record comments.)

9 MR. BURKE: There was also some discussion
10 in the draft reg guide about inadvertent high
11 frequency content in previous tests like Goutam said
12 earlier. Part of the earthquake experience database
13 includes test experience, not just actual earthquakes
14 in the field but a database of all the equipment
15 that's been tested and how that database tested
16 equipment can be used and what the frequency content
17 is of those existing tests. So we clarified our
18 regulatory positions on the use of that test
19 experience data and how to use that.

20 MEMBER STETKAR: Was there much resistance
21 to extending the frequency above 20 hertz from the
22 industry perspective because the new requirement just
23 says you don't accept the limitation of 20 hertz which
24 has been historical or 33 hertz? You need to look at
25 the site-specific response spectra.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BURKE: I don't remember much about
2 that.

3 MEMBER STETKAR: Okay. It's become an
4 issue certainly in our reviews of a lot of the new
5 reactors and specifically for the east coast siting
6 the high frequency component. I was just curious
7 whether you had much discussion regarding that scope
8 of the reg guide.

9 MR. BURKE: I don't remember.

10 MEMBER STETKAR: Okay. Thanks.

11 MEMBER BROWN: I wanted to ask one
12 question and this relates back to my experience in the
13 naval program in that most of the types of testing
14 involve -- I mean we do both shock and vibration with
15 these shakers and stuff. So we look at the spectra
16 and vibration tests which these have a frequency
17 component that's routine that you have to deal with
18 and we scan and then pick the worst and then we shake
19 it to death at the resonant frequency or we go to the
20 max that could be expected in the application and then
21 test it.

22 In the shock test, there are three
23 different machines like medium and barge testing,
24 heavy weight testing, where there are specific -- You
25 know, you blow up explosives and I didn't see how that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was -- I didn't get an understanding of how that was
2 done. I mean do they -- I mean I understand blowing
3 up giant 60,000 pounds of HBX in some quarry somewhere
4 and you can watch it rock and roll and get all kinds
5 of interesting --

6 MR. BAGCHI: I think the heart of your
7 question can be answered if you look at the discussion
8 part of it which says that we look at compatibility of
9 the power spectral density.

10 MEMBER BROWN: Of the what spectral
11 density?

12 MR. BAGCHI: Power spectral density.

13 MEMBER BROWN: Okay. So you do make a
14 judgment --

15 MR. BAGCHI: Yes, sir.

16 MEMBER BROWN: -- based on what's expected
17 in that region from --

18 MR. BAGCHI: Yes.

19 MEMBER BROWN: -- earthquakes and then you
20 test it. Okay. At that site. Yes. All right.
21 Thank you.

22 MR. BURKE: All right. And this is some
23 more discussion on the high frequency sensitive
24 equipment and the interim staff guidance used for new
25 reactors. Again, there was the draft reg guide

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wording was confusing in some aspects. So we tried to
2 clarify that section about the high frequency
3 sensitive equipment to be consistent with the Interim
4 Staff Guidance. If you have a high frequency site,
5 what we're doing now is we're saying if the high
6 frequency sensitive equipment needs to be qualified
7 consistent with the interim staff guidance both for
8 new reactors and existing reactors.

9 And there were a lot of comments about the
10 use of the test experience data being too restrictive
11 like we mentioned a little bit earlier. Quite a bit
12 of this reg guide the regulatory positions address use
13 of experience data. I believe it's like 20 pages and
14 about 12 pages are regulatory positions on use of
15 experience data.

16 One of the issues and if you have high
17 frequency sensitive equipment is the spacing of your
18 sampling, a one-third octave or one-sixth octave. So
19 if you have high frequency sensitive equipment then
20 you need to test or collect data at one-sixth octave
21 spacing where the standards currently would allow one-
22 third octave.

23 MEMBER BROWN: So you're restricting the
24 use of similarity. They're complaining about that.

25 MR. BURKE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BROWN: I'm not complaining. They
2 had some objections.

3 MR. BURKE: Yes.

4 MEMBER BROWN: Okay.

5 MR. BURKE: And then developing the test
6 experience spectrum in the draft guide we wanted an
7 equipment capacity factor of 1.4 applied to the test
8 experience spectra. Another way of looking at the 1.4
9 is a reduction factor to give us a little more margin
10 and we revised our position on that and we've deleted
11 the 1.4 factor because we did have a sound technical
12 basis for imposing the 1.4. So Research has added
13 that to the seismic research plan to develop that
14 technical basis. Is the 1.4 a proper number or what
15 is the proper factor to use in this situation?

16 And there were several comments about
17 definition of Operating Basis Earthquake or OBE. 10
18 CFR 50 Appendix S was issued in the late '90s that
19 changed the definition of what an OBE is and the SECY
20 paper that's listed there gave a little more detail on
21 that issue. In the reg guide, I guess, and in the
22 draft reg guide that went out for public comment, we
23 did not explain it well that use your licensing basis
24 for OBE or the information in the SECY paper and
25 Appendix S, whichever is appropriate for your plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So in the typical operating reactor, the
2 OBE, is half of the SSE. But under the Appendix S, it
3 could be much less than that. So we just clarified
4 the wording that use whatever is appropriate for you
5 plant. Use your licensing basis or if you're a new
6 reactor use Appendix S.

7 Any other comments? I have a video if you
8 want to see a seismic test.

9 DR. BLOHM: Yes. Please.

10 MEMBER STETKAR: We are ahead of schedule.

11 MEMBER APOSTOLAKIS: Go ahead.

12 MR. BURKE: It's a 30 second video.

13 MEMBER STETKAR: It's a real seismic event
14 then.

15 MR. BURKE: It will take longer to load
16 than to show it.

17 MEMBER APOSTOLAKIS: In color?

18 MR. BURKE: Yes, it's in color. There are
19 two commercial --

20 (Off the record comments.)

21 MR. BURKE: There are two commercial
22 facilities in the country that do triaxial seismic
23 testing for the industry and this is one of them.

24 (Video played.)

25 And that's just a 10 foot by 10 foot

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 triaxial table. I don't even know what equipment that
2 is. I asked them to send me a video and they did.

3 (Off the record comments.)

4 That's just a typical triaxial seismic
5 qualification test and you'll see it lasts 30 seconds.

6 So if you're doing a typical qualification program
7 you would do five OBEs which would look like that or
8 maybe that's an SSE. I can't tell and one SSE which
9 would be double the OBE.

10 MEMBER BROWN: What's the OBE? Operating
11 Basis Earthquake.

12 MR. BURKE: Operating Basis Earthquake.

13 MEMBER BROWN: I was guessing something
14 dramatic.

15 MEMBER APOSTOLAKIS: Very good.

16 MEMBER STETKAR: Any other questions?
17 Yes, sir.

18 MR. STARKE: My name is Richard Starke. I
19 work for MPR Associates. I sat on both the ASME code
20 committee working group that developed the revised
21 standard as well the IEEE 344 working group.

22 I guess in one sense I'm a little bit
23 disappointed in the reg guide from a major
24 perspective. If you would slip back to slide number
25 11, it has four bullets on that slide. The first one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 says that the staff position was that the use of
2 experience method could be subject to review and
3 approval and then the last bullet says use of
4 experience method for seismic qualification is subject
5 to NRC review and approval. So we put all this effort
6 into developing standards, but it still could well be
7 interpreted to mean that there would be one-for-one.
8 If you have to do a shake table test and that
9 requirement was on there, then every shake table test
10 that is done the NRC staff would have to review and
11 approve.

12 So I'm reading this to mean that use of
13 experience data is really something that the staff is
14 still not comfortable with and slide 21 the first
15 bullet makes the same point again with respect to the
16 use of experience methods which is that review and
17 approval is required for the comparison occurrence.

18 So I'm left with having served on both
19 these co-committees spent five years developing the
20 standard and we come out with a reg guide that has
21 almost as many pages in it and there are exceptions
22 and clarifications and positions the staff is taking
23 and then when it's all said and done the staff still
24 has to review and approve it.

25 I guess the main concern I have from an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry perspective is that I just don't believe that
2 this process of the standard and the reg guide is
3 going to bear fruit. I think this is a tree without
4 any fruit that the utilities are just not going to use
5 this methodology within the standard because of (1)
6 having some many additional restrictions placed upon
7 the use of the standard and (2) because you still have
8 to go back to staff and get review and approval.

9 MR. MANOLY: May I respond to the comment
10 please?

11 MEMBER STETKAR: Sure.

12 MR. MANOLY: This is Kamal Manoly from
13 NRR. We thought that the major difference between
14 this revision and the previous revision is that
15 Revision 2 specified on a case by case basis which
16 means every time a licensee wants to use the
17 experience data for one valve or one small equipment,
18 he had to go to the staff and that seemed unreasonable
19 to us.

20 What we're looking for here is a
21 procedure, you can call it topical report, that
22 implements the QME and IEEE and provisions in the reg
23 guide that we would review and approve and then
24 industry after that can do it on their own by 50.59.

25 MEMBER STETKAR: It's interesting when Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Burke sort of gave that perspective of the acceptance
2 of the experience data. I certainly didn't get that
3 interpretation as I read the reg guide. I read the
4 reg guide as requiring a case by case approval.

5 MR. MANOLY: That was in Reg 2. But
6 that's not --

7 MEMBER STETKAR: No, the current reg guide
8 is -- The latter.

9 MR. BAGCHI: But for new reactor I
10 understand that the new reactor does not accept the
11 use of experience database.

12 MR. BAGCHI: Can I address part of this?

13 MEMBER STETKAR: Sure.

14 MR. BAGCHI: When those standards,
15 national consensus standards, were being developed
16 this entire concern about the central and western
17 United States high frequency motion in the earthquake
18 was just appearing and it is a very serious concern to
19 the staff with respect to the peak ground acceleration
20 being asymptotic to 100 hertz where the previous
21 practice was 32 hertz and we are talking about
22 experience information that had been developed using
23 the peak ground acceleration possibly around 33 hertz.

24 And any kind of experience information one might get
25 is probably because of high level of testing beyond

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that was intended.

2 That's why it is necessary for the staff
3 to look at some of these things in an objective basis
4 and that does require review particularly because of
5 the high frequency concern.

6 MEMBER STETKAR: Thank you.

7 MEMBER BROWN: The point of the comment
8 was industry is not going to use the operating based
9 experience. They'll just go right to the testing.

10 MR. MANOLY: No, they can --

11 MEMBER BROWN: No. Let me finish. I'm
12 trying to make sure I understood the comment from the
13 MPR representative and make sure I knew what that was.

14 It's essentially saying you can still do operating --
15 I mean if somebody was to come in and do the operating
16 base you can do that, but at any time somebody wants
17 to do it, you have to look at it. Whereas if they do
18 the testing then they just use the process of whatever
19 it is. The standards are there. You qualify and
20 you're off to the races. Is that it?

21 MR. RICHARDS: Another option is for the
22 industry to come in with a generic process, have the
23 staff review that. It would have more detail.

24 MEMBER BROWN: Do you mean for using
25 operating basic experience.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. RICHARDS: Yes. And once that more
2 generic process is approved as long as it's within
3 that envelope then they would be able to use that.

4 MEMBER BROWN: But you're pushing it back
5 to if they want to, I don't want to use the word
6 complain, if they want to say "We really want another
7 option" you're saying, "Fine. Refine that option so
8 that we can treat it in the same manner as we do the
9 testing regime with more detail in terms of how they
10 would do it or use it." Is that it?

11 MR. BAGCHI: That's correct.

12 MR. MANOLY: And let me clarify. In the
13 late '90s, industry submitted a topical report that we
14 rejected because it was not complete enough in
15 describing the data in the experience database to be
16 used for non A46 plants. We felt that the database
17 was not complete enough, did not have the kind of
18 examples we were looking for that experienced severe
19 earthquakes.

20 But that was a starting point. And they
21 can complete that information and submit it again as a
22 topical and if we approve it, then they can use it
23 across the board.

24 MEMBER BROWN: Just one observation. I
25 had to deal with similarity all the time in the Naval

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 program and I have to admit I normally for my
2 equipment since they were protect equipment and
3 reactor plant monitoring equipment I normally
4 defaulted to test as opposed to similarity.

5 Now I won't say that do that every time
6 because testing is expensive and I mean in spite of
7 the reputation of the Naval Nuclear Program having
8 these giant bags of gold that you just open the faucet
9 that's not really the way it is.

10 MEMBER SIEBER: Stimulus.

11 MEMBER BROWN: So we looked at them on a
12 case basis when we were going to do that. So I
13 understand the concern. I just -- It seems to me
14 there's a way to do it. I just don't trust similarity
15 real well when I'm -- with the new stuff, buying new
16 equipment. That's all.

17 MR. BAGCHI: One other factor that could
18 be considered here is that it is only related
19 primarily that the high frequency end of the spectrum
20 is primarily a concern for chatter-prone equipment.

21 MEMBER BROWN: Say that again.

22 MR. BAGCHI: Chatter-prone.

23 MEMBER BROWN: Oh, chatter-prone. Okay.

24 MEMBER STETKAR: Any other comments?

25 Questions?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No verbal response.)

2 With that, I'd like to thank you very
3 much. It was a good presentation. I think we had a
4 good discussion and P.T.

5 MR. KUO: Yes, I have some comments and
6 actually more of questions than comments really. Just
7 for everybody's information why I'm sitting here. I
8 spend the first half of my NRC time dealing with
9 seismic issues and the last phase of the A46 issue
10 actually was part of my responsibility at the time and
11 Dr. P.Y. Chen was the lead at the time on this A46. So
12 I have a lot of old history in my mind. It faded away
13 a little bit, but some of the memory that I still
14 have.

15 I read the reg guide and I think I can say
16 it is well written. But I do have a couple of
17 questions. The first question I have is about the
18 section 1.1.1.d. It says, "The use of experience data
19 for seismic qualification of electrical equipment is
20 subject to review by the NRC staff such as 1,2,3,4,5."

21 And among this I don't see a mention about the site
22 conditions. Okay.

23 Like Goutam pointed out that the high
24 frequency region, I could say that there are cases
25 that the frequency of -- the predominant frequency of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the structures would be low like in Mexico City. It's
2 a lower frequency. And if you take that experience
3 data to the east coast for a site on the rock
4 certainly I would not consider that is applicable.
5 But that is not mentioned here. So that is a site
6 condition that I'm concerned about.

7 And also in some of the plants especially
8 foreign plants that they put isolator underneath. So
9 the response of those kinds of plants will be
10 different, too. So you take experience data from
11 Japan for instance. They have isolators there and I
12 don't know if that experience data really is
13 applicable to U.S. plants.

14 MR. BAGCHI: The discriminating factor
15 here is going to be the required response spectrum.
16 There is required response spectrum. If it is
17 designed with isolators that's what it will show up.

18 MR. KUO: Well, it looks like the focus is
19 on the high frequency. I'm also talking about low
20 frequency. Okay. Low frequency you don't look at the
21 accelerations. You look at the displacement, the
22 deformation.

23 MR. BAGCHI: Let me suggest that most of
24 the equipment under the scope of the certified design
25 is designed to very demanding response spectrum, rich

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in low frequencies, reg guide 1.60 type of spectrum
2 and if you look at that it will amply cover anything
3 like the new -- anything like the Charleston event
4 influence in the eastern sites and the ground motion
5 response spectrum will take that into account amply
6 and in most cases they'll have to show how the site is
7 enveloped by the certified design spectrum. And once
8 all of those criteria are put together the required
9 response spectrum that are defined through the
10 instructed response spectrum which are peak rod and so
11 many other things then we don't really have a concern
12 about the specific siting effect.

13 MR. KUO: That's okay. That's good if you
14 don't have any concern. But I used to generate a site
15 peak -- history myself. Okay. I can play with that
16 and if you want to add a frequency, delete a
17 frequency, that's pretty easy. So, yes, I have a time
18 history. I can envelope the response spectrum. No
19 problem.

20 But I can -- I don't have to create some
21 of the input in the frequencies that I might have.
22 And -- Well, let me stop there.

23 MS. KAMMERER: Hi. Anne Kammerer, Office
24 of Research. I think there are two separate things.
25 One is the experience in terms of the actual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 earthquake and the other is experience in terms of the
2 laboratory testing or shake table testing.

3 In terms of the actual earthquake what
4 needs to be done for each of these case studies for
5 the equipment is you have to look at the actual
6 loading upon the equipment. And so in the cases
7 you're talking about, for example, in a base-isolated
8 plant or in a plant with, say, the west where there's
9 a lot of long period motion you'd look at the
10 experience and the loading in that event.

11 You're absolutely right in that if you
12 have experience in an earthquake in, say, a base-
13 isolated structure that would not necessarily mean
14 that that equipment can withstand high frequency
15 loadings. You're absolutely correct about that. So
16 that's in terms of the earthquake experience.

17 In terms of the shake table testing, I
18 think that was more to get to Tom's comment in that in
19 that case you still have to do the same thing which is
20 look at the motion that was used in the shake table
21 testing and compare that with the demands according to
22 the design.

23 MR. KUO: I agree. And that will be my
24 next two comments is that, yes, I agree with the
25 stance that you mentioned here to look at similarity,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to look at things that pertain to the actual and what
2 you have. However, I'm just wondering if the staff
3 has developed any guidance for comparing similarities
4 and make assessment of the site conditions for the
5 reviewers to do. Okay.

6 Now the applicant submitted another report
7 and say "We are going to use the experience data and
8 we think that this is similar to that." When the
9 reviewer that in front of them, do they have any
10 criteria guidance to use to say, "Yes, I agree with
11 you. This is similar. This is not." But is that the
12 opinion of the individual if the staff has any
13 guidance for it? That's important to be able to
14 implement this.

15 MR. BAGCHI: If we have a generic report
16 that comes in for review that generic report is
17 reviewed through the process that has been laid out
18 and it has been found to be robust enough that it is
19 no swayed by individual judgment alone. Let me rest
20 with that.

21 MR. KUO: Right now we don't have it.

22 MR. BAGCHI: We don't need to. Every
23 technical report that comes in we cannot write a set
24 of criteria for that.

25 MR. KUO: But like we discussed before,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 suppose the individual comes in with an application
2 and applied this set of experience data right now.
3 How are you going to make your judgment? That's my
4 question.

5 MR. MANOLY: This is Kamal Manoly. I
6 think your point is well taken and I believe the
7 second item, the exclusion/inclusion rules, we expect
8 considerations to be captured in that bullet that
9 there will be exclusion and inclusion rules that would
10 distinguish between equipment that have seen high
11 frequency/low frequency of the thought that you're
12 talking about.

13 MR. KUO: I'm just making suggestions or
14 pointing out that there might be difficulties here for
15 the reviewer to judge. Yes.

16 MEMBER STETKAR: Okay. I think we're
17 getting into an area that's more focused on review of
18 submittals that may be made by a particular licensee
19 or an applicant rather than the reg guide itself. I
20 think it was a good discussion.

21 MR. KUO: Okay. But I have one more
22 comment.

23 MEMBER STETKAR: Okay.

24 MR. KUO: Rock site that is quoted in the
25 reg guide. I'm just wondering if there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 definition for that.

2 CHAIR BONACA: I'm sorry. I didn't --

3 MR. KUO: What is the rock site? We used
4 to have the definition. It was shear wave velocity
5 and something like a 2500 feet per second or 3000 feet
6 per second. Here when this reg guide says rock site,
7 do we have a definition for that?

8 MR. BAGCHI: We can fall back upon other
9 sets of criteria that are used for probabilistic
10 seismic hazard analysis. It is generally considered
11 that 9200 feet per second produces rock conditions for
12 which there is no side effect. We licensed AP1000.

13 MR. KUO: Fine. But all I'm suggesting is
14 that you need a definition for that.

15 MS. KAMMERER: Let me respond to that a
16 little bit in that. This is Anne Kammerer, Office of
17 Research. In terms of what the definition of a rock
18 site is that definition comes from something which is
19 outside of this agency to some extent in that it often
20 comes from ground motion prediction equations which
21 are used and those are based on empirical and other
22 types of data that are done and used more throughout
23 the seismic community.

24 And so those equations, the definition
25 comes from those equations in that it's a separation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 between whether directly applicable and where you
2 might need to do additional site response as well. So
3 we would not define that. It comes from tools which
4 are used in a broader seismic hazard assessment.

5 MEMBER STETKAR: Yes, sir.

6 MR. PARELLO: My name is Jim Parello. I'm
7 the Chairman of IEEE 344. I also work for
8 Westinghouse. I have a question in regards to slide
9 21.

10 Slide 21 deals with test experience-based
11 qualifications and in the process here it states
12 clearly that when using this method that your
13 expectations are that the TES curve should be provided
14 for review and approval and that it's based on the
15 standard deviation and mean-type data. The question
16 is if we're qualifying a methodology, if we're going
17 to go through that process, then this data would not
18 be available until you perform the act of going
19 through and generating your grouping of equipment for
20 your test experience-based.

21 Are we talking about a technique or are we
22 talking about data here? So just a point of
23 clarification I'm looking for.

24 MR. BAGCHI: We're looking for data
25 primarily. Otherwise how would we know that the test

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 experience spectrum would go to the class.

2 MR. PARELLO: What we talked about earlier
3 was that you were looking for a methodology to be
4 approved and then we process through that
5 qualification methodology using the data.

6 MR. MANOLY: I think-- This is Kamal
7 Manoly again. In a topical report we expect to see
8 the data that industry is using to lump equipment in
9 classes. We want to see the earthquakes, for example,
10 in the earthquake database. You want to -- The
11 reference -- That's why the earthquake that's being
12 identified how it was measured, the equipment that has
13 seen that, how it was measure, the equipment that has
14 seen that, does it meet certain geometrical
15 limitations, dynamic characteristics. All that part
16 is really part of the exercise.

17 MR. PARELLO: The IEEE 344 standard
18 presently gives criteria for those types of things.

19 MR. MANOLY: But when you --

20 MR. PARELLO: When we're going through the
21 process here, what you're saying is every time I
22 generate a group or an actual class you do want to
23 review and approve that specific class.

24 MR. MANOLY: You have -- I mean we know
25 for A46 it has the class of 20 and in establishing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 class you identify certain earthquakes, certain
2 equipment that fell in that class, the limitations on
3 this equipment. So that's part of the body of the
4 data that qualifies that class. So if you're going to
5 be establishing new classes or adding or expanding
6 that, we'd like to see what's in the database.

7 MR. PARELLO: The test experience-based is
8 dramatically different in an A46 method.

9 MR. MANOLY: I understand that. Yes.

10 MR. PARELLO: In this method, you're
11 already using qualified test data for equipment that
12 was seismically qualified, safety-related equipment in
13 the process of generating this particular class. What
14 we have here is a potential dissimilarity in any one
15 of these test programs to the candidate equipment.
16 The candidate equipment is the equipment that you want
17 to qualify versus the class which is made up of
18 similar equipment.

19 So we've gone through this process. You
20 have the same qualified equipment and when you do so,
21 you're generating a program or qualification level.
22 Now what you're saying is you still want to see all
23 the data to qualify it. Is that correct?

24 MR. MANOLY: Well, you need to identify
25 what is the class made of. I mean, you have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reference the specific test that you're utilizing to
2 qualify that class.

3 MR. PARELLO: That's not a methodology.
4 That's the actual implementation just like if I went
5 out and performed a qualification test instead of
6 going through this. I mean it's the same thing. I
7 mean, do you want to see that test data if I did a
8 one-to-one qualification?

9 MR. MANOLY: I understand your question.
10 I think that the level of the review detail would vary
11 depending on how reliable the information is. I mean
12 if you're talking about experience database for
13 seismic that's a lot more complicated than just a test
14 that was done based on determined procedures and the
15 QA procedures. Whereas, talking about data extracted
16 from earthquakes sites, that leaves a lot of gray
17 areas. That's why we want to see it. So I think the
18 distinction between the test data versus seismic
19 experience data.

20 CHAIR BONACA: Can I intervene here for a
21 second? We have to kind of keep on schedule and it's
22 a good interchange that's going on, but it has a lot
23 to do between staff and the industry in terms of
24 what's required to approve a particular topical report
25 and I think that's quite a bit level of detail below

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 our deliberations regarding publication of this reg
2 guide.

3 I'd encourage you to keep the discussion
4 going but perhaps in a different venue from this
5 meeting if it's possible.

6 MR. CHEN: Okay. This is P.Y. Chen.

7 MEMBER STETKAR: Or not.

8 (Laughter.)

9 MR. CHEN: I guess really what Jim is
10 after is that he's talking about this TES, you know,
11 how do you determine it. And basically the industry
12 guide right now is they are talking all this spectra
13 and then take a frequency-by-frequency mean of the
14 data and I think the question here is that we thought
15 that mean may not represent a good determination of
16 the final TES level.

17 So what we are asking instead of 1.4
18 factor actually it comes from the mean plus some of
19 the sigma that people use, actually Kennedy used. But
20 anyway we decided not to use 1.4 factor, but we asked
21 for the mean and the standard deviation and to decide
22 what kind of level will be determined.

23 MEMBER STETKAR: Understand. Thank you.
24 Any other comments?

25 MR. PARELLO: This is Jim Parello again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 My goal is to update the standard and put the
2 appropriate language in there in regards to areas that
3 need to be improved and that's why I'm asking the
4 question.

5 MEMBER STETKAR: Understand. I
6 understand.

7 MR. PARELLO: Thank you.

8 MEMBER STETKAR: Thank you. With that, I
9 think I will turn it back to you, Mr. Chairman.

10 CHAIR BONACA: Okay. Thank you for the
11 presentation and we will take a recess for lunch. Get
12 back at 12:45 p.m. Off the record.

13 (Whereupon, at 11:47 a.m., the above-
14 entitled matter recessed to reconvene at 12:45 p.m.
15 the same day.)

16 CHAIR BONACA: We're back into session. We
17 have -- the next item on the agenda is Applicability
18 of TRACE Code to Evaluate New Light Water Reactor
19 Designs, and Professor Sanjoy Banerjee will lead us
20 through that presentation.

21 MEMBER BANERJEE: Okay, thank you, Mr.
22 Chairman. I'd like to make a few remarks regarding
23 the TRACE code which we reviewed for applicability to
24 the EDBWR, specifically on February 27th, 2009. Now,
25 I notice the agenda item here is a little wider which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is to evaluate light water reactor designs
2 applicability to. So I think the subcommittee did not
3 really consider this rather broader commission, if you
4 like. So most of the discussion was related to the
5 ESBWR.

6 So probably today this is what the
7 presentation will be all about, for in our discussion
8 we put -- discussed, of course, whatever issue we want
9 to and hopefully we will, and this could include what
10 we should do about looking at TRACE for other light
11 water reactor designs, the new light water reactor
12 designs. So this subcommittee meeting was held
13 February 27th, which is quite a long time ago.

14 At the subcommittee meeting we had ISL
15 make an extensive presentation of work they had done
16 under contract to the NRC on evaluating the
17 applicability of the TRACE code. This was a pretty
18 substantial study by all standards and there were
19 several questions that came up. And there were also -
20 - there was also an internal review of this report
21 that ISL had made by NRC staff which came as an
22 appendix to the report and this review is even more
23 interesting than the report itself actually. So
24 that's the basis on which we've been considering this
25 matter, this ISL report, and with that, what I'll do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is I'll turn it over to Chris Hoxie from Research to
2 introduce the various people.

3 The only thing I can say is we're going to
4 be taxed for time looking at the agenda, so I'll try
5 to keep you moving. Okay, thanks.

6 MR. HOXIE: Thank you. My name is Chris
7 Hoxie. Let me just quickly introduce the speakers we
8 have. Dr. Ralph Landry from the Office of New
9 Reactors is going to give us a little bit of
10 background on the regulatory application of computer
11 code. After his remarks, Dr. Joe Staudenmeier will be
12 talking about sort of an overview or introduction to
13 the use of TRACE and TRACE applicability to ESBWR LOCA
14 and these parts we wanted to do in open session.

15 Joe has then split out the proprietary
16 portion of his stuff and we will move into closed
17 session for Joe to go over the proprietary information
18 with you and that's followed then -- there was an
19 interest in the treatment of the momentum equation and
20 so Dr. Steve Bajorek is here to talk about the
21 momentum equation, and we'll of course, take questions
22 as they go. So with that, I'm going to turn it over
23 to Ralph and we'll move right along.

24 CHAIR BONACA: Thanks.

25 MR. LANDRY: Thanks, Chris. My name is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Ralph Landry from the Office of New Reactors. And I
2 asked to make a couple remarks at the beginning of the
3 discussion today because the topic really does deal
4 with the new reactors and our use of the code within
5 the Office of New Reactors. So I wanted to make a
6 couple generic application remarks first and then a
7 couple specific remarks on how we're using TRACE in
8 NRO and its applicability.

9 Okay, the purpose of codes in general in
10 regulatory space, I think a number of you have heard
11 me say this stuff before. It has three points. One,
12 we want to do confirmatory analyses. We want to do
13 analysis that give us a warm fuzzy feeling about the
14 material that's been submitted to us by either a
15 licensee or an applicant. We want to know are the
16 analyses we're seeing reasonable. We want to know,
17 have the analyses captured the important phenomena in
18 the space of a large break LOCA.

19 Typically, there are 30 to 35 parameters
20 that are sampled that are the important parameters.
21 We want to know that the important phenomena are being
22 captured by the material that's been submitted by the
23 applicant or the licensee. But second, we want to do
24 exploratory analysis. We want to find out, are there
25 any cliffs that we're going to fall off of. Are we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to do what if kind of tests. We want to know,
2 is there some region that we can get into a lot of
3 trouble. And this is pushing the state of the art
4 with the codes often times.

5 And we also, from the operating reactor
6 side, use the codes to resolve generic issues or to
7 give us insights in the resolution of generic issues,
8 such as the GSI-191 work that we reported and have
9 been using the codes very heavily in. Within the
10 Office of New Reactors, our primary working tool for
11 accident analysis is the TRACE code. We've used the
12 code extensively. We've asked the Office of Research
13 to prepare an input model for each and every new
14 reactor under review.

15 As part of that preparation, we've asked
16 the Office of Research to prepare a code applicability
17 report in which they will look at the individual
18 design, are there unique features in that design and
19 is the code capable of modeling those unique features
20 in a reasonable manner? We want to then have, as a
21 part of that report, a statement of is the plant model
22 that they've provided reasonable? Does it give us a
23 reasonable response? And these are all comparisons
24 with whatever data are available.

25 We will then use the codes and look at the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analysis for comparison and confirmation of the
2 analysis that have been submitted by the applicant,
3 but you have to keep in mind that when we do these
4 confirmatory calculations, you cannot compare our
5 calculation one-for-one with the calculation submitted
6 by an applicant for a very important reason. The
7 calculations we do in confirmatory space, are
8 generally a founding calculation or a calculation with
9 nominal conditions.

10 Remember I said just a minute ago that
11 typically for a large break LOCA there are 30 to 35
12 parameters that are medium and high priority. These
13 are the parameters that are sampled in doing a
14 statistical analysis. We assign values for each of
15 those parameters. The applicant, the vendor, samples
16 those parameters, so that the calculation which they
17 provide is their limiting calculation, their 95th
18 percentile calculation as sample parameters where we
19 have assigned values to those parameters. They are
20 not one-to-one matches. So we cannot just directly
21 compare the calculation which has been provided by the
22 vendor or applicant with the calculations we get from
23 the code, but the calculations should be reasonable
24 enough to say, "Yeah, they've captured the right
25 phenomena." We're predicting the same phenomena as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the vendor is predicting and the timing is reasonably
2 close.

3 MEMBER CORRADINI: So --

4 MR. LANDRY: Mike?

5 MEMBER CORRADINI: I didn't mean to stop
6 you on this graph. I wanted to wait till you were
7 done with this new graph to ask you a question, I'm
8 sorry. So for code applicability reports, are there
9 any completed code applicability reports for TRACE at
10 this time?

11 MR. LANDRY: Yes. We have a code
12 applicability report for ESBWR. We have --

13 MEMBER CORRADINI: Which we're discussing.

14 MR. LANDRY: Pardon me?

15 MEMBER CORRADINI: Which is the one we're
16 discussing but I didn't know of any others.

17 MR. LANDRY: The reports have been prepared
18 for EPR and they've been prepared for US APWR.

19 MEMBER BANERJEE: And what about AP-1000,
20 was it all now finished?

21 MR. BAJOREK: We're -- this is Steve
22 Bajorek. We've recently completed a draft version of
23 the AP-1000 report.

24 MEMBER CORRADINI: And the other two that
25 you mentioned, the US APWR and EPR, your subcommittee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has?

2 MEMBER BANERJEE: No, we don't have it yet.

3 I don't know whether it has come to us yet. I don't
4 think so.

5 MR. BAJOREK: I don't think so. They are
6 also fairly recent.

7 MR. LANDRY: We can -- we'll make sure that
8 you get them.

9 VICE CHAIR ABDEL-KHALIK: Since your
10 presentation is fairly high level, I will also keep my
11 question at this stage at a high level. Are you aware
12 of the January 11th, 2001 letter from ACRS to Chairman
13 Meserve on the issues associated with industry
14 developed from a hydraulic scope?

15 MR. LANDRY: Yes, but I haven't read it in
16 a long time, so -- 2001 was a long time ago.

17 VICE CHAIR ABDEL-KHALIK: But we want to
18 make sure that history doesn't repeat itself and I
19 would assume that any feedback provided by this
20 committee remains sort of active as long as it's
21 relevant. So let me just focus on one of the issues
22 raised in that letter, which says that many codes have
23 the same ancestry including a 30-year old foundation.

24 So given your description of how you're using TRACE,
25 if you have a flawed tool that you're using to compare

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or assess the results of other flawed tools, what is
2 it that you're really learning?

3 MR. LANDRY: The tool that we are using
4 when we are using TRACE may have a lot of ancestry in
5 common with TRAC, the TRAC family of codes, with the
6 RELAP family of codes but there are major differences
7 in the TRACE code. The numerics have been overhauled,
8 significantly different numerics. It contains
9 significantly different models, phenomenological
10 models from some of the older codes. We would have to
11 go model-by-model to talk about the differences and
12 that, of course, is going to be proprietary because
13 every vendor has taken the base codes and modified
14 them is why part of the session today has to be
15 proprietary for General Electric, because TRACG began
16 as TRACB but has significantly different models than
17 TRACB.

18 And the same is true for the RELAP5 code
19 and for the WCOBRA TRAC code. All the codes have
20 unique proprietary information contained. What we are
21 using as a tool does not contain proprietary models.
22 The TRACE code is open literature material. When we
23 compare TRACE, we're comparing a code that has had a
24 very extensive assessment program, hundreds of cases
25 that have been used for assessing the code. We have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 great deal of confidence in the code and we understand
2 the code very well.

3 When we compare it with a vendor code, we
4 are not, as I said, comparing one-to-one and when we
5 look at our analysis versus their analysis, it is not
6 an apples-to-apples analysis, comparison. But what we
7 want to see is are the codes predicting their same
8 phenomena at the same time or reasonably close? And
9 repeatedly we see this, and it's not simply an
10 artifact of we're all using 40-year old basic
11 material, because our basic material has changed so
12 dramatically to today that they may have started at
13 the same point, but they've diverged significantly.

14 VICE CHAIR ABDEL-KHALIK: When you say they
15 may have diverged, a concern has been raised over the
16 past 35 years as far as I know over the momentum
17 equation formulation in all of these codes and do you
18 think or -- do you think that that shortcoming still
19 remains?

20 MR. LANDRY: You're going to hear a great
21 deal about that this afternoon.

22 VICE CHAIR ABDEL-KHALIK: Well, I just want
23 to leap to that.

24 MR. LANDRY: All right. You're going to
25 hear a lot about that from Joe and from Steve and yes,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we've gone through this on every code in front of the
2 committee. Graham Wallis has challenged us repeatedly
3 on it. I'll let the research people address that
4 because there's a lot more than saying are we
5 comfortable with it or are we not comfortable with it?

6 I think that they need to stand up here as they will
7 as soon as I get down, and they'll start going into
8 detail.

9 MR. BAJOREK: We'll go into that.

10 MR. LANDRY: So if you can hold that, that
11 will be addressed.

12 MEMBER BANERJEE: I guess one point Said is
13 making that it can be divided into two separate
14 issues. One is because the codes share a common
15 ancestry, they can model certain things and capture
16 certain phenomena, but they may not be able to capture
17 others because of that. And it doesn't mean that the
18 phenomena is not important. It may exist in real
19 life. For example, a code might allow you to have
20 cold fluid on top of hot fluid. Now this is based in
21 the structure of these codes because of the way they
22 are.

23 So it doesn't mean that that's right.
24 Obviously, cold fluid will not stay on top of hot
25 fluid, but the codes will all predict that. So that's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the danger of the common ancestry in some way. That
2 within the structure of the model itself, there are
3 shortcomings. And in a way, there's no way around
4 this as long as you stay within this one dimensional
5 framework. There are certain things you can capture
6 and certain things you can't.

7 MR. BAJOREK: The codes have their
8 limitations and their deficiencies. We tend to talk
9 about the momentum equation issue. The one point,
10 though, that I think needs to be made, even though
11 some of the ancestry of these codes date back 30, 40
12 years, they have continually been improved by their
13 assessments against much more recent data, STCF, CCTF,
14 in the late '80s.

15 As we go to some of these advanced plants,
16 the APEX facilities, PUMA, these other facilities
17 which have been designed, built and scaled
18 specifically for the phenomena of these passive
19 plants. That's why these codes have been assessed
20 against that new data, to make sure they aren't going
21 over a cliff or whether those numerics flawed as they
22 might be, give you misleading answers.

23 MEMBER BANERJEE: Steve, it's not the
24 numerics. It's the framework of the model itself.

25 MR. BAJOREK: It's the framework.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: See, what you've got is a
2 tapestry of conservation equations and empirical
3 relationships. What you haven't changed are the set
4 of conservation equations with their limitations in
5 this type of formulation. You've change the empirical
6 relationships there, largely and the solvers have
7 improved a bit, but they're still way behind reality
8 in other fields. So the real problem is that these
9 empirical equations that you have or empirical
10 relationships, surely have gotten better. I think
11 that's really -- but the way you are using them is
12 still somewhat limited by the framework that you've
13 brought. And I think that's the point Said is trying
14 to make, that you're limited in all the frameworks as
15 far as similar and all the people have access to more
16 or less the same experiments, so they've all sort of
17 tuned their empirical relations to fit these
18 experiments.

19 So if you're missing some important
20 phenomena because of that framework, you know, how do
21 you know? And if you look at the details of various
22 experiments and so on, you are missing a lot of
23 phenomena. We know that. Whether they are important
24 or not is a separate issue. But, you know, so this
25 really where we stand with that. But nonetheless, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think Ralph has given you a straight answer on this as
2 to what they're doing without any -- why don't you
3 carry on, Ralph and get to your --

4 MR. LANDRY: Okay, the last slide, in the
5 Office of New Reactors, as I've said, we have been
6 using TRACE as our primary work tool. We have input
7 models for each of the new reactor designs. We're
8 using the code extensively and today we have a high
9 level of comfort with the code. We're very
10 comfortable using it and we rely on it extensively.
11 And with that, I just wanted to put into perspective
12 the Office of New Reactors' view of the code and its
13 use and then let the Office of Research now continue
14 with talking details about the issues that have come
15 up especially with respect to the ESBWR.

16 MEMBER CORRADINI: So from a user need
17 standpoint, where does TRACE applicability end for NRO
18 and another tool begins or do you look at TRACE as the
19 complete tool you'll need for all portions of the
20 advanced light water reactors? I mean, you're the
21 user so I'm asking --

22 MEMBER BANERJEE: He's putting you on the
23 spot.

24 MR. LANDRY: TRACE is the primary tool we
25 use.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: So that means for
2 containment phenomena, TRACE is the primary tool?

3 MR. LANDRY: No, for containment of number
4 of analysis that are being done with MELCOR.

5 MEMBER CORRADINI: But I'm kind of putting
6 you on the spot, but purposely. I mean, if you said
7 to me that TRACE is the necessary tool inside the
8 reactor vessel and I come to some sort of boundary
9 that turns into containment, and that's not where
10 TRACE should do its best. X should do its best there,
11 I understand that, but the way you said it at the end,
12 I -- I heard a fuzzier answer than that.

13 MR. LANDRY: Well, we use other tools
14 besides only TRACE.

15 MEMBER CORRADINI: Right.

16 MR. LANDRY: For example, one of the
17 applicants, one of the vendors, is using a version of
18 RELAP5-3D. The NRC does not have RELAP5-3D. That's a
19 DOE code, but they have told us that their modified
20 version is running in a RELAP5 mod 3 like manner. We
21 don't understand what that is.

22 MEMBER CORRADINI: Neither do I.

23 MR. LANDRY: So we put together a model for
24 their plant and we've run that model with RELAP5-3,
25 RELAP5 mod 3, go to keep these threes and things

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 straight here. We've run it with RELAP5 mod 3 for
2 comparison with their RELAP5-3D like mod 3 mode.
3 There was a feeling of is it truly operating in RELAP5
4 mod 3 like manner? But that was only for that
5 comparison.

6 The other analyses that we're doing for
7 comparative work, though for that plant are being done
8 with the TRACE code. There was another design. They
9 have a version of RELAP5 which we saw events occurring
10 that we didn't believe. So we put together --

11 MEMBER BANERJEE: I think I know where
12 you're going, Mike. Maybe --

13 MEMBER CORRADINI: Is Ralph --

14 MEMBER BANERJEE: Yeah, Ralph is the right
15 person.

16 MEMBER CORRADINI: I think Ralph's the guy.

17 MEMBER BANERJEE: Okay, so I think he's
18 leading into sort of --

19 MR. LANDRY: I'm giving you a awake-up of
20 your topic today.

21 MEMBER BANERJEE: Yeah, GE is using TRACG
22 for everything, okay, more or less. And they have one
23 unified code that they are supporting for instability,
24 for whatever, you know. And we're using this, that
25 and the other and where do the boundaries change and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how do we --

2 MR. LANDRY: We're doing that with TRACE
3 also.

4 MEMBER CORRADINI: But I'll just ask you a
5 pointed question and you don't have to answer it
6 because I want to make sure that you see, because we
7 can go off in many directions. What I guess I'm kind
8 of asking is, you're the user. You have so many
9 shekels to buy a resource. Are you going to spend
10 your shekels on taking TRACE and making it work in
11 containment or are you going to essentially just
12 improve MELCOR so the boundary of the connection
13 between TRACE and MELCOR is clear, defined and you can
14 take yourself forward with audit calculations. That's
15 kind of a nitty gritty way of asking the question.

16 MR. LANDRY: We make an effort to use the
17 best tool available.

18 MEMBER CORRADINI: At any given time.

19 MR. LANDRY: At any given time.

20 MEMBER CORRADINI: Okay, fine.

21 MR. LANDRY: And we using the TRACE for the
22 ESBWR for the LOCA. We're using it for ALOs. We're
23 using it for ATWS. We're using it for stability.

24 VICE CHAIR ABDEL-KHALIK: Well, let me ask
25 you a different kind of question. As a user you say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you have high comfort level with TRACE. And I'm sure
2 you are aware of the details of the assessments study
3 that we will hear about later in which some areas were
4 identified in which TRACE is judged to be less than
5 adequate.

6 Are you, as a user of the code, confident
7 that when you get results after using the code the you
8 get adequate warnings telling you that you have used
9 this code in a situation in which it was determined to
10 be inadequate?

11 MR. LANDRY: Yeah, I think we -- we feel
12 comfortable that the --

13 VICE CHAIR ABDEL-KHALIK: Do you get
14 explicit warnings in the output telling you that you
15 have run this code in a transient and part of the
16 transient falls within the regime in which the code
17 has been judged to be inadequate?

18 MR. LANDRY: If that occurs we get with our
19 colleagues in Research and we discuss our the results
20 reliable here or are they not? We don't just take our
21 analysis at face value.

22 MEMBER BANERJEE: Are you getting warning
23 signs like -- we know for example that in this report
24 that ISL did, they say that there are regions where we
25 recommend sensitivity studies be done because the code

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 does poor prediction, what they call minimal.

2 MR. LANDRY: And we do that.

3 MEMBER BANERJEE: So now, what Said is
4 asking for a general use. Are there sort of flags
5 that tell you, you know, in this region we are now
6 entering a situation where you've got problems and you
7 should do sensitivity studies. Is that built into the
8 quota? Do you have to read by, self-reported and
9 make a list of these areas?

10 MR. LANDRY: A large part of that is the
11 knowledge of the user. The analyst has to understand
12 phenomenologically, what is occurring and what the
13 code is saying is occurring and not just treat it as a
14 black box.

15 MEMBER BANERJEE: I guess there is nothing
16 built into the code telling you that you're getting to
17 some phenomena which is --

18 MR. LANDRY: I can't think of an example
19 where that's occurring.

20 MEMBER BANERJEE: All right, I think that's
21 the answer to your question.

22 MR. LANDRY: Maybe research can but --

23 MR. BAJOREK: There are some correlations
24 where you're going out of bounds will be a warning but
25 I think the short answer is, no, artificial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intelligence has not been built into the use of these
2 codes. At some point, you need to look at the
3 transients, you need to look at results. You need to
4 be aware of the code's shortcomings.

5 MEMBER BANERJEE: Well, because there are
6 clear recommendations in this report from myself,
7 where they tell you, you should do sensitivity
8 analysis because the code is not reliable at minimum.

9 You know, it says that straight out. And it should
10 be in some user's guide somewhere, you know, because
11 otherwise you have to read this report, which even I
12 have a hard time reading. Imagine some poor user
13 trying to read it.

14 VICE CHAIR ABDEL-KHALIK: Yeah, or some new
15 staff member using the code. You're essentially
16 assuming that this sort of institutional memory will
17 be somehow automatically transferred to these young
18 users and/or they'll go ahead and read that detailed
19 assessment report that would allow them to find out
20 whether or not you know, they have used the code in
21 some part of the transient in which it has been judged
22 to be inadequate.

23 MR. LANDRY: We don't give the code just to
24 a new user. We train the people. The people are
25 trained by research. We've -- we never have a new

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 analyst sit and work with the code alone. They're
2 always with somebody looking over their shoulder.

3 VICE CHAIR ABDEL-KHALIK: I assure you that
4 if you get the most experienced analyst you have in
5 NRO, and have him run the code, that they would not be
6 aware of all -- each and every warning or constraint
7 that is included in that assessment report.

8 MR. LANDRY: No, and we don't operate
9 totally independently of the Office of Research
10 either. We operate very closely with our colleagues
11 in Research. We are a separate office, but we don't
12 operate as though we're miles apart even though they
13 are way up in the north country now.

14 MEMBER SHACK: They're allowed any code for
15 anything that you'd trust to give to somebody and let
16 them rip?

17 MEMBER POWERS: I'd give them MELCOR.

18 (Laughter)

19 VICE CHAIR ABDEL-KHALIK: Dana, you're
20 biased. I think we are sort of slightly over time
21 limit, so we should move on. So, thank you very much,
22 Ralph, and I'm going to turn this back to Chris now.
23 Is that Joe going to come up now? Okay.

24 MR. STAUDENMEIER: Okay, with this
25 presentation, I'm going to try to give an overview in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the open part of the meeting of the process we went
2 through for TRACE applicability. I won't be able to
3 get into details that will lead to proprietary
4 conversations but hopefully it will give a flavor to
5 everybody who can't stay for the closed part of the
6 meeting and that's the process we go through and what
7 we go through in determining that the code is
8 applicable.

9 The first thing we do is look at design
10 features of the plant, when we're looking at code
11 applicability. For ESBWR it has the classic OBWR ECCS
12 safety system strategy, isolate reactors on leak
13 indications, activate ADS on low level signals or low
14 inventory signals and then try to depressure the plant
15 in a controlled manner to get to low pressure
16 injection.

17 In the ESBWR there's no large liquid
18 breaks in this plant like there are in operating jet
19 pump plants which have the large recirculation plant
20 down along the vessels there is no real large liquid
21 break in this point to worry about. And as a result
22 of that, there's no fuel cladding heat-up during any
23 of the design basis LOCAs.

24 Unique safety system features of ESBWR has
25 a gravity-driven cooling system instead of a pump

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cooling system and passive containment cooling system
2 for long-term DKE removal. As part our ESBWR ECCS
3 research program, we did a small amount of TRACE model
4 development to add features we thought we needed in
5 order to model the ESBWR. We performed a large amount
6 of assessment. Some of the assessment was performed
7 just for the base code that's applicable to all the
8 plants and we developed a report to evaluate the
9 assessment of the code and both integral and separate
10 effects to determine that we were covering the
11 conditions and the assessment was applicable to give
12 us confidence that we're able to predict LOCAs in
13 ESBWR.

14 And we also have a small confirmatory
15 testing program that we called PUMA-E. It was a
16 modification of our PUMA test facility which was
17 originally a SBWR test facility. We did some
18 modifications to make it more applicable to ESBWR.
19 The document that kind of pulls all this together is
20 a document that we're calling Adequacy of TRACE
21 Version 5.0 for Simulating ESBWR Loss-of-Coolant
22 Accidents. It was -- the work was done by a
23 contractor pulling together all the assessments,
24 reviewing documentation and putting this all into one
25 report.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 As a part of this, you have to determine
2 what's important in calculating this plant. That's
3 our process, that's been a tried and true process that
4 we've applied when looking at applicability of codes
5 to different power plants, review the TRACE code
6 documentation to see what models are in the code and
7 if they are applicable to the range of conditions that
8 are going to appear in this plant.

9 Development of a consistent modeling
10 approach for the plant analysis and test facilities to
11 make sure you do assessments. They'll look good
12 against the test data and make sure you're modeling
13 the plant in an manner consistent with how you model
14 the test facilities. We perform lots of TRACE code
15 assessments against experimental data, analyze those
16 and then as Ralph said, we also provide user
17 guidelines and cautions for using TRACE for ESBWR
18 applications.

19 MEMBER BANERJEE: Let me ask you a
20 question. I mean, you sort of partially did a CSAU
21 like methodology here but did I miss something related
22 to the uncertainties in the report or is there a
23 prompted in with uncertainty in prediction of your
24 figure of merit?

25 MR. STAUDENMEIER: There's not a formal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 uncertainty analysis for work in CSAU but we -- the
2 parameters that we do think there are uncertainties in
3 we'll do calculations to range them to see what the
4 impact of it is, and I have one example of that and --

5 MEMBER BANERJEE: Well, you didn't put it
6 all systematically together and say, you know, the
7 predictions for your figure of merit are --

8 MR. STAUDENMEIER: No, we haven't done
9 that.

10 MEMBER BANERJEE: Okay. And also if I
11 recall, you've got a very large number of important
12 phenomena in your approach and there was some talk
13 from actually Tom Fletcher that you know, this should
14 be probably narrowed down in some way. Of course, I
15 don't recall how many but it was 400 or something?

16 MR. STAUDENMEIER: Yeah, I thought it was
17 narrowed down to a hundred and some --

18 MEMBER BANERJEE: Yeah, even then it was
19 rather large.

20 MR. STAUDENMEIER: Yeah, it's still large
21 and what are really important, the number, I think is
22 far less than that, but, yeah, it's something that
23 would really need to be narrowed down.

24 MEMBER BANERJEE: So, would you say this
25 report is like sort of a final document or does it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 still need some more work?

2 MR. STAUDENMEIER: Well, we do need to make
3 some revisions to the document. If you recall in the
4 meeting there were some PUMA calculations that needed
5 to be updated to a later version that came about after
6 the report was done and --

7 MEMBER BANERJEE: And that's been done.
8 Are you going to show us that?

9 MR. STAUDENMEIER: That hasn't been
10 finished yet, but --

11 MEMBER BANERJEE: Are you going to show us
12 some comparisons with that?

13 MR. STAUDENMEIER: I have a comparison in
14 the --

15 MEMBER BANERJEE: With PUMA-E, right?

16 MR. STAUDENMEIER: I don't have a PUMA-E
17 comparison yet, but that will be done.

18 MEMBER BANERJEE: Because if recall, all
19 your comparisons were with the PUMA experiments that
20 were done at the end of the ESBWR program.

21 MR. STAUDENMEIER: That's correct.

22 MEMBER BANERJEE: And a lot of those had
23 faulty instrumentation, off of range and things like
24 that. So we have a whole lot of stuff with --

25 MR. STAUDENMEIER: There were some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 instruments out of range. I don't --

2 MEMBER BANERJEE: Yeah, okay.

3 VICE CHAIR ABDEL-KHALIK: Does the
4 assessment include the ability of the code to model
5 any non-condensable gasses trapped within the lines?

6 MR. STAUDENMEIER: We don't have any
7 assessments specifically dealing with trapping non-
8 condensables. There is a possibility of non-
9 condensables to be trapped in the experiments, so if
10 it would happen, then in the experiment we would be
11 comparing to the experimental results where they were
12 trapped at that time.

13 VICE CHAIR ABDEL-KHALIK: But so far, this
14 has not been done because there are no experiments.
15 Is that what you're telling me?

16 MR. STAUDENMEIER: Well, we have
17 experiments with ECCS lines that drain into the
18 facility and have places where non-condensables could
19 be trapped. We didn't specifically try to trap non-
20 condensables in the line and see what happened when
21 they drained out.

22 VICE CHAIR ABDEL-KHALIK: So let me ask the
23 question again. Has this assessment included an
24 assessment of whether or not the code can adequately
25 model the performance of the gravity driven cooling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 system in the presence of non-condensable gasses in
2 the lines?

3 MR. STAUDENMEIER: If non-condensable
4 gasses go in the lines, they're going in the lines
5 during the experiment and the code is modeling or
6 trying to model what the experiment does. As I said,
7 we didn't specifically try to trap them there. But if
8 it happened in the test facilities, it happened and we
9 try to calculate that as best we can.

10 MEMBER CORRADINI: Let me turn the question
11 around, though. I think I know where Said is going
12 but let me turn the question around. I'm not sure if
13 you were here when we've had the ESBWR subcommittee
14 meetings with the applicant but one of their
15 outstanding items which I think they're somewhere in
16 the process of delivering to staff is if the GDCS path
17 which isn't supposed to, from the GDCS to the vessel,
18 happens to have a plug of gas somewhere, how long will
19 it take to clear or will it clear at all or how is the
20 flow rate reduced from the flow. And we're waiting to
21 hear how GE because they tried to track G calculation
22 and we weren't satisfied. I guess that's the way it
23 is.

24 What I'm asking is, if, as you as staff
25 and an NRO will come in as a user need and say, "Okay,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Research, we need help with the highly confident TRACE
2 code that we want to use", can it do that calculation
3 to somebody's satisfaction, eventually ours because if
4 I'm not happy -- to be blunt, when we have the
5 subcommittee meeting and I get the one from GE and I
6 don't like it, I'm going to turn to staff and say,
7 "What do you have that's better?" Is TRACE what's
8 better?

9 MEMBER BANERJEE: I mean, this is a generic
10 safety issue, right?

11 MEMBER CORRADINI: I mean, I picked the
12 ESBWR but that's not the only one. We could go to the
13 CMTs or the AP-1000. We can go to any sort of passive
14 drainage system and this is kind of the thing that
15 keeps on popping up and given low heads, you want to
16 be clear that the drainage time and the flow rate is
17 not severely adversely effected. And I guess I'm
18 asking practically from a user need standpoint, can
19 TRACE do this calculation?

20 MR. STAUDENMEIER: I think it could do the
21 calculation. To really be confident, I think you'd
22 need to specifically pull out or perform tests to show
23 trapped gas purpose in the test and see --

24 MEMBER BANERJEE: Joe, there are
25 experiments already in this area. It's clear that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. STAUDENMEIER: No, it's really geometry
2 specific. So you can't -- I don't think you can have
3 generic experiments and --

4 MEMBER BANERJEE: Well, it's more than
5 that. It's that at elbows, which is the real issue,
6 you know, if you have a -- say a horizontal run and a
7 vertical run or something, it's the elbow which
8 becomes the limiting factor here. And you find that
9 it floods. You know, you get full limitations earlier
10 in that situation and if that happens, of course, your
11 ability to deliver liquid goes down. And I guess
12 that's the question that they're asking. If you have
13 non-condensibles and they get trapped near elbows, do
14 they actually give you problems with delivery of your
15 GDTCS injection and can you model that? You'd
16 probably have to put a specific flooding correlation
17 in that. In that way you could probably do it. I
18 think it can be done. It's probably not done in the
19 code currently.

20 But this question came up in our
21 subcommittee meeting, too. I think Said or somebody
22 asked this specifically, because it had come up in the
23 ESBWR meeting. So I think we know that you haven't
24 done anything.

25 MR. BAJOREK: I mean most of the work that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we've done with the non-condensibles is looking at its
2 effect on the condensation process. There's a number
3 of tests in there to take a look at its effect on
4 condensation. There are some of the data from I think
5 it's PANDA and some of the integral tests where we
6 somewhat dance around the distribution in a large
7 tank, okay, and how quickly it gets swept into that.
8 But I think what you're really going after is this
9 trapping of gasses in the horizontal safety injection
10 lines.

11 MEMBER CORRADINI: Or just the -- but I'll
12 give you a big picture. I'm back to Ralph, as the
13 user, who has a need. Does he have high confidence in
14 TRACE predicting the level in the vessel during the
15 DBAs? And one of the reasons that this question comes
16 up is, as I start losing inventory, I have to make up
17 inventory. Is TRACE -- or is -- are we confident as
18 to the rate at which the GDCS is making up inventory
19 so that we've got a good prediction of where the water
20 level is relative to the core?

21 That's it in a nutshell. I really don't
22 care where the bubble goes, as long as there's enough
23 water above the core. But that is a mechanism that
24 could kind of clod up the whole situation.

25 MR. BAJOREK: I think in most of those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 integral tests that's one of the critical parameters
2 we tried to compare, how much flow are we getting from
3 the DVI line, the DDCS.

4 MEMBER BANERJEE: But without a non-
5 condensible bubble.

6 MR. BAJOREK: But without the non-
7 condensible bubble.

8 MEMBER BANERJEE: Well, the problem really
9 is this, basically these calculations are very simple.

10 You've got some flow coming in and a hole there. The
11 hole, you don't know what's going out, so you're sort
12 of parametrically surveying it. So all you want to
13 show is that when you parametrically survey different
14 flow rates out of your hole, that you have enough flow
15 coming in to keep the level up. Of course, if your
16 flow goes down, eventually, the level will uncover the
17 core. So it's as simple as that.

18 If your delivery goes down by a factor of
19 two, you'll probably end up uncovering the core. So
20 that's the issue. I mean, it's just a mass balance,
21 the whole thing, which is a very simple calculation to
22 do, which is why your scaling analysis boils the whole
23 thing down to four or five equations if you look at
24 it, and they predict everything almost correctly. I
25 looked at it. And we did the same thing for AP-600.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It's pretty straightforward, really. Anyway, carry
2 on.

3 MR. STAUDENMEIER: As one final comment on
4 that, there are line losses specified in the GDSCS
5 lines in the plant so that flow rate isn't very high
6 going in. I mean, if you took those line losses that
7 are specified out of the import, the vessel would fill
8 up much faster than it would, so best estimate
9 prediction of that without any orifice in the line
10 would show a lot faster filling of the vessel and if
11 you look at the design basis accidents, there really
12 is no way to get non-condensibles in the vessel and up
13 the line before you get GDCS injection started.

14 VICE CHAIR ABDEL-KHALIK: So they can track
15 a non-condensable gas between the squib valves, just
16 depending on how we start up the plant.

17 MR. STAUDENMEIER: Oh, yeah, if it was in
18 there ahead of time?

19 VICE CHAIR ABDEL-KHALIK: That's what I was
20 saying, yeah.

21 MEMBER BANERJEE: That's really the issue.

22 VICE CHAIR ABDEL-KHALIK: So the question
23 really is if you're cognizant of the fact that the
24 applicant has been asked these questions during the
25 ESBWR discussions, and if you are cognizant of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 fact that the Applicant is trying very hard to
2 evaluate this issue, why aren't you ahead of the
3 curve?

4 MR. STAUDENMEIER: I guess one answer is we
5 provided some data or pointed out some data where you
6 are filling or draining a tank into an empty vessel
7 where gas can get up into the line but that's -- we
8 didn't do any specific testing to evaluate it.

9 MEMBER BANERJEE: Joe, we're running way
10 behind, so let's move on.

11 MR. STAUDENMEIER: Okay.

12 MEMBER BANERJEE: Otherwise we'll be here
13 till -- and my Chairman there will throw me out.

14 MR. STAUDENMEIER: This is just kind of a
15 diagram of our adequacy determination process. Look
16 at knowledge you have, let's get enough. Do you have
17 applicable data? Knowledge of physics, what's important
18 and go through this whole process to determine, see if
19 the code is applicable to do these calculations.

20 Smaller development for ESBWR, the only
21 model development we did was put a new film
22 condensation model into the code, treats pure steam
23 and mixtures of non-condensable gas in steam and it's
24 applicable to PCCS, ICS tubes and containment walls.
25 Assessment, first of all, we have assessment common to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all reactors, separate effects void fraction, heat
2 transfer, et cetera. That's document at our separate
3 effects test manual. It's available in ADAMS. All
4 our manuals are available in ADAMS.

5 Specific assessment for a film
6 condensation component test, GE full scale PCCS and
7 ICS tests. And integral tests applicable to ESBWR.
8 Our PUMA-E integral testing for ESBWR it's designed as
9 study system interactions of the ESBWR safety systems.

10 This is kind of a drawing of what PUMA looks like.
11 It's actually a lot more -- if you've actually been
12 there, it's not as open as it looks in this picture.
13 There's other things and structures holding it all up
14 that make it a little hard to get around.

15 And as a result of the PUMA-E testing, we
16 think the ESBWR and SBWR behavior is qualitatively the
17 same PUMA-E tests and PUMA SBWR test behaved in the
18 same sort of way we think we understand the behavior
19 of the safety systems.

20 MEMBER CORRADINI: So even though we're not
21 going to see the details of that, the last thing you
22 said, your evaluation of the calculations relative to
23 PUMA-E will make it seem reasonable? I mean, I
24 thought Sanjo's questions earlier we were going to see
25 the PUMA-E results and I thought your answer was no,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and I --

2 MR. STAUDENMEIER: I have a couple of PUMA-
3 E results to show.

4 MEMBER CORRADINI: Okay, excuse me.

5 MR. STAUDENMEIER: We don't have TRACE
6 assessment. ESBWR ECCS calculations, we performed
7 calculations for a range of break sizes and locations
8 from the top of the vessel, the steam line break,
9 which is a fairly large steam break, down to the
10 lowest elevation bottom drain line break, which is a
11 liquid break. Performed sensitivity calculations to
12 examine the effect of model deficiencies and
13 uncertainties and concluded a calculated response of
14 the ESBWR ECCS is predicible and consistent with
15 integral test results.

16 And by predictable I mean, things are
17 understandable. They go in one direction. There's no
18 funny cliffs or things like that, that we can fall off
19 of or no oscillations or out of expected behavior.
20 That should be predictable and it is acting
21 consistently with our tests as expected.

22 Conclusions, calculated performance and
23 response, ESBWR ECCS is predictable and consistent
24 with integral test results and TRACE is adequate as an
25 audit tool for analyzing the ESBWR ECCS system

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response. Now, one thing I'd also like to add, in
2 cases where we don't think TRACE is applicable, there
3 are studies that are done with CFD to supplement our
4 system codes or experimental -- we'd want to take
5 experimental data, so we don't just say TRACE is good
6 for everything. We look for situations that we don't
7 think it's giving good predictions or maybe cases
8 where we need to back up the predictions by something
9 more detailed and in that case we have done CFD
10 analysis where we think it's applicable.

11 MEMBER CORRADINI: What are two or three
12 example of that?

13 MR. STAUDENMEIER: Well, for ESBW -- well,
14 for ESBWR there's something looking at mixing in the
15 downcomer under shutdown conditions and looking at by-
16 pass of cooling flow coming in and then going back out
17 just because of the way the pipes are located to see
18 if you're bypassing too much of the RHR cooling flow
19 to make sure you're keeping the reactor cool during
20 shutdown or CFD calculations done to evaluate that
21 situation.

22 MEMBER CORRADINI: So those are the two key
23 ones?

24 MR. STAUDENMEIER: That's one for ESBWR
25 that I am aware of for -- I mean, generally it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 situations of mixing or flow in open regions where CFD
2 is done that it's largely single-phase flow. We
3 haven't done two-phase. There was one case in a
4 chimney I think where a two-phase calculation was
5 done.

6 MEMBER CORRADINI: Well, I mean, I'm not
7 going to disagree with you because I'm trying through
8 cruise back to the report to catch up on certain other
9 things, but I guess your two examples are reactor
10 vessel like which makes me feel good, because I expect
11 that's where TRACE -- but yet in the ISL assessment,
12 their examples of where they're concerned are all
13 containment modeling issues. So there's nothing in
14 containment that you feel that TRACE needs to be
15 backed up by something else?

16 MR. STAUDENMEIER: Well, in the next
17 presentation I'll show it's backed up by what we think
18 is a bounding calculation for containment back
19 pressure.

20 MEMBER CORRADINI: Okay, fine.

21 MEMBER BANERJEE: Now, TRACE is supposed to
22 be operated like a best estimate code, right?

23 MR. STAUDENMEIER: That's one mode of
24 operation, probably the most vitally used mode of
25 operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BANERJEE: Yeah, in which case you
2 do need to have an evaluation of uncertainties but do
3 you model uncertainties due to input uncertainties?

4 MR. STAUDENMEIER: And I mean, there are
5 input bounding assumptions that can be made like flow
6 rate at a pressure specified for a relief valve or
7 something like that.

8 MEMBER BANERJEE: Right, but you have model
9 uncertainties like your condensation rate on the GDSC
10 pool surface is too high. Clearly, the non-
11 condensibles that build up there and prevent you know,
12 which the steam has to diffuse through the non-
13 condensibles being heavier, you know, give you
14 uncertainties as to what the temperature of the DGCS
15 pool should be.

16 You know, you predict a higher temperature
17 or slightly than is there. So there re a lot of model
18 uncertainties as well and I haven't seen a systematic
19 evaluation. Even though that report does do quite a
20 bit of sensitivity analysis, nowhere is it all put
21 together and, you know, say, "This is what we expect,
22 this is amount of uncertainty. This is due to input,
23 this is due to the models". That would give me a much
24 more comfortable feeling about the code. I mean, it
25 can't be all things but at least we should know what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the uncertainties are.

2 And that's sort of missing. And it's
3 there in some implicit ways if you read carefully but
4 it's not all put together somewhere.

5 MEMBER APOSTOLAKIS: Are there any plans to
6 do this?

7 MEMBER BANERJEE: That's what I was asking.

8 MR. BAJOREK: Yes, right now, TRACE, I'll
9 refer to it as a -- we try to treat it as a realistic
10 code, but then full best estimate treatment would mean
11 going through, looking at the PIRT, ranging all of the
12 uncertainty parameters. We have started that work.
13 We're looking at doing that for conventional plants
14 and also making the methodology as such that we could
15 extend it to the passive plants, but we are not there
16 yet. We've just gotten started with that.

17 MEMBER BANERJEE: Okay, I think we can move
18 on to closing the session then. We're running behind
19 time, so this is -- I guess is anybody --

20 MEMBER CORRADINI: Anybody that is now here
21 that should not be here, please leave; is that what
22 you're saying.

23 MEMBER BANERJEE: Yeah. Those who are not
24 GE or NRC.

25 (Recessed to move to closed session.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

BEAVER VALLEY POWER STATION

License Renewal Application



FENOC
Presentation to
ACRS

July 8, 2009

FENOC

FirstEnergy Nuclear Operating Company

Introductions

- **Pete Sena, Site Vice-President**
- **Mark Manoleras, Site Engineering Director**
- **Cliff Custer, License Renewal Project Manager**
- **John Thomas, Project Technical Lead**
- **Site Subject Matter Experts and members of the LRA core team**



Agenda

- **Site Description**
- **License Renewal Project**
- **Open Item Resolution - Inaccessible Medium-Voltage Cables**
- **Subcommittee Follow-Up Items**
 - Recent OE: MRP-146 Inspections
 - Containment Liner
- **Summary**

Site Description

- **Two unit , 3-Loop, nominal 2900 MW_{th} Westinghouse PWR**
- **17 miles west of McCandless, PA, on the Ohio River**
- **Owned/operated - Ohio Edison and Toledo Edison / FirstEnergy Nuclear Generation Group**
- **BV-1 Commercial in 1976; BV-2 in 1987**



License Renewal Project

- **BVPS core team remained engaged with industry and NRC**
- **Independent assessments by industry panel, site QA, peer review group, and FENOC Corporate Nuclear Review Board**
- **Methodology consistent with NEI 95-10**
- **Project intent to maximize GALL consistency**
 - 91.8% of AMR line items used notes A-E (GALL consistent)



Open Item Resolution

Inaccessible Medium-Voltage Cables

- **Open Item 3.0.3.1.11-1 is Closed**
- **AMP consistent with GALL**
- **New commitment:**
 - Methodology to demonstrate cables will continue to perform their intended function,
-or-
 - Minimize exposure to significant moisture,
-or-
 - Replacement of cables


Subcommittee Follow-Up Item

Recent OE: MRP-146 Inspections

- **Inspections per FENOC LR Commitment No. 31**
- **13 BV-1 piping locations “screened-in” and examined during 1R19 (Spring 2009)**
- **NDE indications on 2" diameter RCS "A" loop drain line**
- **Evaluation probable cause “Thermal Fatigue”**
 - Metallurgical confirmation pending
- **Replaced the pipe containing the indication**



Subcommittee Follow-Up Item



BV-1 Containment Construction



FirstEnergy Nuclear Operating Company

Subcommittee Follow-Up Item

Containment Liner Design

- **Carbon steel liner; nominal thickness: 1/4 in. floor, 3/8 in. wall (cylinder), 1/2 in. dome.**
- **“Insert” plates (5/8 in. to 1-1/2 in. thick) have separate studs to transfer large component loads.**
- **“Overlay” plates (3/8 in. to 5/8 in. thick) are welded to liner over sufficient liner studs to transfer lighter loads.**
- **Penetrations transfer loads directly to concrete in wall.**



Subcommittee Follow-Up Item

Containment Liner - 2006

- **During 1R17 concrete removal by hydro-demolition exposed back side of liner during creation of opening for S/G replacement**
- **Three areas of corrosion were found on the concrete side of the exposed liner**

Subcommittee Follow-Up Item

Containment Liner OE – 2009

- **IWE visual inspection identified paint blister with rusting**
- **Cleaning revealed primer coat blistering and a small through-wall flaw (1 in. x 3/8 in.)**
- **UT exams determined extent of corrosion around the flaw (approx. 2 in. x 5 in.)**

Subcommittee Follow-Up Item

Containment Liner OE – 2009 (Cont)

- **Wood found embedded in concrete immediately behind liner**
- **Lab analysis confirmed moisture in wood**
- **Corrosion attributed to foreign material (wood) in contact with liner in presence of moisture**
- **Concrete found in good condition**
- **Replaced affected section of liner**

Subcommittee Follow-Up Item

Containment Liner - 2009

- **Corrective Actions**

- Follow-up UT of replaced area in next Unit 1 refueling outage.
- IWE Visual examinations
 - Next BV-1&2 Refueling Outages
 - Normally scheduled IWE exams for the following outage
- Supplemental volumetric examinations will be performed on both Unit's containment liners prior to the period of extended operation. If degradation is identified, the degraded area(s) will be evaluated and follow-up examinations will be performed to ensure the continued reliability of the containment liner.



Closing Remarks

Aging management programs and related commitments provide reasonable assurance that aging will be managed such that SSCs will continue to perform their intended functions during the period of extended operation.



Beaver Valley License Renewal



FENOC

FirstEnergy Nuclear Operating Company



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Advisory Committee on Reactor Safeguards (ACRS) License Renewal Full Committee

Beaver Valley Power Station, Units 1 and 2 Safety Evaluation Report

July 8, 2009

Kent Howard, Project Manager
Office of Nuclear Reactor Regulation

- License Renewal Application (LRA) submitted August 27, 2007
- Westinghouse 3-Loop – PWR
- 2900 megawatt-thermal, each unit
- Operating license DPR-66 (Unit 1) expires January 29, 2016
- Operating license NPF-73 (Unit 2) expires May 27, 2027
- Located approximately 17 miles west of McCandless, PA

Recap of February 2009 ACRS sub-committee meeting

- SER with open item issued January 9, 2009
- One (1) Open Item
- No Confirmatory Items
- 249 RAIs Issued
- 31 Commitments (Unit 1)
- 32 Commitments (Unit 2)

Summary of February 2009 ACRS sub-committee meeting follow-up items

- **Inaccessible Medium Voltage Cable**
 - Open Item 3.0.3.1.11-1
 - Suitability of cables for submergence

- **Containment Liner**
 - Function of the containment liner
 - Evidence of corrosion

- **Boral**
 - New program, submitted after issuance of SER w/ Open Item

- **Metal Fatigue/Cycle Count Histograms**
 - Questions on methodology used to count Unit 1 transients

Subsequent to sub-committee meeting

- 6 additional RAIs were issued
- Resolved Open Item 3.0.3.1.11-1 related to Inaccessible Medium-Voltage Cables
- Additional commitment added for Unit 1 and Unit 2
- Recent containment liner issue was addressed in Final SER which was issued on June 8, 2009

Section 3: Aging Management Review Results

Open Item 3.0.3.1.11-1

- Staff was concerned that inaccessible medium-voltage cables that have been submerged for a period of time may be degraded and may not perform their intended function during the period of extended operation.

Section 3: Aging Management Review Results

- Resolution
 - At Subcommittee meeting, the applicant had plant-specific AMP, Inaccessible Medium-Voltage cables.
 - Program was revised to be consistent with GALL XI.E3

Section 3: Aging Management Review Results

Commitment #11 (Unit 1)/Commitment #12 (Unit 2)

- (1) Adopt an acceptable methodology that demonstrates cables will continue to perform their intended function, OR;
- (2) Implement measures to minimize cable exposure to significant moisture through dewatering manholes, OR;
- (3) Replace the in-scope, continuously submerged medium-voltage cables with cables designed for submerged service.

Section 3: Aging Management Review Results

- Boral
 - Boral Surveillance Program AMP (Unit 1) (B.2.43) added to LRA.
 - The new program was evaluated by NRC staff and determined that the applicant demonstrated that the effects of aging will be adequately managed as required by 10 CFR 54.21(a)(3)

Section 3: Aging Management Review Results

- **Containment Liner Issue**
 - On April 23, 2009, during a scheduled Unit 1 IWE inspection, a paint blister was discovered on the containment liner, revealing through-wall corrosion.
 - Staff issued RAI B.2.3-4 on May 7, 2009 requesting the applicant explain how the recent plant specific operating experience would be incorporated into the IWE AMP.

Section 3: Aging Management Review Results

Actions Taken to Address Issue

Unit	Date	Activity
2	Next Outage	100% visual exam of liner plate
1	Next Outage	100% visual exam of liner plate
1	Next Outage	UT repaired area
2	Subsequent Outage	Scheduled IWE visual examination of liner plate
1	Subsequent Outage	Scheduled IWE visual examination of liner plate
1	Prior to start of PEO	Volumetric exam of 75 1' x 1' areas of liner plate to ensure 95% confidence level
2	Prior to start of PEO	Volumetric exam of 75 1' x 1' areas of liner plate to ensure 95% confidence level



License Renewal Inspections

Dr. Ronald Bellamy

Region I DRP Branch Chief

Medium Voltage Submerged Cables and Containment Liner

Medium Voltage Submerged Cables

- Regional Inspection in June 2009
- Inspection identified safety related cables were not qualified for *continuous* submerged conditions
- FENOC took immediate & long term corrective actions
- Results will be documented in next Resident inspection report

Containment Liner

- Regional Specialist on site during spring 2009 Unit 1 outage. Inspection Report 2009-006 discusses acceptability of liner repair

Section 4: Time-Limited Aging Analyses

4.3 Metal Fatigue

- 2003 Cycle counts
 - Conservative results from a previous Westinghouse analysis
- 2009 Reconstitution of cycles
 - Addressed heatups (cooldowns) for each unit
 - Covered entire plant operating history
 - Utilized monthly operating reports and control room data
- NRC staff review (audit)
 - Covered applicant's analysis of data from 1996 and 1997, when the new cycle counts were reduced
 - No issues identified with applicant's approach

Conclusion

- On the basis of its review, the staff determines that the requirements of 10 CFR 54.29(a) have been met.



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Questions

License Conditions

- The first license condition requires the applicant to include the UFSAR supplement required by 10 CFR 54.21(d) in the UFSAR update, as required by 10 CFR 50.71(e), following the issuance of the renewed license.
- The second license condition requires future activities identified in the UFSAR supplement to be completed prior to the period of extended operation with the exceptions as follows: For BVPS-1: UFSAR Supplement Commitments 20, 24, 29, and 31. For BVPS-2: UFSAR Supplement Commitments 22, 28, and 32.
- The third license condition requires that all capsules in the reactor vessel that are removed and tested meet the requirements of American Society for Testing and Materials (ASTM) E 185-82 to the extent practicable for the configuration of the specimens in the capsule. Any changes to the capsule withdrawal schedule, including spare capsules, must be approved by the staff prior to implementation.



Discussion of Regulatory Guide 1.100 Revision 3

Seismic Qualification of Electrical and Active Mechanical Equipment and Functional Qualification of Active Mechanical Equipment For Nuclear Power Plants

ACRS Meeting: July 8th, 2009

Presented by John Burke
Division of Engineering
Office of Nuclear Regulatory Research

Agenda

- Introduction of RG 1.100 Revision 3
- Background
- Significant Changes from Revision 2
- Items of interest

Introduction

- All electrical and active mechanical equipment important to safety for nuclear power plants must be seismically qualified. (10CFR50 Appendix A, GDC 2, 10CFR50 Appendix B Criterion III, and 10CFR50 Appendix S)
- Two standards have been prepared by industry to provide methods for meeting the seismic qualification of equipment regulations. The latest editions of these standards are:
 - IEEE Std 344-2004 “IEEE Recommended Practice for Seismic Qualification of Class 1E Equipment for Nuclear Power Generating Stations”
 - ASME QME-1-2007 “Qualification of Active Mechanical Equipment Used in Nuclear Power Plants”

Background

Regulatory Guide (RG) 1.100 Revision 2, June 1988, “Seismic Qualification of Electrical and Active Mechanical Equipment and Mechanical Equipment For Nuclear Power Plants” described methods that the NRC staff considered acceptable for use in the seismic qualification of electrical and mechanical equipment for nuclear power plants and endorsed IEEE Std 344-1987 with restrictions and clarifications.

Background

- RG 1.148, “Functional Specification for Active Valve Assemblies in Systems Important to Safety in Nuclear Power Plants” was approved in March 1981. It described methods that the NRC staff considered acceptable for use in the functional qualification of active mechanical equipment for nuclear power plants.
- This guide endorsed American National Standards Institute (ANSI) N278.1–1975, “Self-Operated and Power-Operated Safety-Related Valves Functional Specification Standard.”
- ASME QME-1 replaced the ANSI N278.1 standard in 1994.

Background


- In 2007, NRC initiated the update of RG 1.100, Rev. 2 “Seismic Qualification of Electric and Mechanical Equipment for Nuclear Power Plants.”
- Draft Guide-1175 (Rev. 3 of RG 1.100) endorses IEEE Std 344-2004 and the ASME QME-1-2007 with exceptions and clarifications.
- This is the first time an ASME QME-1 standard is being endorsed.

Differences between Rev. 2 and Rev. 3

- RG 1.100 Rev.3 encompasses both seismic qualification of electrical and active mechanical equipment and functional qualification of active mechanical equipment.
- RG 1.100 Rev.3 expands the regulatory guidance on using earthquake experience-based methods for seismic qualification.
- Guidance was added for seismic qualification of high-frequency sensitive equipment.
- The RG incorporated input from NRR, NRO, and NMSS.

Major Changes

RG 1.100 Rev.3 encompasses both seismic qualification and functional qualification of mechanical equipment



Major Changes

RG 1.100 Rev. 3 endorsed, with exceptions and clarifications, latest industry standards IEEE Std. 344-2004 and ASME QME-1-2007

- Licensees/Applicants would have one NRC guidance document on the use of the latest industry standards for seismic qualification of equipment.
- Regulatory efficiency would be improved by reducing uncertainty on what is acceptable and by encouraging consistency in the seismic qualification of electric and active mechanical equipment and the functional qualification of active mechanical equipment.

Major Changes

RG 1.100 Rev.3 addresses both seismic qualification and functional qualification of mechanical equipment

- This revision endorses ASME QME-1-2007, and incorporates the lessons-learned and operating experience of active mechanical equipment, for functional qualification.
- The NRC staff plans to withdraw RG 1.148 when RG 1.100 Rev. 3 is issued.

Major Changes

RG 1.100 Rev.3 expands the regulatory guidance on use of experience-based methods

- In RG 1.100 Rev 2, the staff's position was that the use of experience-based methods will be subjected to review and approval.
- Major changes in latest IEEE Std 344 and ASME QME-1 revision included update and expansion of criteria and procedures describing the use of experience-based methods.
- The staff finds that experience-based methods would be acceptable if similarity can be established with respect to seismic excitation, physical, functional, and dynamic characteristics among the member items in a reference equipment class as well as between equipment in the experience database and those to be seismically qualified.
- As delineated in the General Staff Position 1.1.1.b and 1.2.1.d in RG1.100 Rev.3, the use of experience-based method for seismic qualification of equipment will be subject to review by the NRC staff.

Major Changes

- Guidance for qualification of equipment sensitive to high frequency excitation was updated to be consistent with COL/DC-ISG-1 "Interim Staff Guidance on Seismic Issues Associated with High Frequency Ground Motion in Design Certification and Combined License Applications".

Public Comment Period

- Formal public comment period: May 27, 2008 to July 11, 2008.
- Last set of comments were received on September 8, 2008
- 84 comments were received:

IEEE Nuclear Power Engineering Committee: 33

ASME Nuclear Codes and Standard Committee: 4

Nuclear Energy Institute: 22

Nuclear Utility Group on Equipment Qualification: 5

Dominion: 6

Westinghouse Electric Company: 13

Duke Energy Carolinas: 1 – endorsed NEI comments

Public Comment Resolution

- A Public meeting was held on December 9th, 2008 to address the comments.
- Industry representatives from IEEE Nuclear Power Engineering Committee, Nuclear Energy Institute and Nuclear Utility Group on Equipment Qualification participated.

Comments Resolved

Functional Qualification of Active Mechanical Equipment

“DG1175 (RG1.100) may overlap with RG1.148 “Functional Specification for Active Valve Assemblies in Systems Important to Safety in Nuclear Power Plants”, which endorsed ANSI N278.1-1975.”

Discussion

- The discussion in the Background section of the RG was revised to clarify why the two RGs are being combined
- The NRC staff plans to withdraw RG 1.148 when RG 1.100 Rev. 3 is issued.

Comments Resolved

ASME requests that use of experience-based methods used for USI A-46 be allowed and accepted for new plants.

The experience-based seismic qualification methods have been developed and used by the nuclear industry for quite some time. These methods were approved by the consensus committee process based on sound and accepted engineering judgment, information, and practices.

Discussion

- The staff does not accept the use of SQUG guidelines for the seismic qualification of equipment in non-USI A-46 plants licensed under 10 CFR Part 50 or in plants to be licensed under 10 CFR Part 52.
- However, experience-based methods would be acceptable if similarity can be established with respect to seismic excitation, physical, functional, and dynamic characteristics among the member items in a reference equipment class as well as between equipment in the experience database and those to be seismically qualified.
- The wording of General Staff Position 1.1.1.b and 1.2.1.d in DG1175, was clarified. The use of experience-based method for seismic qualification of electric and mechanical equipment will be subject to review by the NRC.

Comments Resolved

The NRC has made the QME Nonmandatory Appendices mandatory.

The NUGEQ disagrees with requiring the use of the nonmandatory appendices and believes this may be counterproductive and limit licensee commitments to the use of ASME QME-1. QME-1 makes clear that mandatory appendices contain provisions that must be followed and non-mandatory appendices provide information or guidance that is not imposed.

Discussion

- The staff agrees that Mandatory Appendices contain provisions that must be followed. Compliance to Nonmandatory Appendices, which provide information or guidance, is voluntary.
- However, if a user commits to use any of the Nonmandatory Appendices for its qualification of active mechanical equipment, then the criteria and procedures delineated in those Nonmandatory Appendices would then become the requirements of the qualification program.
- The use of nonmandatory appendices was clarified in final version of RG 1.100.

Comments Resolved

Inadvertent high frequency content presented in previous tests

- DG stated that *“credit should not be taken for the inadvertent high frequencies present in some of the IEEE-344-type seismic qualification tests of equipment in the past, which may have shown ZPA of the TRS to be up to 100 Hz..”*
- Industry commented that as long as the frequency content can be demonstrated to be sufficient using IEEE Std 344-2004 Annex B “Frequency Content and Stationarity”, previous tests should be credited.

Discussion

- Regulatory Positions in section 1.1.1 and 1.2.1 have been revised to clarify the staff position is that the acceptance of previous tests can be justified by demonstrating that the frequency content of the power spectral density (PSD) of the test waveform is compatible with PSD of the amplified portion of the RRS in accordance with Annex B of IEEE 344-2004. *(Note: This is similar to the acceptable justification stated in SRP 3.7.1)*

Comments Resolved

High-frequency sensitive equipment and COL/DC ISG-1

New plants are not being qualified for high frequency ground-motions rather they are being screened for high frequency sensitivity. Such high-frequency motions are not part of the certified design basis. Refer to COL/DC-ISG-1, "Interim Staff Guidance on Seismic Issues Associated with High Frequency Ground Motion in Design Certification and Combined License Applications".

Discussion

- All equipment in new nuclear plants must satisfy the regulations for seismic qualification delineated in Appendix A of 10 CFR Part 100 and 10 CFR Part 50 Appendix S.
- The staff's position was clarified to state that qualification for high frequency ground motion should be in accordance with the licensing basis. The ISG provided guidance on the methodology to determine (screening) whether the equipment is sensitive to the effects of high frequency ground motion.

Comments Resolved

Use of Test Experience data

The use of test experience data is too restrictive. The tested equipment must be so similar to each other (1/6 octave) that it becomes a one to one similarity qualification process. The basis of the requirement of 1/6 octave range for class definition natural frequency is very restrictive and not understood. If the plant's licensing basis (especially older operating plants) would allow data analyzed at 1/3 octaves then such criteria should also be acceptable for test experience data.

Discussion

- The NRC staff does not generally find it acceptable to restrict the frequency range of testing up to 33 Hz. The frequency range should be consistent with the RRS of the specific plant equipment.
- The use of 1/3 octave will miss the identification of the natural frequency of the equipment and devices especially in the high-frequency range
- For high-frequency sensitive equipment, an interval of 1/6 octave spacing should be used instead of 1/3 octave, extending up to the frequency of interest shown in the RRS.

Comments Resolved

Development of Test Experience Spectrum

“The use of the frequency-by-frequency mean of the successful TRS is not adequate to define TES. When using test experience data, an equipment capacity factor has to be considered to obtain an equivalent confidence level for performance and to cover the uncertainties in high-level testing for an equipment class. The acceptable equipment capacity factor is 1.4 for TES.”

Discussion

- The staff position 1.1.2.d has been revised, “The TES shall be the frequency-by-frequency mean of the response spectrum from successful test without malfunction. When using test experience data, both the mean and the standard deviation of the data leading to the TES curve should be provided for review and approval.”
- The equipment capacity factor reduction has been added to the Seismic Research Plan so that a sound technical basis may be documented. The technical basis to impose the 1.4 factor will be revisited following the completion of research work.

Comments Resolved

Definition of Operating Basis Earthquake

- *“Electric equipment should be qualified with five one-half SSE events followed by one full SSE event (SECY-93-087) even if the OBE of a plant is defined to be one-third of SSE or less”*. The DG-1175 position does not recognize that some plants are licensed with an OBE that is greater or less than one-half the SSE. The plant licensing basis should define whether the OBE is one-third or one-half of the SSE, or has no relationship to the SSE.

Discussion

- For nuclear power plants that were licensed with the elimination of the OBE, electric equipment should be qualified with five one-half SSE events followed by one full SSE event (SECY-93-087) even if the OBE of a plant is defined to be one-third of SSE or less.
- For operating reactors, seismic qualification is based on the OBE level in accordance with the plant specific licensing basis.

Conclusion

- Any questions or comments?



Regulatory Applications of Computer Codes

ACRS Meeting July 8, 2009

Ralph R. Landry

Senior Level Advisor

NRO/DSRA

Purpose of Code Application

- Confirmation of Submittals
 - Are licensee/applicant analyses reasonable?
 - Have submittals captured the phenomena?
- Exploratory
 - Are there any hidden “cliffs” that have not been discovered?
- Resolution of Generic Issues

NRO Use of TRACE

- **Code Applicability Report for Each Design**
 - Assess for unique features
 - Does the plant model perform reasonably
- **Bounding Calculations for Comparison**
 - Applicants use of parametric sampling
 - Do we see the trends and phenomena?

NRO Use of TRACE

- Input Model for Each New Reactor Design
- High Comfort Level with TRACE