

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal Hydraulic Phenomena Subcommittee

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Tuesday, September 7, 2010

Work Order No.: NRC-415

Pages 1-235

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

SUBCOMMITTEE ON THERMAL HYDRAULICS PHENOMENA

+ + + + +

TUESDAY

SEPTEMBER 7, 2010

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, Room T2B1, 11545 Rockville Pike, at 1:00 p.m., Sanjoy Banerjee, Chairman, presiding.

COMMITTEE MEMBERS:

SANJOY BANERJEE, Chairman

SAID ABDEL-KHALIK, Member

MICHAEL CORRADINI, Member (via teleconference)

MICHAEL T. RYAN, Member

WILLIAM J. SHACK, Member

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ACRS CONSULTANTS:

2 THOMAS S. KRESS

3 GRAHAM B. WALLIS

4

5 ACRS STAFF PRESENT:

6 MICHAEL BENSON, Designated Federal Official

7 ILKA BERRIOS

8 TIM COLLINS

9 STEPHEN DINSMORE

10 CHRISTOPHER HOTT

11 JOHN LEHNING

12 TIM LUPOLD

13 BILL RULAND

14 MICHAEL SCOTT

15 STEVE SMITH

16 JOHN TSAO

17

18 ALSO PRESENT:

19 JOHN BUTLER, NEI

20 TIM BOWMAN, STP

21

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

TABLE OF CONTENTS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Opening Remarks and Objectives, Dr. Sanjoy
 Banerjee, ACRS 4

Staff Opening Remarks, Michael Scott, NRO 6

SECY on potential approaches to bring
 GSI-191 to closure, NRC Staff 73

Potential approaches to bring GSI-191
 to closure, NEI 150

Committee Discussion, Dr. Sanjoy Banerjee,
 ACRS

Adjourn

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

P R O C E E D I N G S

1:02 P.M.

1
2
3 CHAIRMAN BANERJEE: The meeting will now
4 come to order. So this is a meeting of the Thermal
5 Hydraulics Phenomena Subcommittee. I'm Sanjoy
6 Banerjee, Chairman of the Subcommittee. ACRS members
7 who are here are Chairman Said Abdel-Khalik, Michael
8 Ryan, William Shack, John Stetkar may arrive. He
9 hasn't arrived yet. Mike Corradini will not arrive,
10 but will be listening on the bridge line. And we will
11 be asking questions. And we have also our ACRS
12 consultants, former ACRS members and actually the
13 Chairman, Graham Wallis; and Thomas Kress, known as
14 Tom Kress.

15 MEMBER RYAN: And Dennis Blye will be
16 coming also.

17 CHAIRMAN BANERJEE: And Dennis Blye will
18 be coming too.

19 Ilka Berrios of the ACRS staff will be
20 supporting this meeting.

21 The purpose of this meeting will be to
22 review the staff's policy paper on potential
23 approaches to resolve Generic Safety Issue, GSI-191,
24 which relates to assessment of debris accumulation on
25 PWR sump performance. We will hear presentations from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 the NRC staff and the Nuclear Energy Institute and do
2 we also have a presentation by STP?

3 MS. BERRIOS: STP.

4 CHAIRMAN BANERJEE: Okay, they will be in
5 the slot we've allotted to the Nuclear Energy
6 Institute.

7 Just as a little bit of background, the
8 staff policy paper that we've been listening to
9 responds to the Commission's staff requirements
10 document, dated May 17, 2010. The SRM followed an
11 industry briefing of the Commission which led to the
12 Commission asking the staff to stay issuance of
13 letters to licensees under 10 CFR 50.52(f) or
14 something.

15 MR. SCOTT: 50.54(f).

16 CHAIRMAN BANERJEE: 50.54(f), thank you.
17 And also asked the staff to submit a notation vote
18 policy paper on potential approaches to bring GSI-191
19 to closure. And this is really a discussion of
20 options which was to address ALARA policy concerning
21 radiation dose worker, hazardous material exposure,
22 and risk-informed versus deterministic treatment of
23 the issues involved. There are various other
24 requirements which I'm sure Mike Scott and Christopher
25 Hott will tell us all about, the SRM. And really what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it has resulted in is that you stayed the issuance of
2 these letters now and put together these options which
3 will be decided on fairly quickly.

4 I should mention though that the ACRS has
5 considered this matter previously in a lot of detail
6 and the course that the staff was following had our
7 full endorsement up to this point as have stated in
8 our 2008 letter.

9 So with that, I'm going to turn it over to
10 Mike Scott and Christopher Hott. You put in your
11 time, if you possibly can, and go ahead.

12 MR. SCOTT: Good afternoon. As always,
13 it's a pleasure for us to come and brief the
14 Subcommittee and the Committee on current events of
15 interest related to GSI-191. As Dr. Banerjee has
16 referred to, we've made a number of presentations over
17 several years on this subject. We have great ambition
18 to close the safety issue as soon as we reasonably
19 can. And the path that we take to get to closure is
20 really what we're all about today, along with the time
21 frame associated with it as that is reflected in the
22 staff's SECY paper that Dr. Banerjee referred to.

23 Today, most of the initial presentation
24 will be done by Chris Hott to my right. Chris has
25 been the lead for development of the SECY paper. As I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think you probably have observed from reading that
2 paper, it was a highly complex undertaking to get it
3 together in a very short amount of time. It required
4 interactions with a number of different people, both
5 inside and outside the Agency and Chris did a real
6 stellar job making that happen. We actually got it in
7 a day or two early to meet the Commission's deadline.

8 So we're very pleased to talk to you about it today.

9 After Chris speaks, we'll have
10 presentations on a couple of the areas of particular
11 interest associated with the SECY paper. So with
12 that, I'll turn it over to Chris.

13 MR. HOTT: Thanks, Mike. Can we go to the
14 next slide?

15 Good afternoon. Dr. Banerjee mentioned
16 we're here to provide background information on the
17 SECY paper. We're going to also give a status update
18 on GSI-191 activities. We want to discuss stakeholder
19 views. We'll brief you on the approach used by the
20 staff in responding to the staff requirements
21 memorandum that followed the April 15 Commission
22 meeting. And we'll also provide a rationale for the
23 staff's recommendation in the SECY paper.

24 GSI-191 focuses on reasonable assurance
25 that long-term core cooling will be maintained in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 presence of debris in the containment sump following a
2 loss-of-coolant accident. Regulatory requirement to
3 maintain long term core cooling is in 10 CFR
4 50.46(b)(5).

5 Generic Letter 2004-02 which was issued
6 September 13, 2004, requested licensees to evaluate
7 ECCS performance in the event of a loss-of-coolant
8 accident and to notify NRC of the analysis method and
9 the analysis results including any planned
10 modifications that were needed as a result of those
11 analyses and to make any needed modifications by the
12 end of 2007.

13 During this time everyone thought,
14 including ECCS, that near term action to make
15 strainers larger was the right thing to do, when to
16 date, all licensees have increased their strainer
17 sizes by one to two orders of magnitude. In some
18 cases, the modifications were made before validation
19 testing that larger strainers would be enough. And
20 the assumption was that larger strainers would not
21 clog and that the subsequent strainer testing would
22 validate that assumption.

23 Next slide.

24 However, as licensees began performing
25 strainer tests, the NRC staff found issues with some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the testing and some test results called into
2 question the assumption that large strainers would
3 always be sufficient to address the issue. Through
4 these tests and others, our understanding of the issue
5 has improved. In many instances, aspects of the issue
6 have been found to be more significant than initially
7 thought. This was the case for the order of debris
8 arrival at the strainer, chemical effects, and the
9 thin-bed effect.

10 DR. WALLIS: No, no. These things have
11 been going on for a long time, but we keep having new
12 effects which need to be resolved. Is there any
13 assurance that this isn't going to continue along this
14 same pattern?

15 MR. SCOTT: I wouldn't say there's ever
16 assurance in GSI-191 that something new isn't going to
17 crop up. We had an experience at the beginning of
18 this year where unexpected in-vessel effects test
19 results occurred, so we're certainly not here today to
20 say that everything is all good to go. As long as
21 more testing remains, which is the case we believe,
22 there is always the potential for unexpected
23 occurrences.

24 However, we have largely gotten to the
25 population of issues to be whittled down and we are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whittling them down. For example, as Chris will talk
2 about, most plants now or most vendors -- let me
3 change that, all vendors now have a test protocol that
4 the staff has accepted as conservative or
5 prototypical. And those are test protocols that don't
6 credit debris settlement.

7 So the issues that remain are fewer in
8 number than there were before. That said, this issue
9 has a history of unexpected development. So there
10 could be more.

11 DR. WALLIS: There always seem to be four
12 or five that are unresolved no matter where we are. I
13 just wondered if you hadn't sought for solutions which
14 were immune to this discovery of new effects when you
15 do new tests. Isn't there some approach you can take
16 which is immune to this rediscovery all the time of
17 difficulties?

18 MR. SCOTT: We're certainly not aware of
19 it or we would have gone down that road. Did you have
20 something in mind?

21 DR. WALLIS: I do, but I'm not going to
22 suggest it at the moment.

23 MR. SCOTT: Okay.

24 DR. WALLIS: I'm just asking you, you must
25 have searched for strategies which didn't keep coming

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 up with these, like this, the things you still have to
2 worry about.

3 MR. SCOTT: We have had a number of
4 strategies to address GSI-191 and they have often
5 changed due to new developments.

6 DR. WALLIS: That's very evident from the
7 documentation that you gave before to me.

8 CHAIRMAN BANERJEE: Well, I think this
9 could go on for a while. The last round we had with
10 the staff, we came to some sort of agreement that this
11 strategy that you were following was one which was
12 likely to lead to eventual success which was that you
13 had come up with certain test protocols which appeared
14 to us to be satisfactory, using surrogates for
15 chemical effects which seemed to us to be
16 satisfactory.

17 So basically, I think you were on the path
18 to closure of this issue, not with regard to in-vessel
19 effects because that is a separate issue which you
20 will see how that comes up. But everything else I
21 think we had the feeling you were moving to what's
22 closure and perhaps it would require insulation to be
23 removed from some of the plants and so on.
24 Eventually, you'd get there. So in sort of answer to
25 your question, our 2008 letter said that essentially

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and in some ways it's sort of a little bit surprising
2 that this process has been interrupted because it
3 seems like it had been going on quite okay. At least
4 that's my personal opinion.

5 MR. SCOTT: I think it would be accurate
6 to say that we are on a path to closure from the
7 perspective that we are now in acceptance of the test
8 protocols of two thirds of the plants.

9 CHAIRMAN BANERJEE: Right.

10 MR. SCOTT: So as long as the plants
11 involved conduct their testing as they have told us in
12 writing they plan to do or already have done and as
13 long as they agree to make whatever changes are
14 indicated by that testing, if any, then we consider
15 the issue largely resolved for those plants and that's
16 two thirds.

17 So we are progressing towards closure.
18 That said, in some sense the more difficult challenges
19 remain because those tend to be the plants that have
20 the higher loadings of problem material.

21 DR. KRESS: Has the Subcommittee or ACRS
22 reviewed those test protocols?

23 MR. SCOTT: I don't recall.

24 CHAIRMAN BANERJEE: We have them
25 available. We haven't reviewed them specifically, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they're very much in line with what the Subcommittee
2 and the staff have discussed.

3 MR. SCOTT: We certainly have discussed at
4 great lengths with the Subcommittee the issues we had
5 with the previous protocols and what we thought to be
6 an acceptable protocol.

7 CHAIRMAN BANERJEE: So we have those
8 procedures. We haven't officially reviewed them and
9 given our opinion on them, but we are suddenly aware
10 of them and they take into account a lot of the things
11 that we've had discussions on with regard to your
12 prototypicality and you know, suspension, all these
13 factors that we were concerned about.

14 MR. SCOTT: Bill Ruland, did you want to
15 say something?

16 MR. RULAND: If I may, Dr. Banerjee, just
17 for clarification, the staff has not endorsed or
18 approved a certain strategy that licensees could use
19 to resolve GSI-191. Rather, we enforce our criteria.

20 And licensees have chosen to enlarge the strainers
21 and continue in that vein. No licensee has shown to -
22 - has chosen to backfit a safety grade of back-flush
23 system. Surely that would have been a different
24 approach. It would have been an approach that would
25 have been governed by the operators, but no licensee

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has chosen that approach. So again, we're just
2 reviewing and accepting or not, the methods and
3 methodology that licensees have chosen to resolve this
4 issue.

5 DR. WALLIS: So meanwhile, these licensees
6 are all out of compliance with some regulation? Is
7 that not the case?

8 MR. RULAND: The NRC has gone on record in
9 General Letter 2004-02 that we believe that licensees
10 were safe to operate while this issue was resolved and
11 we continue to believe that.

12 DR. WALLIS: Can't that go on forever?

13 MR. RULAND: Obviously not and that's why
14 we're here and that's why we issued the SECY paper at
15 the direction of the Commission and hopefully we get
16 your endorsement or not about how -- what our approach
17 is.

18 DR. KRESS: What was the basis of this,
19 assuming that they are continuing in safe operation?
20 Is that a risk-informed --

21 MR. SCOTT: There were risk elements to
22 it. It was partly based on the low probability of the
23 initiating event. It was also based on the large
24 number of mitigative and interim actions that the
25 licensees took in response to Bulletin 2003-01.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. KRESS: The larger filter sizes?

2 MR. SCOTT: That was not part of the
3 original documentation in 2004-02, but it certainly
4 has improved the situation since. That was more along
5 the lines of the -- the bulletin was more along the
6 lines, for example, of do you have the capability to
7 refill the refueling large storage tank and continue
8 injecting it if the strainer should become clogged,
9 those kind of actions which were plant specific in
10 which the staff reviewed after the issuance of the
11 bulletin.

12 So there were a large number of factors
13 that played into that decision. And it's documented
14 in General Letter 04-02. Since then, as you pointed
15 out, the strainers are larger, so the situation is
16 clearly better than it was in 2004, so we continue --
17 as Bill Ruland said, we continue to believe it is
18 acceptable for the plants to continue to operate, but
19 as Dr. Wallis implied, we don't consider it a good
20 idea that this go on indefinitely. And hence, we have
21 put a plan of action into play and recommended to the
22 Commission a path forward to bring it to closure in a
23 reasonable amount of time while recognizing the
24 obstacles and issues that are associated with that
25 path forward, which we will outline to you today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Did someone estimate the
2 probability of success of the strategy?

3 MR. SCOTT: Again, the strategy that we
4 have in place is plant-by-plant resulting in
5 addressing the issues.

6 DR. WALLIS: But I mean there must be some
7 assurance that this is going to work, rather than just
8 a gut feeling. There must be something better
9 presumably to make darn sure this is going to work.

10 MR. SCOTT: Observation of the results of
11 the effort that we have taken so far suggests that we
12 are bringing the issue to closure plant by plant. Can
13 I guarantee you that no change will be needed in the
14 plan to address two things, the remaining 23 plants
15 whose test protocols were not together with the
16 licensee on, and to address in-vessel effects. Can I
17 guarantee you there will be no changes? No. We put
18 what we believe to be a path forward to success in
19 place. We'll see what the Commission directs us to do
20 and we will move forward.

21 DR. KRESS: The panel that does the
22 interval review of specific plants, do they have
23 written guidance on what to look for and what to
24 accept and what not to accept or is it just their
25 judgment?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: We have process description
2 that says how they do their job.

3 DR. KRESS: How?

4 MR. SCOTT: It does not contain a
5 technical description of balance this against this,
6 except to the extent that it says once you have
7 compared the various uncertainties and conservatisms
8 that apply to each licensee's case, has that licensee
9 provided reasonable assurance that they're in
10 compliance? If the answer is yes, then they accept it
11 and we move on. If not, the plant gets RAI'd.

12 DR. KRESS: And how many plants has that
13 been done for?

14 MR. SCOTT: Of the 40 -- well, it's been
15 done at least at an iteration with all 69 PWRs. If
16 your question is how many have been subjected to that
17 process and reached closure through it --

18 DR. KRESS: That's what I'm asking.

19 MR. SCOTT: And by closure I mean
20 agreement with the staff on their testing. Of the 46
21 that we consider to be at that point, probably, and
22 this is a guess here, like two thirds or maybe more
23 than that have been through the IRT process.

24 DR. KRESS: Has the ACRS reviewed this IRT
25 process?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Yes, we have.

2 DR. KRESS: Do you think it's all right?

3 CHAIRMAN BANERJEE: I think our letter
4 endorses the process. We haven't reviewed instances
5 of its applications recently and possibly at some
6 point we will, but the process itself when it was
7 first started we reviewed that.

8 MR. SCOTT: Okay.

9 MR. HOTT: This last bullet here, just to
10 touch on this, we talked about some of the things that
11 plants have done like increasing strainer size.
12 Plants have also removed fibrous and particulate
13 debris. Plants have changed some pH buffers. Some
14 plants have installed debris interceptors. And some
15 of those actions taken would be disabling the
16 automatic initiation containment spray.

17 DR. KRESS: When they change the pH
18 buffers, has anybody evaluated whether the new buffer
19 has chemical effects with respect to GSI-191?

20 MR. SCOTT: The answer to that is yes.
21 Whatever buffer that the licensee has gone to or plans
22 to go to is submitted to us as part of the evaluation
23 process for GSI-191 and gets reviewed.

24 DR. KRESS: Do you think we've done tests
25 like they did on the other chemistry effects?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: There has been testing of all
2 of the buffers that are in use in US PWRs.

3 DR. KRESS: With respect to blockage of
4 filters?

5 MR. SCOTT: Well, with respect to the
6 tendency to produce problematic precipitants, yes.

7 DR. KRESS: Okay, yes.

8 MR. SCOTT: Chemical effects.

9 DR. KRESS: Okay.

10 MR. HOTT: Some of this we just talked
11 about, 33 of 69 PWRs have already performed their
12 analysis in strainer testing using methods acceptable
13 to the staff. And 13 more currently plan to do so.

14 DR. WALLIS: I'm puzzled. They were asked
15 to do this some time ago?

16 MR. SCOTT: 2004.

17 DR. WALLIS: So -- I don't understand why
18 six years later half of them haven't done it. It
19 seems very peculiar. As a member of the public,
20 rather than a consultant, what's holding it up?

21 MR. SCOTT: Degree of difficulty of the
22 task in large part. Remember what Chris said in one
23 of his slides a few minutes ago, that the strainers
24 were made larger before the testing was done and the
25 testing turned out to have significant challenges with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it. For example, you can't test the system in the
2 plant, obviously, so it has to be done in a prototype
3 vendor facility. And it has turned out to be very
4 challenging to have the vendor test facility
5 adequately represent what goes on in the plant,
6 particularly challenging for those plants that have
7 attempted to credit debris settlement.

8 Staff is sure that some debris settlement
9 would occur. The difficulty is showing how much would
10 occur and not overstating it through a test.

11 DR. WALLIS: So six years ago you had a
12 plan and a way forward, the way you do today and then
13 it somehow or other turned out to be too challenging
14 for half the plants six years later.

15 MR. RULAND: If I may, Dr. Wallis, the
16 reason we're here today with this Commission paper is
17 because staff had growing impatience with the industry
18 and we attempted to issue the 50.54(f) letter. That
19 was our plan.

20 DR. WALLIS: What does the 50.54(f)
21 require?

22 MR. RULAND: The 50.54(f) letter -- and
23 Mike actually has better recall on this than I do, but
24 the 50.54(f) letters were asking licensees, requiring
25 licensees to tell us how they were going to meet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 GDC-191 with regard to some problematic information
2 and testing. And that was the staff's way to get to
3 the heart of the matter in as expeditious manner as we
4 thought.

5 Since that, of course everybody knows,
6 that the Commission asked us to wait on the matter and
7 give them a paper. And that's why we're here.

8 DR. WALLIS: Of course, you might come
9 back saying that your previous recommendation for
10 those letters was, in fact, the right one.

11 MR. RULAND: Maybe they will.

12 DR. WALLIS: It's not off the table
13 completely.

14 MR. SCOTT: Not at all.

15 DR. WALLIS: That's reassuring.

16 CHAIRMAN BANERJEE: Not off the table at
17 all.

18 DR. KRESS: Are there differences in the
19 designs of these filters in terms of materials and
20 mesh sizes?

21 MR. SCOTT: I would say that the materials
22 are not far different. The geometry, the structure of
23 them varies significantly from designer to designer.

24 MR. HOTT: Most of the 23 remaining plants
25 have large amounts of fibrous insulation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Could I ask you about that?
2 If the fibrous insulation were taken out, would the
3 problem go away?

4 MR. SCOTT: Probably. That's a GSI-191
5 answer. It probably would.

6 DR. WALLIS: All the problems of
7 downstream and filter blockage and everything
8 associated with fibrous insulation?

9 MR. SCOTT: Mostly.

10 DR. WALLIS: The blue jean dust and stuff,
11 but that's --

12 CHAIRMAN BANERJEE: That's different.

13 DR. WALLIS: That's different.

14 MR. SCOTT: The real issue here is that it
15 doesn't take much of the right kind of material to
16 cause a significant head loss.

17 DR. WALLIS: We don't have to take it all
18 out?

19 MR. SCOTT: Not necessarily. We have
20 accepted the demonstration that several plants have
21 made that I would not describe as low fiber plants,
22 but some low fiber plants have seen significant head
23 losses so if a low fiber plant uses a test protocol
24 that we do not accept, it is difficult for us to
25 conclude that that plant has adequately addressed the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issue. We believe once that that low fiber plant does
2 a task with the test protocol that we find acceptable,
3 they will succeed. But if the question is can you
4 just say okay, the fibrous insulation is gone, can we
5 just walk away and the answer is no. We need to see a
6 test and evaluation.

7 DR. WALLIS: Do you do a test with no
8 fibers then?

9 MR. SCOTT: It has little fiber. The
10 issue of course is that latent material typically
11 contains fiber. So a plant, and particularly a plant
12 that has already had fibrous insulation in it, even
13 when they remove it, there will be some remaining.
14 And it doesn't take much of the material to be a bad
15 actor. At the end, the low fiber plants largely are
16 done with this issue at this point, but it's an over
17 simplification to say take away the fibrous insulation
18 and you're done.

19 MR. HOTT: But it is true that fibrous
20 insulation is a very problematic material for strainer
21 performance and that's why many of these remaining
22 plants have tried to credit tests and evaluation
23 requirements to reduce those.

24 CHAIRMAN BANERJEE: So when you say most
25 of the 23, how many actually are high fiber? Do you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a number?

2 MR. SCOTT: Not sitting in front of us.
3 It is, in fact, most of them. But I can't -- over
4 half, well over half.

5 CHAIRMAN BANERJEE: And the others simply
6 are there because they haven't yet worked out a best
7 protocol and agreed to do tests that the staff finds
8 acceptable?

9 MR. SCOTT: There are a few cases where a
10 plant has low fiber, but has, for example, credited
11 debris settlement. There -- some of those cases, the
12 plants have since decided well, you know, we're low
13 fiber, we can probably succeed without crediting
14 settlement, so we're going to do a new test and
15 they're discussing the new test with the staff. There
16 are those kind of situations, but the bulk of the
17 plants that remain are those with a relatively large
18 amount of fiber and they typically either credited the
19 settlement which is referred to on this slide or the
20 zone of influence reduction, which the staff has also
21 not accepted. And I believe you all have seen a copy
22 of our letter on that?

23 CHAIRMAN BANERJEE: Right.

24 MR. SCOTT: Most of them fall under those
25 two issues that are on this slide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Of the 46 plants that
2 would appear to be getting close to closure, how many
3 of these were high fiber plants, any?

4 MR. SCOTT: Several of them, some of them
5 were not low fiber. It's kind of high fiber, medium
6 fiber, and they're not low fiber. Not plants with a
7 small amount of fibrous insulation.

8 CHAIRMAN BANERJEE: So they have to remove
9 fibrous insulation?

10 MR. SCOTT: Some have, some have not.

11 CHAIRMAN BANERJEE: Have some removed
12 fibrous insulation?

13 MR. SCOTT: Yes.

14 CHAIRMAN BANERJEE: And were these sort of
15 substantial removal of fibrous insulation like most of
16 it?

17 MR. SCOTT: I would say in a few cases. I
18 can think of one or two plants that either have or are
19 planning to make major reductions in the amount of
20 insulation, probably and quite a number of others have
21 taken out discrete parts of their fibrous insulation,
22 maybe not -- I wouldn't describe it as a full plant
23 change out. As far as full plant change out, I can
24 probably count those on my hand.

25 DR. WALLIS: Well, Mike, it seems to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that if the rule were, if the guidelines were such
2 that you want a success on this project, this GSI
3 issue, within a short time, say one or two years, and
4 you want a very high probability of success, then the
5 only solution is to take out the fibrous insulation.
6 Otherwise, you'll be asking for them to do tests for a
7 long time, just the way they have or haven't for
8 several years already.

9 MR. SCOTT: Okay, well, they all have done
10 testing. Okay.

11 DR. WALLIS: But it doesn't seem to
12 convince the staff that it's okay.

13 MR. SCOTT: Forty-six of 69, we've
14 accepted their testing.

15 DR. WALLIS: But you see, my thesis is if
16 you want to do it and you want a good chance of
17 probability of success --

18 CHAIRMAN BANERJEE: I think we should put
19 this question on the back burner and come back to it
20 later because I guess that's the crux of the issue.
21 Let's continue, otherwise we're going to run out of
22 time.

23 DR. KRESS: If we could get back to that
24 question, I'd like to know what the other side, the
25 down side of that is. What's the problem with it?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: The downside is it is a -- as
2 we will talk about it, as I'm sure NEI will talk about
3 it in their presentation, to undertake a major
4 insulation removal or replacement campaign, entails a
5 significant radiation exposure to workers. And it's
6 expensive. I mean it's a big money thing too for
7 them. And there's a view expressed that it's not
8 worth it.

9 DR. WALLIS: What's the cost to the public
10 of not resolving the problem? There must be something
11 on the other side?

12 MR. RULAND: The philosophy of the NRC
13 staff in this matter is that licensees know their
14 plants the best. For the NRC staff to basically a
15 priori state all the insulation needs to come out,
16 which we could have said and actually we had talked
17 about probably four or five years ago, we basically
18 concluded that we're not in a position to make that
19 determination. Licensees are in the position to
20 decide how best to comply with GSI-191.

21 DR. WALLIS: But if you're going to do
22 sort of a cost-benefit analysis, there's got to be
23 some cost assigned to not solving the problem. How do
24 we balance that against the cost of removing the
25 insulation or whatever it is?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: The staff intends the problem
2 to be solved. As Bill Ruland said, we don't get
3 prescriptive and say you have to do it a certain way.

4 Clearly, to do what you said a minute ago, to
5 undertake to remove all or most of the fibrous
6 insulation will in all likelihood bring a plant to the
7 finish line, once they have an acceptable test to show
8 that that's adequate. But we're not in a position to
9 direct them to do that.

10 You mentioned a couple of years, the time
11 line is probably more like four years because it takes
12 two refueling cycles.

13 DR. WALLIS: But what is the cost of not
14 doing it? It seems to me that if there was some cost
15 established for not complying, then the plant could
16 make a rational decision about what to do to fix it.
17 There's cost for not complying. There's no incentive.
18 Let's proceed expeditiously with a solution.

19 MR. SCOTT: The staff intends that
20 licensees will be in compliance. We have put a path
21 forward to the Commission that proposes to take them
22 there.

23 MR. RULAND: One of the key advantages
24 that the staff sees about taking this issue to the
25 Commission is the Commission will make a policy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 decision on this matter and if their policy decision
2 is licensees remove all the insulation. That's the
3 policy decision and we'll go forward. If they say
4 50.54(f) letters, that's what we'll do.

5 From our perspective, that's the biggest
6 -- that's a really big advantage of doing the SECY
7 paper. We put this issue before the decision makers,
8 the policy makers of this Agency, and we let them make
9 the policy decisions and we'll implement them.

10 DR. KRESS: This is not in backfit space
11 because it's a compliance issue. So you don't have to
12 make these arguments about the costs. You make them,
13 but they're not really part of the decision.

14 MR. SCOTT: It is not our decision on
15 whether or not the plants need to comply. They need
16 to comply.

17 DR. KRESS: Yes.

18 MR. SCOTT: This fall s under --

19 DR. KRESS: It's their decision on how to
20 comply.

21 MR. SCOTT: Correct.

22 DR. KRESS: And all you have to do is say
23 yes or no, you're in compliance.

24 MR. SCOTT: Correct. The tricky part is
25 getting to that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: But there's no cost for not
2 complying. This can drag on for years. You said four
3 more years.

4 DR. KRESS: Well, you'll give them a time
5 line eventually.

6 MEMBER SHACK: Let them get to their
7 options.

8 MR. SCOTT: We will do what the Commission
9 directs us to do.

10 DR. WALLIS: I'll leave you, but I'm just
11 trying to get you to face a rational way of making a
12 decision on this thing before we get into all the
13 details which I think we all know about already. But
14 anyway, I'll let you go ahead.

15 CHAIRMAN BANERJEE: We are still getting
16 some background. Let's move through this quickly and
17 get to the options. Because that's really --

18 MR. SCOTT: I think we're pretty much done
19 with the slide, aren't we, Chris?

20 MR. HOTT: I think we are.

21 CHAIRMAN BANERJEE: I expect that
22 everybody here has already read the SECY and all
23 enclosures, so you can go fast.

24 MR. SCOTT: Theoretically, yes.

25 (Laughter.)

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: I know nothing goes
2 fast in front of the ACRS.

3 DR. WALLIS: Let me ask about the last
4 line, "industry planning new efforts." Do you have a
5 schedule for that?

6 MR. SCOTT: We have been provided a
7 schedule for it. I believe that the current campaign
8 that they are proposing would end up with issuance to
9 us or submittal to us of a -- I guess a topical report
10 and a staff review of that to be concluded by the end
11 of next calendar year.

12 DR. KRESS: You haven't ruled out changes
13 to the zone of influence mechanism?

14 MR. SCOTT: I'm sorry, I thought that's
15 what you were talking about, Dr. Wallis. That's why
16 I'm referring --

17 DR. WALLIS: I'm asking when it will be
18 done?

19 MR. SCOTT: Let me speak to them
20 separately. The settling discussion is going on now.
21 We have had over the last three months we've had
22 about a better part of a half dozen meetings with the
23 vendor involved. I would think that by the end of
24 this year, we would have significant clarity on
25 whether we're going to accept a test protocol that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 accepts or credits settling or not.

2 The deadline I was referring to a minute
3 ago regarding the end of next year is for additional
4 jet-impingement testing that the owners' group plans
5 to support what they believe to be reasonable
6 reductions in ZOI.

7 DR. WALLIS: So that will be completed by
8 then?

9 MR. SCOTT: That's their expectation, yes.

10 The staff has no current strong view as to whether
11 they're going to succeed or not. We haven't seen the
12 submittal, of course. We haven't seen the testing.
13 The staff does not believe that the current ZOIs are
14 necessarily overly conservative, but the industry
15 believes they are and is planning to attempt to show
16 that they are. We'll see how it goes.

17 MR. HOTT: Next slide. I'll skip down
18 here to the second bullet and note here that the
19 industry expressed concerns regarding dose costs and
20 lack of safety benefit during the April 15 Commission
21 meeting and that the industry preferred path forward
22 was leak-before-break credit for sump evaluations. We
23 also got some stakeholder input from the Union of
24 Concerned Scientists, two letters, one on April 14th
25 and another on April 26th, basically that said -- the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 first letter said that they thought that staff was on
2 track to successfully close out and the second was
3 support leak-before-break under certain circumstances.

4 CHAIRMAN BANERJEE: Could you expand on
5 the second letter a little bit, what that aspect was,
6 just briefly?

7 MR. HOTT: Yes, the letter said that the
8 Union of Concerned Scientists would support LBB if the
9 leakage detection systems were of high enough fidelity
10 to ensure that plants would detect a leak and take
11 action, if they actually had a leak. The concept of
12 leak-before-break, they would identify it, take action
13 to shut down the plant safely.

14 And another aspect was that no changes
15 made for GSI-191 such as debris interceptors would
16 cause a location in the plant that would cause water
17 to hold up in a way that wouldn't be available for
18 sump recirculation.

19 Next slide.

20 MR. SCOTT: I think they've already seen
21 this one. We can zip right through this. This is
22 what the SRM said. You've all seen it.

23 DR. KRESS: Does leak-before-break
24 exclude the same size pipes as the new definition of
25 large break LOCA threshold or are those different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sizes?

2 MR. HOTT: Those are potentially different
3 sizes.

4 DR. KRESS: Do you get lower relief with
5 leak-before-break?

6 MR. HOTT: You can. Next slide. We have
7 had several interactions. We've had correspondence
8 from NEI and as I mentioned Union of Concerned
9 Scientists. We've also had meetings to make sure we
10 understand all of our stakeholders' viewpoints. We've
11 reconsidered leak-before-break and have new
12 information since the last time we evaluated it in
13 2004.

14 We also considered how we might utilize
15 risk information or risk-inform the solution.

16 DR. WALLIS: I'm puzzled by that. When I
17 read your documents and you say you can't predict what
18 will happen with these filters and downstream effects
19 and so on, so how can you predict the risk if you
20 can't predict the consequences of the various
21 phenomena. If you can't predict the outcomes of
22 whether or not the system is cold or not, how can you
23 risk-inform?

24 MR. SCOTT: There are great challenges to
25 that for this issue and we will talk about those. If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you can hold that until one of the later presentations
2 today.

3 DR. KRESS: I assumed that applied
4 strictly to the change in large break LOCA threshold.
5 Am I wrong in that?

6 MR. SCOTT: Well --

7 DR. KRESS: You can easily do a risk
8 because it's strictly frequency effect on CDF.

9 MR. HOTT: Right, if you assume some
10 fails, then that would be certainly a bounding way to
11 look at that.

12 MR. SCOTT: And that is part of the
13 discussion that we'll have this afternoon.

14 MR. HOTT: Evaluated dose impacts were
15 sensitive to occupational doses as we've discussed
16 before, that might be incurred from insulation change
17 out. So we did a limited survey to try and evaluate
18 what sorts of doses plants might get from change outs.

19 When we evaluated the SRM, we had focus
20 groups who were evaluating each of the potential
21 issues. We tried to think of some new innovative
22 approaches and lastly, we considered separating end-
23 vessel effects into its own generic issue.

24 Next slide.

25 Having considered a number of options, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 narrowed the list down to three, two of which have
2 sub-options. The first option is to continue the
3 staff's current approach which involves extensive
4 plant-specific interactions and ends in a holistic
5 review of some performance way overly conservative
6 staff determinations.

7 In the sub-options to this option 1,
8 involve whether the NRC should establish firm
9 schedules for issue resolution or not.

10 The second option involves a new effort to
11 provide a risk-informed approach to GSI-191 for
12 larger, less likely LOCAs and then the risk-informed
13 aspect is based on the lower initiating event
14 frequency for the large breaks.

15 DR. KRESS: You would resolve the issue
16 for the small breaks first and then do the large
17 breaks later, I'm having trouble deciding on what
18 those time frames are going to be, what basis you'll
19 use to establish the actual time frame.

20 MR. SCOTT: What was decided or what's
21 proposed in the SECY paper is that the small breaks,
22 smaller breaks, I should say, are not likely to be
23 helped by the risk-informing aspect and we should be
24 able to proceed with resolution of those, basically
25 restart the process that's been somewhat in abeyance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for the last several months.

2 For the large breaks that would be
3 potentially affected or assisted by the risk
4 informing, the staff has proposed to allow time for
5 either issuance of 50.46(a) if the Commission decides
6 to do that or to develop implementation guidance for
7 existing risk-informed regulatory framework for GSI-
8 191. So that would add, we assume, a year from
9 whatever the Commission decision date is on 50.46(a).

10 So if you look at it, small breaks, you're
11 talking two refueling cycles out. Why? Because the
12 licensee would need to potentially run another test
13 without crediting settlement, for example, or
14 crediting DOI reductions. I mean if that's the way
15 the Commission goes with it. Then they would be
16 running testing and then they would take the results
17 of that and plan to do modifications. And it takes
18 two cycles to do these modifications because they need
19 to walk down the systems in their first refueling
20 outage, order the materials and so on and then
21 actually install the second refueling cycle.

22 Now if the Commission decides that
23 additional time is warranted to wait, for example, for
24 the next attempt at ZOI reduction to run its course,
25 then that would add potentially another year or more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So depending on how the Commission comes down on how
2 much more time for refinements, and how much time are
3 we going to bifurcate the process for different risk
4 categories, it could be -- there could be variations
5 of a matter of a year or two either way.

6 DR. KRESS: Let me ask you a question
7 about settling. I know it's a different issue. It
8 looked to me like when they take credit for settling,
9 it's for sizes that are bigger than some thresholds
10 because those are never transported to the filters.
11 It seemed to me like those sizes wouldn't be much of
12 an issue anyway if they got to the filter.

13 MR. SCOTT: Indeed, the material, the
14 debris that is most challenging for the strainers is
15 the finest debris which is also the debris, obviously,
16 that is most inclined to transport and least inclined
17 to settle, but some of the testing that has occurred
18 that has credited settlement, a large amount of the
19 fine material settles.

20 DR. KRESS: That I didn't know.

21 MR. SCOTT: And so the question is would
22 that happen in the plant?

23 DR. KRESS: Yes.

24 MR. SCOTT: And the staff has to date not
25 been satisfied that a demonstration has been made that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that would occur in the plant as well.

2 DR. WALLIS: This is with respect to the
3 turbulence.

4 MR. SCOTT: That's one factor. There are
5 a number of them. It's trying to show that your
6 relatively small narrow vendor flume test facility is
7 representative of a relatively large complex PWR sump
8 environment, floor environment is not a simple
9 exercise. And the licensees that have attempted to go
10 that direction have done so because they're concerned
11 about it's going to show an excessive amount of
12 material getting into their strainer. But they have,
13 in order to attempt to avoid having to take that
14 penalty, if you will, they have elected to go down a
15 very complex path and we're not where we are today
16 with regard to settlement from lack of meetings.
17 We've had dozens of meetings on this subject with the
18 industry over the last several years and they've not
19 yet reached fruition, but the industry is attempting
20 to work with us to come up with a settlement protocol
21 that we would accept. And we're still in the throes
22 of trying to get through that.

23 DR. KRESS: Is there an optimum amount of
24 material?

25 MR. SCOTT: Yes, that which you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 justify.

2 DR. KRESS: For example, a certain amount
3 of material would lead you up too close to the net
4 positive suction head probably, but it would stop
5 material from going in vessel and reduce the amount of
6 probable in-vessel. So it would seem to me like there
7 might be an optimal. We may have put too much filter
8 space in that.

9 MR. SCOTT: Thank you for stating why the
10 staff does not want to separate the in-vessel effects
11 issue from the sump strainer issue.

12 DR. KRESS: That's a good idea, I think.
13 They are related.

14 MR. SCOTT: They are related and it is
15 true that making strainers bigger potentially causes
16 more material to go downstream. So to try to separate
17 the two issues, we don't think is an appropriate thing
18 to do.

19 MEMBER ABDEL-KHALIK: If one is not going
20 to separate the downstream effects, would option 2
21 then make any sense?

22 MR. SCOTT: Well, the way the downstream
23 effects thing appears to be going to play out, I won't
24 offer Dr. Wallis a guarantee, but the way it appears
25 to be going to play out is if you've read about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cross test that we have asked the licensees to do,
2 that is to happen this Friday. There will be probably
3 one more test and if it doesn't have surprising
4 results, that being a low-flow test, then the testing
5 campaign from our perspective would be complete. We
6 would be prepared again to come to you in October to
7 talk about where that goes and then we would plan to
8 issue a safety evaluation near the end of the year.

9 So the in-vessel time line fits with the
10 rest of this unless something new comes up in one
11 field or the other.

12 CHAIRMAN BANERJEE: But the indications
13 preview, if you like, is that if tests go the way that
14 you hope or expect they will go, that this in-vessel
15 effect would be dealt with without having to make
16 additional changes?

17 MR. SCOTT: What the owners' group tells
18 us is that -- and when the industry makes their
19 presentation, maybe they'll have a different view on
20 this. We don't have a submittal on it, but we
21 understand that most of the PWRs are bounded by what's
22 proposed in the topical report. Those that are not
23 will have to decide on what they're going to do,
24 either remove materials or do their own testing. I
25 struggle to imagine they would do their own testing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 because what they would do that would be different
2 from what the owner's group is doing is not real
3 clear, but I suppose possible.

4 So some fraction of the plants and I don't
5 have an exact number because we don't have a submittal
6 on it today, some fraction of the plants could even if
7 they're among the 46 that are shown as okay, it is
8 possible that the in-vessel effects issue could lead
9 them to do additional modifications. They will have,
10 I believe, very high visibility on the need for that
11 this year because this in-vessel thing, as I
12 indicated, is coming to a close.

13 DR. WALLIS: Are we going to see how it
14 comes to a close because the last stuff we saw was
15 somewhat confusing.

16 MR. SCOTT: October 22, 2010, the staff
17 will be briefing this Subcommittee on the in-vessel
18 effects topical report and its safety evaluation.

19 DR. WALLIS: And that's going to resolve
20 the issues that we had with the last one?

21 MR. SCOTT: I can't say whether it will
22 resolve all issues that you have. We believe that a
23 defensible test program has been conducted. We have
24 pushed for a substantial amount beyond what the
25 owner's group originally proposed. There have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 some interesting and challenging results from that
2 testing. We benefitted greatly from the Commission's
3 advice on this subject back in 2008. And we're a long
4 way from where we were in 2008. We believe that the
5 industry has done an adequate job addressing this
6 issue. We'll see what you all say.

7 CHAIRMAN BANERJEE: The only issue here
8 would be that you know selecting between these options
9 might be better once we have that in-vessel
10 information.

11 MR. SCOTT: Well, you will have whatever
12 we have --

13 CHAIRMAN BANERJEE: In October.

14 MR. SCOTT: We plan to issue the draft
15 safety evaluation this month.

16 CHAIRMAN BANERJEE: Okay.

17 MR. SCOTT: And we'll provide it to the
18 Committee at that time. Now those two tests that I
19 talked about, the low flow test and the cross tests
20 are only now occurring so the write up on those is
21 going to be a little bit later. But you'll have 98
22 percent of that safety evaluation, you'll have it this
23 month, but I guess you probably won't have time to
24 review that and have it affect your letter which I
25 believe you intend to send to the Commission before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the briefing which is September 29th. So --

2 CHAIRMAN BANERJEE: We won't have the
3 benefit of that information. You have the benefit of
4 that information, but we don't.

5 MR. SCOTT: Again, we see the way this in-
6 vessel thing is playing out now, is supportive of the
7 options and the recommendations that the staff has
8 made to the Commission, because again, we see this as
9 a wrap up by the end of this year on the in-vessel
10 issue. The other, if we -- if the Commission
11 authorizes us to go the 50.54(f) letter route, then
12 we're going to be sending letters to licensees and
13 asking for 60-day or 90-day turnarounds on responses
14 and before you know it, we're out in 2011. So again,
15 I think the time line kind of falls together
16 reasonably well, subject to unexpected developments
17 which is the history of this issue.

18 MEMBER ABDEL-KHALIK: A general statement
19 that one can make is that absent a clear and timely
20 resolution of the in-vessel effects issue, segregation
21 time-wise, according to option 2 would not really make
22 much sense.

23 MR. SCOTT: It might not. Even with that
24 issue resolved, it might or might not be useful to the
25 licensees. If you think about it, first of all, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 don't know if they get substantial benefit from large
2 breaks, but the small breaks remain, how much help
3 that's going to be to them. And they may not like the
4 possibility of a more complex resolution framework
5 where you, okay, we resolve this portion of the
6 breaks, but not this portion. They may not choose to
7 go there and that would be their call.

8 What we're trying to do is be flexible
9 here and offer an opportunity to risk-inform the
10 solution and the time line if the licensees wish to do
11 it and the Commission accepts it. We're trying to be
12 flexibility, but this may not help them all that much.

13 CHAIRMAN BANERJEE: You might two sets of
14 testing.

15 MR. SCOTT: Possibly.

16 MEMBER ABDEL-KHALIK: But then the reason
17 why I repeated that point is that that issue is not
18 sort of clearly stated in your response to the
19 Commission.

20 MR. SCOTT: What we stated was that it
21 should not be broken out as a separate issue and that
22 we would resolve it with the rest. We did not get
23 into details, a lot of detail about the interplay
24 between it and the other. As a matter of fact, I
25 think we did have a discussion of it and we talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about our expectation for the time frame of its
2 resolution.

3 MEMBER ABDEL-KHALIK: The point is the
4 time line for resolving the downstream effects has to
5 be shorter than either of the two time lines for
6 either small break LOCA or large break LOCA in order
7 for option 2 to make any sense.

8 MR. SCOTT: And in all likelihood it will
9 be a shorter time frame.

10 CHAIRMAN BANERJEE: I guess that's a point
11 we can discuss, if we wish to.

12 MEMBER ABDEL-KHALIK: Right.

13 CHAIRMAN BANERJEE: It's clear that the
14 downstream effects could affect the option you want to
15 choose here and in some sense while you discussed
16 downstream effects and fairly well, the interaction
17 between resolution of the downstream effects and the
18 selection of one of these options is not as Said says,
19 thought out, if any.

20 Now we have to determine if there is an
21 effect, interaction or not. But --

22 MR. SCOTT: There clearly is an
23 interaction because you need to resolve the issues
24 together. So -- that is our view. But they need to
25 be resolved together.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So as long as the in-vessel effects issue
2 comes to closure early in 2011 as we currently
3 anticipate it will, then that's not going to slow this
4 process up or affect whether you bifurcate it between
5 long and -- small and large breaks. But it's possible
6 that if it gets delayed, it could affect that.

7 CHAIRMAN BANERJEE: Okay, anyway, let's
8 continue. I think we understand what these options
9 are.

10 MR. HOTT: All right.

11 MR. SCOTT: Did you talk about option 3?

12 MR. HOTT: Option 3 is to allow
13 application of leak-before-break to sump evaluations.

14 CHAIRMAN BANERJEE: You're going to expand
15 on that later on?

16 MR. HOTT: Yes.

17 DR. WALLIS: That wouldn't make all the
18 other things go away. That would just -- you'd still
19 have to retain thoughts of option 1 if you allow LBB.

20 MR. HOTT: For plants, for piping that's
21 not LBB qualified, you would still have to analyze --

22 DR. WALLIS: It doesn't make the problem
23 go away just because you accept LBB. You still have
24 to show that you comply.

25 MR. SCOTT: Yes, but now, let's -- there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are some, I guess, scenarios where a plant has had a
2 test that we considered the debris generation to be
3 non-conservative and now they show through leak-
4 before-break that their debris generation that they
5 happened to have tested before was conservative, if
6 you took all that debris out of the equation and that
7 could be done. Depending on what their new limiting
8 break is.

9 DR. WALLIS: They would have had
10 essentially to have done option 1 already and LBB just
11 sort of cuts off part of it and makes it work. They
12 would have had to done option 1 though.

13 MR. SCOTT: They have to make a compliance
14 demonstration.

15 DR. KRESS: It seems to me like the sub-
16 bullet under the third bullet, 10 CFR 50.46, rests on
17 some of the technical bases as option on the leak-
18 before-break.

19 MR. SCOTT: We'll talk about the
20 differences.

21 DR. KRESS: There are differences?

22 MR. SCOTT: There are differences.

23 DR. KRESS: Other than the pipe size,
24 there are differences?

25 MR. SCOTT: There are substantial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 differences. Trust me, we will talk about those.

2 DR. KRESS: Okay.

3 MR. HOTT: All right, the staff is
4 recommending a combination of options 1 and 2 with a
5 risk-informed resolution schedule. Part of that would
6 be revisiting risk tools for the larger, less likely
7 breaks and option 3 is not recommended for reasons
8 discussed in the next presentation.

9 Next slide.

10 Despite the fact that loss-of-coolant
11 accidents are low probability, especially large
12 breaks, the staff still believes GSI-191 is a safety
13 issue. Inability of sumps to pass adequate flow is a
14 high consequence of that, likely leading to core
15 damage and loss of mitigation system, containment
16 spray. And we've seen in some plants LOCAs as small
17 as three inches and generate enough debris to
18 challenge the sump performance.

19 DR. WALLIS: You're saying it is a safety
20 issue or is not?

21 MR. HOTT: It is. It is still a safety
22 issue.

23 CHAIRMAN BANERJEE: They've answered the
24 question by saying yes, it is.

25 DR. WALLIS: How much of a safety issue is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it?

2 MR. SCOTT: It is sufficient concern to
3 us that we believe it is imprudent to continue
4 indefinitely without resolving it. At the same time
5 for reasons --

6 DR. WALLIS: How prudent is it to let it
7 go on?

8 CHAIRMAN BANERJEE: The strainer is
9 bigger.

10 MR. SCOTT: We've stated the reasons and
11 they're restated in the SECY paper why we believe it
12 is acceptable to continue operate while the issue is
13 resolved. At the same time, we have proposed a clear
14 path forward to get to closure in a reasonable period
15 of time.

16 DR. WALLIS: There's no cost to the plant
17 for having a safety issue unresolved. That's what
18 puzzles me.

19 MR. RULAND: If I could add something
20 about that? Typically, when we bring these -- when
21 licensees talk about costs, a number of licensing
22 managers in these kinds of circumstances will say to
23 us that having this issue before them year after year
24 diverts their management from focusing on other issues
25 that they believe are important, some of which are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety issues.

2 And you can ask the industry when they
3 come up whether or not they believe that's the case,
4 but they have made those statements to us in similar
5 circumstances about this whole notion of resolving the
6 issues.

7 The licensees now have placed in the NRC's
8 court the whole idea of cumulative impact of
9 regulatory requirement. A number of NRC-mandated
10 requirements are out there and licensees, frankly, are
11 required to juggle them all and this issue, amongst
12 others is just another thing on their plate. There is
13 a benefit and I would argue a safety benefit to have
14 licensees focus on a few issues it wants. That is
15 another factor.

16 I don't want to speak for the industry.
17 You can ask them.

18 DR. KRESS: Are large break LOCAs
19 frequencies, 10^{-6} , 10^{-7} per year? As best I recall.
20 My memory may be hazy on that because it's been a
21 while.

22 MR. SCOTT: I think it's less than 10^{-6} ,
23 but we probably have a staff person who can speak to
24 it accurately. Here comes --

25 MR. DINSMORE: Steve Dinsmore from the NRR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 PRA Branch. The TBS LOCA which is kind of what we're
2 looking to find in large break, it was selected so
3 that we were confident that the frequency of that
4 break was 10^{-5} per year or less.

5 DR. KRESS: Okay, 10^{-5} , that makes a
6 difference. I was assuming 10^{-6} .

7 MEMBER ABDEL-KHALIK: But this is the
8 positional break size.

9 DR. KRESS: If you used the 10^{-6} and set
10 it all with the CDF, well, without any other
11 consideration, then that's an insignificant increase
12 in the CDF of the plant.

13 MR. SCOTT: We have issues anyhow which
14 we'll talk about as to why we don't think that's a
15 prudent way to make a regulatory decision.

16 DR. KRESS: Is it defense-in-depth?

17 MR. SCOTT: That's a large part of it,
18 yes.

19 DR. KRESS: I can see that.

20 MR. SCOTT: The fact that Chris already
21 talked about it, the second bullet on here. This is a
22 situation where if you adopt leak-before-break and
23 we're getting ahead of ourselves here, if you adopt
24 leak-before-break and you assume that if you were to
25 get a LOCA in an LBB pipe, you've got to assume some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 failure because you have no demonstration of sump
2 adequacy and therefore you lose ECCS and you lose
3 containment spray which we do not believe is a good
4 state of affairs to have, regardless of the
5 probability where you lose both the preventer and the
6 mitigator at the same time.

7 DR. KRESS: This is one of those cases
8 where defense-in-depth overrides risk.

9 MR. SCOTT: Well, we are trying to risk-
10 inform the process in the time line that we're
11 proposing to allow and in the compliance demonstration
12 which is what 50.46(a) allows some relaxation there,
13 so we're trying to recognize the staff's current
14 viewpoint on risk-informing the ECCS regulation, so I
15 wouldn't say it's as simple to say we're not paying
16 attention to that.

17 DR. KRESS: It seems okay, to do it for a
18 time line because it's a limited amount that you're at
19 this kind of risk. That makes some sense.

20 CHAIRMAN BANERJEE: Can I ask the question
21 of the three-inch? Is that with the new sumps, the
22 larger sumps?

23 MR. SCOTT: This is a plant that has one
24 of the smaller sumps, but yes, it has a larger sump
25 than it used to have. This is a product of the thin-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 bed effect.

2 CHAIRMAN BANERJEE: Okay. All right.

3 MR. SCOTT: This is why any argument that
4 you hear about it's not a safety issue because large
5 breaks are unlikely. We do not believe is a complete
6 argument.

7 CHAIRMAN BANERJEE: Carry on.

8 MR. HOTT: This slide is about models and
9 staff believes they're conservative, but not overly so
10 and the industry believes they're overly conservative
11 and that's why they're proposing new refinements and
12 new testing.

13 CHAIRMAN BANERJEE: There's been a huge
14 amount of work with this Committee. Actually, I've
15 been looking down on ZOI, based -- you go back ten
16 years. And I think they came to the firm conclusion
17 that you could neither say it was conservative or not
18 conservative. And there are enormous amounts of paper
19 using all sorts of things.

20 MR. SCOTT: There is conflicting
21 information out there today. We've had some
22 international technical exchanges and heard references
23 to higher ZOIs.

24 CHAIRMAN BANERJEE: Yes.

25 MR. SCOTT: So it is -- we haven't seen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 enough to be compelling to conclude that our ZOIs as
2 currently in the safety evaluation are non-
3 conservative, but there is -- I agree with you,
4 there's a lot of uncertainty out there about whether
5 it is difficult for us to conclude and agree with the
6 industry that what we have now is --

7 CHAIRMAN BANERJEE: I've actually just
8 been looking through this as a matter of interest and
9 it's opening a huge can of worms on something which is
10 more or less agreed to right now and it could go any
11 way. It's a wild card.

12 DR. KRESS: It would seem imprudent for
13 the staff --

14 CHAIRMAN BANERJEE: Very, very imprudent.

15 DR. KRESS: To decide whether or not this
16 is really conservative or not.

17 MR. SCOTT: Well, again, we believe based
18 on the available information that the ZOIs in the
19 safety evaluation are adequately conservative.

20 DR. KRESS: Wouldn't that be a plant-
21 specific determination though?

22 MR. SCOTT: It's a material-specific
23 determination.

24 DR. KRESS: Material and plant, it seems
25 to me like. Because it depends on the --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: The geometry.

2 DR. KRESS: The geometry and where the
3 material is compared to how you assume the sphere.

4 MR. SCOTT: That discussion was held quite
5 some time ago in development of the 2004 NEI guidance
6 on this subject. There are arguments pro and con
7 regarding the simplification that the spherical ZOI
8 represents and arguments whether its removal would
9 result in a higher or a lower amount of material
10 impacted.

11 Again, based on the information available
12 to us today, we find the 2004 safety evaluation ZOIs
13 acceptable and if information is presented to us that
14 causes to revisit that, we'll revisit it.

15 The industry is attempting to revisit it
16 from the perspective of showing that they're too
17 large, and if a credible case can be made to support
18 that, then --

19 CHAIRMAN BANERJEE: This is going to be
20 extremely difficult argument to make based on scaling
21 and similarity. I cannot see how you can do full-
22 scale tests. I mean we are not in the situation where
23 there is some regulatory certainty at the moment. I
24 imagine if this issue came in front of this Committee,
25 there would be very, very serious issues raised with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it being conservative enough, perhaps, so because of
2 the scaling arguments.

3 MR. SCOTT: And of course, scaling was a
4 major issue that we had with the previous attempt at
5 reducing ZOIs.

6 It is true that the industry in attempting
7 to credit reduced ZOIs is swimming upstream because of
8 all of those uncertainties --

9 CHAIRMAN BANERJEE: Trying to go up
10 Niagara Falls?

11 DR. WALLIS: I like what you said, Mike.
12 You're discussion was very good, but I think you ought
13 to be careful about using the word "belief" here.
14 Because if you believe something which is contrary to
15 what the ACRS says, then it's not a very good thing to
16 believe.

17 MR. SCOTT: What are you --

18 (Laughter.)

19 DR. WALLIS: About believing --

20 MR. SCOTT: Which particular belief are
21 you referring to?

22 CHAIRMAN BANERJEE: The second bullet.

23 DR. WALLIS: It only applies to the top
24 part, not the bottom part. You don't believe the ZOI,
25 but you believe the debris generated in the transport

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 part.

2 DR. KRESS: Well that ZOI, the debris
3 generated.

4 DR. WALLIS: Would you believe that ZOI is
5 conservative?

6 MR. SCOTT: I'm not sure what you're
7 referring to.

8 CHAIRMAN BANERJEE: I think we take the
9 fifth amendment and carry on.

10 (Laughter.)

11 DR. WALLIS: ACRS is very careful not use
12 the word belief in any of its letters.

13 DR. KRESS: Because they don't believe in
14 anything.

15 DR. WALLIS: High probabilities and things
16 like that.

17 CHAIRMAN BANERJEE: Next slide.

18 MR. HOTT: All right. The purpose of this
19 slide is really just to show that one way to consider
20 all of these options in the SECY papers is to think of
21 them in terms of requirements of relaxation. Option 1
22 provides no refinements of relaxations to currently
23 accepted methods.

24 Option 2 would give refinements or allow
25 them for larger breaks due to their low likelihood.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And Option 3 would provide the largest refinement in
2 that no debris would be assumed to be generated in the
3 debris generation --

4 DR. WALLIS: You've set schedules before
5 and you've allowed some time. Are you going to do it
6 again? Some time has got to be a deadline maybe?

7 MR. SCOTT: And we look forward to the
8 Commission's decision on what that deadline will be
9 based on the staff's recommendations or whatever
10 course they choose to take.

11 Next slide.

12 MR. HOTT: We talked about earlier, we're
13 sensitive to the potential dose impacts of additional
14 modifications to resolve GSI-191. This shows the
15 industry estimates during the April 15th Commission
16 meeting which we're 600 REM for a maximum and an
17 average of 200 REM per plant for fibrous insulation.

18 DR. KRESS: Is this per person?

19 MR. HOTT: That's collective dose.

20 DR. KRESS: Collective dose? It doesn't
21 seem like very much.

22 DR. WALLIS: If you put enough people in
23 there --

24 MR. SCOTT: Let's just -- why don't we
25 leave the numbers here as they are and you can ask the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry about those when they make their
2 presentation.

3 MR. HOTT: Seeing those numbers, we
4 thought that those numbers were actually rather high,
5 so we obtained some data samples from plants that we
6 had known to have done insulation change outs and
7 doses that we saw range from 5 to 44 REM, personal
8 REM, an average of 19 personal REM.

9 MEMBER RYAN: But you've got to factor
10 between the industry estimates as you said in the
11 first bullet and your actual data which is an average
12 of about 20.

13 MR. SCOTT: But look at the next bullet.
14 We're not contending that these partial insulation
15 replacements are representative.

16 MEMBER RYAN: What I want to ask you is
17 what's the average of 19, based on 1 plant, 10 plants?
18 You say it's data. It's not estimates.

19 CHAIRMAN BANERJEE: How many estimates.
20 If they put it down, I think it's what, seven or eight
21 plants?

22 MR. SCOTT: In that vicinity, yes.

23 MEMBER RYAN: Seven or eight plants,
24 average 19 rev.

25 MR. SCOTT: For limited scope insulation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 replacements. But what I don't want to do here is try
2 to imply that those were full scope where a plant
3 needs to take out all the insulation. That's why --

4 MEMBER RYAN: So how much more work would
5 it take to go from the scope you saw to a full scope?

6 Is it a factor of 10, 5, 2?

7 MR. SCOTT: It's plant specific. The
8 industry's position has been that doing as we had
9 proposed in our 50.40(f) letters would largely result
10 in the remaining plants having to remove all of their
11 fibrous insulation. We don't believe that's
12 necessarily the case.

13 MEMBER RYAN: My question is what do you
14 think a range in ultimate doses would be for real
15 plants?

16 MR. SCOTT: I'm a bit reluctant to
17 speculate.

18 MEMBER RYAN: Okay, I guess it would be a
19 helpful insight to understand what that commitment is,
20 across the range and it's good that you get the data
21 for seven plants.

22 MR. SCOTT: We believe that 600 REM is
23 overstated.

24 MEMBER RYAN: By how much?

25 MR. SCOTT: The 200 might be more like a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 worst case. That's speculation --

2 MEMBER RYAN: That's fine. But that's
3 your insight based on what you evaluated and seen so
4 far.

5 MR. RULAND: We have had some informal
6 feedback, unsolicited from at least one licensee that
7 these numbers were overstated.

8 DR. WALLIS: Are there ways to improve the
9 way in which you remove insulation, develop better
10 robots or something or better devices to make it
11 happen?

12 MR. SCOTT: All licensees do ALARA
13 planning for jobs like this. This would not be one
14 that they would have to rush into. So I think I
15 basically agree with what you're suggesting, that the
16 licensees could take measures to minimize this dose,
17 but you are talking about, for example, some of these
18 heat exchangers or crunch wraps and there's no getting
19 around it. If they have to remove the insulation
20 around the heat exchanger, it's going to be a
21 significant dose. It's aggravated if they happen to
22 have asbestos. Most apparently don't, but if they do
23 have it and they have to remove that, then that would
24 add significantly to their dose.

25 We know of one plant that is trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remove everything except an installation of that
2 material, asbestos, on a heat exchanger that's
3 particularly problematic, and their expectation is
4 that they'll succeed in showing adequate strain of
5 performance without taking that particular material
6 out.

7 So again, it's plant specific. The last
8 data point is to speak -- the last bullet on this page
9 is to speak to the way it was portrayed in April was
10 -- tended to be -- it's all or nothing. We've got to
11 take it all out and we don't believe that's
12 necessarily the case.

13 CHAIRMAN BANERJEE: Is it possible to
14 protect it?

15 MR. HOTT: Yes, you can reinforce the
16 insulation and that's an option that some licensees
17 could choose. Also, there may be some of this
18 problematic insulation that isn't within the zone of
19 influence that they wouldn't have to replace.

20 MR. SCOTT: Yes, band it. They can band
21 it.

22 MEMBER RYAN: I mean that's a big swing in
23 what the ALARA cross would be, the duty -- it would be
24 interesting to sharpen the pencil on some of that.

25 CHAIRMAN BANERJEE: Mike, this is, I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a line of questioning we need to follow --

2 MEMBER RYAN: Yes, thank you.

3 CHAIRMAN BANERJEE: What makes them think
4 it would be 200 to 600 --

5 MEMBER RYAN: Fair enough.

6 MEMBER SHACK: You've accepted the
7 banding? You have a value that you'll believe, the
8 banding.

9 MR. SCOTT: The staff has issued for
10 comment a draft revision to the 2004 safety evaluation
11 that contains a proposed ZOI for banded material.
12 There actually is something in the 2004 SAE, but we
13 believe it needed some revision. So it's out there
14 for comment right now.

15 CHAIRMAN BANERJEE: How much of a problem
16 is latent debris? Because we've been looking at this
17 for some of the new plants. And even for very clean
18 plants they start to have significant downstream
19 effects. And for the existing plants that you brought
20 now, what sort of a problem was this latent debris?

21 MR. SCOTT: For the existing plants, it is
22 possible that with latent debris alone a thin bed on
23 the strainer could be incurred.

24 CHAIRMAN BANERJEE: Or it is a downstream
25 effect.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Right and if the bed does not
2 incur, by and large the material goes downstream. The
3 industry has done -- well goes downstream, settles,
4 whatever. Industry has done testing. This is the in-
5 vessel effects testing on both vendors' fuels and have
6 established a limit or are establishing a limit since
7 the testing is still going on that a low-fiber plant
8 should be able to meet.

9 Now in the case of one of the vendors
10 which has a lower apparent tolerance the other vendor,
11 it is possible that some of their licensees could,
12 even if they're not low-fiber plants need to go to low
13 fiber to prevent having a problem in in-vessel
14 effects. I'm not sure if that's the question you
15 asked?

16 CHAIRMAN BANERJEE: I was more focused on
17 latent debris in the sense that even if you have a
18 low-fiber plant or a very low-fiber, no-fiber plant,
19 is there still a downstream effect problem due to
20 latent debris?

21 MR. SCOTT: It is likely that they would
22 not have a problem. They would need to use the
23 topical report to show that which provides them an
24 acceptance criteria in terms of the amount of debris
25 that bypasses the strainer. And if they are able to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 show they're bound by the topical report and the NRC
2 accepts the topic report, then they're good to go. If
3 not, then they have to consider path forward.

4 MR. RULAND: Mike, could you talk just a
5 little bit about why licensees specifically don't want
6 to reduce the latent debris term.

7 MR. SCOTT: I'm not sure what you mean.

8 MR. RULAND: For instance, 200 pounds
9 latent --

10 MR. SCOTT: Oh, okay. Licensees want to
11 retain margin for either new modifications or
12 unexpected developments. So for example, you come up
13 with the latent debris amount in your plant by
14 sampling over outages. And let's say you get 50
15 pounds which is not an unheard of number. A licensee
16 might assume in their testing 200 pounds or use that
17 much in their testing, simply so that if somebody goes
18 out in the next cycle, they have 80 pounds of latent,
19 then there's no problem. Or if they want to do a
20 modification, for some reason they want to put some
21 fibrous insulation in the plant, and in this day and
22 age you wouldn't want to do that if you could avoid
23 it, clearly, because of this issue, but if you had to,
24 they'd want to be within their analysis limits.

25 So I think that's what Bill was referring

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to. So some of them want to assume more than they
2 actually have. So in some of these cases, we've
3 actually had a situation where if the plant tested
4 with the amount of fiber they really have, latent
5 fiber, we'd be pretty much sure they'd be fine. But
6 the problem is they tested with a lot more and it's so
7 -- okay, so they really have 50 and they tested with
8 200. Would we be okay if we found they had 150, if we
9 didn't accept the test that yielded or resulted in
10 2000? That puts us and them in a difficult situation.
11 I see the low-fiber plants going around with this.

12 CHAIRMAN BANERJEE: So are there sort of
13 typically samples taken during outages and things to
14 keep an eye on the latest debris?

15 MR. SCOTT: There is guidance out there in
16 the safety evaluation from 2004 on how to sample and
17 how often to sample and the licensees do that. And
18 that's one of the areas we review in their packages.

19 MR. HOTT: Next slide. And we've covered
20 everything on this slide, I believe. Go to the next
21 one.

22 This slide is to just highlight some of
23 the advantages of the recommended approach. We
24 believe that the interim resolution for the most
25 significant more likely small break LOCAs while

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 allowing additional time for industry to justify some
2 evaluation refinements to maintain sufficient defense-
3 in-depth by requiring mitigation for all size breaks
4 incorporates risk insights both in the implementation
5 schedule and in the analysis of large or less likely
6 LOCAs. It continues the holistic review process
7 that's been successful for two thirds of all PWRs and
8 it balances known conservatisms against uncertainties
9 to avoid excess conservatisms.

10 An implementation schedule here also takes
11 into account the amount of effort and planning
12 necessary for licensees to plan and execute those
13 additional modifications using ALARA methods to reduce
14 the radiation --

15 DR. WALLIS: There's not a danger of the
16 staff not requiring enough conservatism? You seem to
17 be worried about acquiring excess.

18 MR. SCOTT: We are pursuing an approach
19 that we believe would provide adequate conservatism.
20 The real problem here that the industry has expressed
21 and I'll answer your question kind of indirectly here.

22 There are a number of review areas, better part of a
23 dozen review areas, debris generation, debris
24 transport, MPSH, so on and so on and so on. And the
25 staff has, through the 2004 safety evaluation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determined that there is an adequately conservative
2 approach to each of those areas.

3 The problem that the industry has
4 expressed is since it's basically a multiplier here in
5 figuring how much gets to the strainer and what
6 happens when it gets there, that if you're
7 conservative in each area, you're potentially grossly
8 over conservative by the endpoint when you're
9 calculating the actual strain of performance.

10 So their view is that we are inclined to
11 have over the process of resolution of this issue,
12 push for more conservatism than is needed. We put
13 this IRT process in place to get away from that, but
14 the IR is charted to still have assurance that the
15 licensee has shown compliance. So we believe that
16 there is adequate conservatism in the approach that's
17 taken.

18 The IRT has not been successful in
19 reaching closure for licensees when they have large
20 number of open questions regarding their methods. So
21 once the licensee has whittled down the number of
22 questions that the staff has to a very few and you
23 compare that with the demonstrably significant number
24 of conservatisms that are involved in using the
25 approach that the staff has accepted, that we can say

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 okay, so there's this one remaining item that we had
2 some questions about, but overall, the staff concludes
3 that the issue has been addressed conservatively and
4 then we sign off on the plant.

5 So we believe that that process provides
6 adequate conservatism.

7 DR. KRESS: On your third bullet, in a
8 previous slide from the Committee, I had trouble with
9 deciding how to measure defense-in-depth and put a
10 number on how much was sufficient.

11 Do you have any help for me on that?

12 (Laughter.)

13 I never could decide how much was
14 sufficient or how --

15 MR. SCOTT: Can I take the fifth on that,
16 Dr. Banerjee?

17 CHAIRMAN BANERJEE: Go ahead.

18 MR. SCOTT: The point of this bullet was
19 to contrast the defense-in-depth situation with LBB
20 versus the defense-in-depth situation with 50.46(a) --

21 DR. KRESS: That's probably a good way
22 around the issue.

23 MR. SCOTT: In the one case a
24 demonstration is required to show that the strainer
25 could handle that particular break. And in the other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 case, it's not. So that's one of those things wherein
2 our minds it is -- there's a clear demarcation here of
3 what's good enough and what's not. Beyond that, I
4 probably have to pass.

5 CHAIRMAN BANERJEE: I think clearly we
6 should continue -- this question is not going to get
7 answered quickly. Mike Corradini is on the line and
8 would like to ask a question. Can you hear us?

9 MEMBER CORRADINI: I can hear you Sanjoy.
10 How do you know that I want to ask a question?

11 CHAIRMAN BANERJEE: Because I have second
12 sight.

13 (Laughter.)

14 Carry on.

15 MEMBER CORRADINI: Well, my question, it
16 was a while ago and I didn't want to bother folks.

17 Are we going to come back to the risk-
18 informed approach? That's maybe a general question.
19 If we are, I'm going to hold my question until we come
20 back to it in the next presentation. Is that correct?
21 We're going to see this again?

22 MR. SCOTT: Yes, we have a follow-on
23 presentation on this.

24 MEMBER CORRADINI: Then let me hold my
25 question because it was back about two or three slides

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ago and I didn't want to bother you guys. I'm
2 listening and I'll come back to it when we come to
3 that presentation.

4 CHAIRMAN BANERJEE: Mike, when you want to
5 ask the question, just make a loud noise, so we know.

6 MEMBER CORRADINI: Should I clap or what?

7 CHAIRMAN BANERJEE: Yes, of course.

8 MEMBER CORRADINI: Okay, fine.

9 MEMBER ABDEL-KHALIK: Just to be clear,
10 what is meant by the word "recommended" on this slide?
11 Is it option 1B in your --

12 MR. SCOTT: It was the combination of -- I
13 believe it was 1B and 2, right? 1 bravo and 2. In
14 other words, it's what we recommended to the SECY
15 paper.

16 MEMBER ABDEL-KHALIK: All right, thank
17 you.

18 MR. HOTT: Next slide. All right the
19 next presentation will be on general design criterion
20 4. It will be given by Tim Lupold and John Tsao.
21 Those gentlemen will be followed by Tim Collins and
22 Steve Dinsmore who will give a presentation on risk-
23 inform considerations and the proposed 10 CFR 50.46(a)
24 rulemaking.

25 Following Tim's and Steve's presentation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we'll provide a brief summary presentation.

2 CHAIRMAN BANERJEE: Let me before we move
3 on, ask the Committee, would you like a three-minute
4 break? Four-minute break? All right.

5 We will take a three-minute break and then
6 -- four minutes. Five top. A five-minute break and
7 then we will be back. Is that okay with you, Mike?

8 MR. HOTT: Sure.

9 CHAIRMAN BANERJEE: We're off the record
10 now.

11 (Whereupon, the above-entitled matter went
12 off the record at 2:29 p.m. and resumed at 2:36 p.m.)

13 CHAIRMAN BANERJEE: We are now in session
14 and on the record.

15 4. POTENTIAL APPROACHES TO BRING GSI-191 TO CLOSURE

16 MR. SCOTT: Okay. So now we are going to
17 discuss with you our position on the application of
18 general design criteria in IV, specifically
19 leak-before-break, for the resolution of GSI-191
20 issues. And our presenters will be Tim Lupold and
21 John Tsao. So, Tim, take it away.

22 MR. LUPOLD: Good afternoon, everyone. I
23 am Tim Lupold, the Branch Chief of the Piping and NDE
24 Branch in the Division of Component Integrity in NRR.
25 And with me is John Tsao. John is our technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 expert on LBB within the branch.

2 I would like to take a quick review, a few
3 minutes to do a quick review, of the recent events
4 that got us to this point. Chris talked about the
5 letters that were generated.

6 We had a staff meeting here, a meeting
7 with the Commission scheduled April the 15th to
8 discuss the actions for GSI-191. And prior to that
9 meeting, Nuclear Energy Institute sent a letter urging
10 the NRC to consider the application of GDC-4 as a
11 means to resolve the remaining GSI-191 issues and
12 concerns. Specifically, the use of GDC-4 LBB would be
13 used to analytically reduce the amount of debris that
14 would be transported to the sump.

15 The Union of Concerned Scientists also
16 sent us a letter dated April 14th and requested the
17 NRC not permit the application of GDC-4 to address the
18 remaining issues of GSI-191. So we have opposing
19 viewpoints here to look at and resolve.

20 And on April 15th, the Commission held a
21 meeting, during which both the industry and the staff
22 gave perspectives relating to the remaining issues
23 associated with GSI-191. As a result of the meeting,
24 the Commission issued an SRM requesting we provide a
25 notation vote policy paper on the potential approaches

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to bring GSI-191 to closure. In the SRM, the
2 Commission specifically identified GDC-4 as one of the
3 items to be discussed in the policy paper. And we are
4 here today as a result of that.

5 Okay. A little bit of background. GDC-4
6 permits the dynamic effects from pipe rupture to be
7 excluded when analyses that are reviewed and approved
8 by the Commission demonstrate an extremely low
9 probability of pipe ruptures.

10 The analyses referred to in GDC-4 are
11 related to leak-before-break methodology. And the
12 leak-before-break concept is based on testing and
13 analysis verifying pipe material has sufficient
14 resistance to uncontrollable crack propagation.

15 In other words, the pipe will most likely
16 develop a small crack such that an operator would
17 identify the leakage and then take actions before
18 there is an actual rupture of the piping system. And
19 we placed in the standard review plan 3.6.3 the
20 guidance on how LBB analyses are performed.

21 MEMBER SHACK: Just on your first bullet,
22 the quibble, you don't really demonstrate a low
23 probability of pipe rupture. You demonstrate a
24 deterministic analysis, from which you conclude that
25 the probability of pipe rupture is extremely low.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. LUPOLD: You are exactly correct. We
2 ensure that there is a margin of safety between the
3 size of the flaw that will produce ten times the
4 leakage. And then given that flaw size, we assure
5 that there is a margin of two between that and the
6 size that would lead to an unstable rupture of the
7 pipe.

8 But it is. You are right. LBB is not
9 really a probabilistic approach. It is a
10 deterministic approach to show that you have a low
11 probability of rupture. Very good point.

12 MEMBER SHACK: You infer that you have a
13 low probability of rupture.

14 MR. LUPOLD: That is exactly right. Very
15 good point.

16 Now, when LBB was first incorporated in
17 the GDC-4 regulations, the rulemaking included
18 statements of consideration to provide insights
19 regarding the intent of the rule, you know, why it was
20 being adopted. And some of these ideas are captured
21 here.

22 The first idea was that LBB credit
23 enhances safety through the removal of plant hardware.
24 There used to be pipe whip restraints, jet
25 impingement barriers out in the plant. These

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 components would sometimes inhibit inspections that
2 were called for within the ASME section 11 inspection
3 program.

4 And, therefore, the thought was that these
5 are some of the negative effects of plant performance.

6 And LBB would give licensees the option to remove
7 such components. Therefore, they would be able to do
8 more inspections and better inspections on these
9 components.

10 The idea was that they could do that while
11 not affecting emergency core cooling systems,
12 containments, or the environmental qualification of
13 mechanical and electrical equipment. Okay.

14 Also, LBB applies to local and not global
15 dynamic effects. And LBB removes the requirement to
16 consider jet impingement forces on adjacent
17 components. The decompression waves within the system
18 did not have to be considered. And dynamic
19 pressurization in cavities, subcompartments, and
20 compartments did not need to be considered.

21 Okay. Now it's --

22 DR. WALLIS: This applies to pipes
23 presumably.

24 MR. LUPOLD: This applies to pipes.

25 DR. WALLIS: I was thinking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Davis-Besse. I don't know why, but was there
2 leak-before-break? I would think that that ladder at
3 Davis-Besse would have popped without leaking.

4 MR. LUPOLD: You're referring to --

5 DR. WALLIS: Because you have a larger
6 LOCA than --

7 MR. LUPOLD: -- the Davis-Besse reactor
8 vessel head?

9 DR. WALLIS: Yes. You have got a larger
10 LOCA than some of the transition pipe sizes that are
11 suggested.

12 MR. LUPOLD: That is a potential. I mean,
13 that could have occurred. I mean, granted, there was
14 a leak there that caused the cavity of the head. That
15 leak occurred for --

16 DR. WALLIS: And that was apparently not
17 taken seriously.

18 MR. LUPOLD: Well, I don't really want to
19 go into all of this. It's associated with
20 Davis-Besse, but --

21 DR. WALLIS: I was just thinking about it.
22 Yes.

23 MR. TSAO: But leak-before-break is
24 applied to piping, not --

25 DR. WALLIS: I knew that. That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I know. But I was just --

2 MEMBER SHACK: It also assumes you'll do
3 something about the leak when you know it's there.

4 MR. LUPOLD: Yes.

5 DR. KRESS: It also assumes you'll know
6 it's there.

7 MR. LUPOLD: Yes, it does. Okay. Let's
8 look at some of the advantages of applying GDC-4 to
9 the issues remaining for GSI-191. Plants have already
10 replaced some of the insulation, may not need to
11 replace any additional insulation because they
12 wouldn't have to assume that that insulation is
13 transported to the sump.

14 Also, plants that have not replaced
15 insulation at all to this point the application would
16 likely reduce the scope and the number of needed
17 insulation change-outs at that plant. And as the
18 amount of insulation that needs to be considered from
19 transport to the sump is reduced, it may the eliminate
20 need for additional strainer testing.

21 And that may provide those licensees who
22 have already shown satisfactory strainer performance
23 the potential to recover operational margins. In
24 other words, they may have another modification they
25 want to do, and they can take credit, then, for some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of this additional margin it may give them and allow
2 that to justify these other modifications, whatever
3 they may be.

4 DR. WALLIS: All these statements are
5 mights and coulds. And so we don't really know what
6 the consequence would be. These are things that might
7 happen.

8 MR. LUPOLD: Well, if we were going to
9 make this go with the approach that GDC-4 is applied
10 to these piping systems --

11 DR. WALLIS: It seems to me if we are
12 going to make a decision, it is nice to know what the
13 consequences really are likely to be, not what they
14 might be.

15 MR. SCOTT: Here's the thing. It's all
16 extremely plant-specific. And you can't know the
17 answer to it until you do the evaluation. And the
18 evaluation has not been done. So I --

19 DR. WALLIS: So why would you make the
20 decision to apply it if you don't know the
21 consequences of doing it yet?

22 MR. SCOTT: Well, as you already know from
23 reading the documents, we do not recommend that this
24 approach be taken. We are citing here what the
25 potential -- we are trying to, you know, be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 straightforward about what this would obtain should
2 the Commission decide to do it.

3 Now, exactly how much benefit a licensee
4 would obtain, it is true we don't know and I suspect
5 they don't know, although you can ask the industry if
6 they have done some analyses of what would be the
7 impact of this. I'm sure they would be happy to share
8 it.

9 DR. WALLIS: If the benefit were very
10 large, you might change your conclusion.

11 MR. SCOTT: We would not change your
12 conclusion because of the cost, which we will talk
13 about it.

14 MR. LUPOLD: And it is going to be a
15 function of where the problematic insulation is. If
16 it's on these pipes that are used in LBB, there could
17 be a very large benefit from applying GDC-4 to these
18 systems. If it's not, if the insulation which is on
19 these systems which have been analyzed for LBB, if
20 that's not fibrous insulation, then it may not help
21 the situation much at all. And I think some of that
22 bears out and as I go into it in later slides.

23 And, like Mike said, it is plant-specific.

24 You've got to have to know where your insulation that
25 gives you problems is located at. You know, if it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on these systems, it could give you a big benefit. If
2 it's not --

3 DR. WALLIS: So this isn't something which
4 might actually make the GSI-191 problem go away
5 quickly by --

6 MR. SCOTT: What it could do if applied
7 would be to ease the licensee's burden in showing
8 adequate strainer performance. It is not, as we see
9 it, a safety benefit to do this. It would be
10 potentially a negative from the perspective of safety
11 for the reasons that we are going to talk about.

12 So if you look at benefits broadly, could
13 it help the licensees basically close this issue?
14 Yes. We are not comfortable with that particular form
15 of closure for reasons --

16 MEMBER ABDEL-KHALIK: Let's just focus on
17 safety. Okay?

18 MR. SCOTT: That's what we're going to do.

19 MEMBER ABDEL-KHALIK: All right. Now,
20 GDC-4 was put in place because safety would be
21 enhanced because you would allow the removal of these
22 barriers and, therefore, you would do more
23 inspections. Can you tell me how or perhaps I should
24 reserve this question to industry when they come up,
25 how application of GDC-4 to GSI-191 would enhance

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 safety?

2 MR. SCOTT: We do not believe it would.
3 And that point is made in our presentation.

4 MEMBER ABDEL-KHALIK: I do recognize that
5 it is made in your presentation, but you get into a
6 lot of arguments about local versus global effects and
7 whether or not GDC-4 applies.

8 But that is really -- I mean, you're
9 spending a lot of time without focusing on the heart
10 of the issue. This is in place because it enhances
11 safety.

12 MR. SCOTT: With that, I suggest that we
13 proceed to why we agree with you.

14 MEMBER ABDEL-KHALIK: Okay.

15 MR. LUPOLD: Let's take a look at a
16 couple, at some of the disadvantages associated with
17 applying GDC-4 to the GSI-191 issues. Systems and
18 components are generally designed to provide
19 defense-in-depth, such as did unexpected events occur,
20 other systems or components will still be able to
21 function.

22 In this case, large amounts of problematic
23 materials may be left in containment, while the
24 probability of rupture may be very low, it's not zero.

25 And if LBB rupture occurs, then you could have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 large reduction in defense-in-depth.

2 MEMBER ABDEL-KHALIK: I guess the reason I
3 raised the question earlier is that the manner in
4 which this is being presented, advantages versus
5 disadvantages, in my view is not the right way to
6 address this. It's whether it is consistent with the
7 spirit in which GDC-4 was put in place or not. That
8 is the issue.

9 MR. LUPOLD: And we tried to take a
10 holistic look at this to look at what the advantages
11 and disadvantages would be, but it's not intermingled
12 in this what those advantages relating to safety are
13 and what those disadvantages relating to safety are.

14 Now, how does it negatively impact safety?
15 How does it positively impact safety?

16 MR. SCOTT: The original intent, which is
17 what you're referring to, matters, but the Commission
18 could choose to take a different approach to this,
19 despite what the intent was when GDC-4 was revised.
20 So the intent is a part of it, but it's not the only
21 part. We believe it's a significant part, but there
22 are many other aspects of why we don't think this is
23 the right thing to do.

24 Even if the Commission today were to take
25 a clean slate look at it and say, "Despite what we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in the past, here is what we think we ought to do
2 now," we are trying to make the case and made the case
3 to the Commission in the SECY paper that that is not
4 the right thing to do. It's a much broader argument.

5 MEMBER ABDEL-KHALIK: Okay. Thank you.

6 MR. LUPOLD: And just the last few bullets
7 we have here, there has been testing done that shows
8 the small amounts and combinations of debris have
9 shown that there would be a problem with sump
10 performance. And small amounts and specific
11 combinations have led to sump failure in those tests.

12 Also, sump failure following a LOCA in a
13 LBB piping would likely cause a failure of ECCS core
14 cooling, a preventative feature, and also result in
15 the loss of containment spray system and without any
16 other protection system failures.

17 So, continuing on with disadvantages --

18 CHAIRMAN BANERJEE: So if you sort of took
19 this logically one more step, you could say that LBB
20 could be used to significantly reduce the capabilities
21 of the ECCS system. I mean, it's in the same vein.

22 MR. LUPOLD: I think what we are trying to
23 say is that if you --

24 CHAIRMAN BANERJEE: What is the
25 distinction? I mean, this approach would be used to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say, "Well, we don't need ECCS for more" --

2 MR. SCOTT: It could be used to say we
3 don't need a number of things.

4 CHAIRMAN BANERJEE: Right. This is one.
5 But then take the next step: to get rid of the ECCS
6 and perhaps even the containment after that.

7 MR. LUPOLD: You're getting into one of
8 the fears that the staff has, that if GDC-4 is applied
9 in this particular application, what is the next
10 application that is going to be applied? And then
11 what is the next application it is going to be applied
12 to?

13 And how is it going to change the general
14 design and analysis of plant systems in the analysis
15 --

16 CHAIRMAN BANERJEE: I mean, Said's
17 argument was that originally it was applied to enhance
18 safety, which was clearly an acceptable direction.

19 But now you're applying it in a way which
20 --

21 MEMBER ABDEL-KHALIK: Does not.

22 CHAIRMAN BANERJEE: -- does not. And it
23 seems what you're making a clear argument is that
24 these people have converted, obviously, but it does
25 reduce defense-in-depth. It's clear.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: It has a number of -- this is
2 why it takes us several slides to go over all of these
3 impacts, several of which you cited. And there are
4 some yet to be discussed.

5 MEMBER SHACK: Well, I mean it's
6 inconsistent with the guidance the Commission has
7 provided for 50.46a, which was retain the ability to
8 mitigate large break LOCAs.

9 MR. SCOTT: And that's another one of our
10 bullets.

11 MEMBER SHACK: Right, somewhere along the
12 way.

13 MR. SCOTT: We're getting there. It just
14 takes us a while.

15 MEMBER SHACK: All right. So the
16 Commission would have to sort of change its mind about
17 that position.

18 MR. LUPOLD: Right.

19 MR. SCOTT: There would be a number of
20 changes should they go that direction, yes.

21 MR. LUPOLD: Maybe I should just quickly
22 move through these and get right more into the back of
23 the heart of the policy considerations. But I will
24 mention --

25 MEMBER SHACK: This one doesn't seem to me

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to apply particularly to GDC-4. This is a
2 leak-before-break question.

3 MR. LUPOLD: Yes, primary washer stress --

4 MEMBER SHACK: Yes. You guys have to
5 address that anyway.

6 MR. LUPOLD: Right. We have to address
7 this anyway. But right now we have not really
8 addressed PWSCC associated with those lines that --

9 MEMBER SHACK: But you're piling --

10 MR. LUPOLD: -- have been analyzed for
11 LBB.

12 MEMBER SHACK: Yes.

13 MR. LUPOLD: I mean, we put interim
14 actions in place to increase -- actually, the industry
15 voluntarily put forth actions together to increase the
16 inspection frequency associated with these welds that
17 contained nickel alloy.

18 The staff has taken actions, too, working
19 with ASME to create code cases for increasing the
20 frequency of the examinations of these welds. And
21 we're in the process in our most recent -- our current
22 rulemaking to mandate the use of the code cases for
23 the volumetric inspections of these welds.

24 We consider that to be an interim measure.
25 Inspections aren't mitigation. And we're working

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 long term with the Office of Research on a computer
2 module, which is to demonstrate an extremely low
3 probability of rupture for these piping systems. And
4 that is an ongoing effort, which is going to take a
5 number of years before this PWSCC issue is addressed
6 completely for these systems, which contain nickel
7 alloys.

8 The point here is, though, that a lot of
9 these systems we're talking about for LBB, they
10 contain these nickel alloy welds. And so that is
11 really an issue that we have to be cognizant of. And
12 if we're going to say that GDC-4 should be applied, we
13 need to know that and make that conscious decision
14 that, even with this, we're still going to apply it.

15 All right. Let's go on to the next slide,
16 then. Okay. GDC-4, if it is approved for application
17 to GSI-191, the dynamic effects from non-LBB piping
18 and loss-of-coolant accident, sources, such as
19 manways, valve bonnet blow-outs, they still need to be
20 considered in debris generation. So there are still
21 piping systems out there that have to be looked at,
22 have to be analyzed when you consider what debris will
23 be generated, and how it's transported to the sumps.

24 MEMBER ABDEL-KHALIK: Just a question out
25 of curiosity. In your write-up, you talk about squib

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 valves. Are there any current plans, PWRs, that have
2 squib valves in them?

3 MR. SCOTT: I'm not aware of any.

4 MR. LUPOLD: I'm not aware of any either,
5 but, I mean, this was I think squib valves were being
6 talked about for some of the new --

7 MEMBER ABDEL-KHALIK: For the new plants.

8 But what --

9 MR. SCOTT: Chris Hott, do you recall what
10 section that was in? I don't recall the reference.
11 Do you? It's in the LBB discussion? Okay. Did you
12 all --

13 MR. LUPOLD: I don't think there are
14 specific ones, but I know that that is being used in
15 some plants in the future. I don't even know if they
16 would be impacted.

17 MEMBER ABDEL-KHALIK: But your write-up --
18 I was just curious. That's all.

19 MR. SCOTT: I'm not aware of it. So that
20 probably is a little bit out of place.

21 MEMBER ABDEL-KHALIK: Right. Okay.

22 MR. LUPOLD: But the point here is that
23 there are other sources of debris generation beyond
24 those that are used for LBB. And that would have to
25 be looked at and analyzed still.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Let me make one more point.
2 Other than I think there is a single paragraph in the
3 parent document in the SECY paper that addresses new
4 reactors, in no way does any of this presentation
5 intend to address new reactors. That's a separate
6 thing.

7 MEMBER ABDEL-KHALIK: That was my
8 understanding.

9 MR. LUPOLD: Okay. Typically LBB has not
10 been applied for on a lot of the smaller piping
11 systems. Every plant in the country has had it
12 applied to the reactor coolant system loop piping.

13 And a lot of plants have also applied it
14 to the pressurizer surge line, their shutdown cool
15 line, or residual heat removal lines. And there have
16 been other lines and things like that that they have
17 applied to. But not all plants have actually
18 requested LBB approval beyond the reactor coolant
19 system, loop piping. So there are some rather large
20 pipes still out there that need to be analyzed, even
21 if GDC-4 is used to address GSI-191 issues.

22 Some of the policy considerations that
23 have to be looked at. I'll start wrapping this whole
24 thing up. Approving LBB for GSI-191 would be
25 inconsistent with defense-in-depth principles. All

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 right? Because we don't want a failure of a system to
2 then cause failure of another system and then result
3 in, well, lack of cooling to the core without any
4 additional failures that have to take place. All
5 right?

6 Also, approving LBB for GSI-191, as was
7 mentioned here already, would be inconsistent with the
8 proposed rulemaking for 10 CFR 50.46a. And
9 specifically that proposed rulemaking would say that
10 you have to have the capability to mitigate the full
11 spectrum of LOCAs. And this would be eliminating some
12 of those LOCAs that would have to be considered under
13 50.46a. Okay?

14 And allowing LBB to be used as the basis
15 for not further modifying sump screens or not removing
16 sources of debris may prevent ECCS systems from
17 performing its design function, which is contrary to
18 licensees being able to successfully mitigate the full
19 spectrum. All right?

20 DR. WALLIS: Well, I thought in 50.46a,
21 there was some suggestion of allowing the probability
22 of successful mitigation to be less for bigger pipes.

23 MR. LUPOLD: I don't know a lot about
24 50.46a, but I think 50.46a does give you certain
25 provisions on how you address different pipe breaks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 It gives you some latitude that would not be there
2 currently.

3 MR. COLLINS: I'm sorry? This is Tim
4 Collins from the staff. I didn't understand your
5 question, Dr. Wallis.

6 DR. WALLIS: Well, to successfully
7 mitigate, if you could show that the -- I thought that
8 there was some relaxation of the way in which you had
9 to successfully mitigate for the leaked pipes.

10 MR. COLLINS: Yes, the relaxation in --

11 DR. WALLIS: The probabilities were not
12 quite so big.

13 MR. COLLINS: Now, for breaks that are
14 larger than a transition break size, which are assumed
15 to be the lower probability events, your mitigation
16 analysis does not have to assume a loss of off-site
17 power. And the mitigation analysis does not have to
18 assume a single failure. And you can also take credit
19 for non-safety-grade equipment in 50.46a.

20 DR. WALLIS: That's right.

21 MR. COLLINS: Those are the relaxations.

22 DR. WALLIS: Well, when the staff came
23 before the ACRS, they talked about allowing instead of
24 sort of a 95/95 presentation of probability, when you
25 do your statistics, allowing something not quite so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 strenuous as a requirement --

2 MR. COLLINS: Well, the current wording in
3 the --

4 DR. WALLIS: -- that isn't in there at
5 all.

6 MR. COLLINS: Pardon me?

7 DR. WALLIS: That isn't in there?

8 MR. COLLINS: In the current version of
9 50.46, which is being proposed for the Commission, --

10 DR. WALLIS: Yes.

11 MR. COLLINS: -- there is still a
12 requirement for a high probability of success in the
13 mitigation, even for breaks beyond --

14 DR. WALLIS: Now, the higher probability
15 is still the same. It's still the same.

16 MR. COLLINS: It's still the same, yes.

17 DR. WALLIS: So that is a change from what
18 was proposed a few years ago by the staff.

19 MR. COLLINS: Well, it's changed.

20 DR. WALLIS: Okay.

21 MR. COLLINS: It's been going on for six
22 years. There have been changes to it all along.

23 CHAIRMAN BANERJEE: Mike, you have a
24 question?

25 MEMBER CORRADINI: No, I don't, not just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 yet. Graham asked one question. I guess I wanted to
2 follow up with the core contingencies that the
3 gentleman just named about 50.46a So we are going to
4 come back. That will actually be part of the
5 risk-informed --

6 CHAIRMAN BANERJEE: Right, right, yes.

7 MEMBER CORRADINI: All right. Thank you.

8 CHAIRMAN BANERJEE: Okay. Carry on.

9 MR. LUPOLD: Okay. Now, a policy decision
10 to expand GDC-4 to allow credit for GSI-191 would
11 presumably include a Commission decision for the
12 change such that it would not result in an
13 unacceptable reduction in defense-in-depth; is
14 appropriate, even though there is no perceived safety
15 benefit, which we have talked about here today; would
16 not result in unintended consequences; example,
17 unacceptable precedents for the use of LBB. We
18 mentioned that also because if it's opened up here,
19 you know, how is it going to affect other things, such
20 as containment spray or ECCS operation accident
21 analyses.

22 MEMBER SHACK: We've never been consistent
23 before. Why worry about it now?

24 MR. SCOTT: Well, we strive.

25 MR. LUPOLD: Okay. Also --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: Can I reverse the
2 second sub-bullet? Can one reach the conclusion that
3 it is appropriate, even though there is a safety
4 detriment?

5 MR. LUPOLD: Well, I guess you could look
6 at it, and you could determine the degree.

7 MEMBER SHACK: There is detriment --

8 MEMBER ABDEL-KHALIK: That's the other
9 side of it.

10 MR. LUPOLD: You have to look at it and
11 see if it's not too much of an increase.

12 MR. SCOTT: In a broader sense.

13 MR. LUPOLD: In a boarder sense, yes.

14 MR. SCOTT: Not reactor safety.

15 MR. LUPOLD: Not reactor safety.

16 MEMBER ABDEL-KHALIK: Right.

17 CHAIRMAN BANERJEE: Not public safety.

18 MR. LUPOLD: Not public safety.

19 MEMBER SHACK: Workers are people, too.

20 MR. SCOTT: But they're not members of the
21 public in this sense.

22 MR. LUPOLD: Okay. Also, if we decide to
23 expand GDC-4, we would have to make that cognizant of
24 the fact that PWSCC is an issue out there. And it's
25 applicable to a lot of the piping systems that are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 used here.

2 And if we apply it, it would also require
3 revising some of the statements of consideration that
4 were made during the original -- the last change of
5 GDC-4. So we would have to change those, possibly go
6 through not really a rulemaking but maybe a public
7 comment period associated with those statements of
8 consideration, so not something that couldn't be done.

9 It's just some work that staff would have to go
10 through.

11 MR. SCOTT: The one point to be made there
12 is any way you slide this, even if the Commission
13 approves it, it is not an immediate implement it now,
14 we're done with GSI-191.

15 CHAIRMAN BANERJEE: Why would you have to
16 revise the rule?

17 MR. LUPOLD: The statements of
18 consideration, some of the statements of consideration
19 here, stated that -- it talked about why the rule was
20 implemented --

21 CHAIRMAN BANERJEE: Oh, I see.

22 MR. LUPOLD: -- and the fact that you're
23 getting a safety benefit by implementing the rules
24 because you can take off the barriers, et cetera. We
25 would have to change some of that around a little bit,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 allow for public comment maybe.

2 MEMBER RYAN: The safety benefits and
3 detriments are all in one equation. It's a safety
4 effect.

5 MR. LUPOLD: Right.

6 MEMBER RYAN: So, I mean, you can't pick
7 on the safety benefits or perceived benefits. You
8 have to look at benefits and detriments and where am I
9 in the total compared to where I was without, right?

10 MR. LUPOLD: Absolutely.

11 MEMBER RYAN: Okay.

12 MR. LUPOLD: Absolutely, yes. You have to
13 present the balanced picture.

14 MEMBER RYAN: Fair enough.

15 MR. LUPOLD: Okay. So, considering
16 everything we have talked about up to this point, then
17 it came down to the recommendations. And the staff
18 did not recommend that GDC-4 be applied to the sump
19 evaluation resulting in GSI-191.

20 And you can see the reasoning there.
21 These are items that we have talked about up to this
22 point: inconsistent with the original intent of
23 GDC-4, PWSCC concerns, inconsistent with what we
24 believe --

25 CHAIRMAN BANERJEE: What is the PWSCC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concern again, I mean, you went over it, but why is it
2 specifically a concern for this issue?

3 MR. SCOTT: Part of it is the principle of
4 expanding the application of GDC-4 in the presence of
5 that unresolved issue.

6 CHAIRMAN BANERJEE: Okay.

7 MR. LUPOLD: You can also take a look at
8 that. And if we were looking at a brand new system
9 and it had nickel alloy welds in it, knowing what we
10 do today about PWSCC, it may not pass the criteria for
11 application of LBB.

12 MEMBER CORRADINI: So, Sanjoy, can I ask a
13 question?

14 CHAIRMAN BANERJEE: Please. Go ahead.

15 MEMBER CORRADINI: Okay. I guess I want
16 to go back to Said's question, which he raised at the
17 very beginning, which is the only motivation that I
18 see for engaging in GDC-4 is if you have a safety
19 benefit, period.

20 And so you guys were giving some examples,
21 but it seems to me the only example which has come to
22 the floor which is actually practicable is this one
23 that is already being used. Anything else is really
24 relieving burden versus actually improving safety.

25 MR. LUPOLD: Right. That is a significant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 item that was in the statements of consideration --

2 MEMBER CORRADINI: Okay. Fine.

3 MR. LUPOLD: -- for implementing GDC-4.

4 And we would have to address it.

5 MEMBER CORRADINI: Okay. Fine. Thank

6 you.

7 MR. SCOTT: This is about relieving

8 burden.

9 CHAIRMAN BANERJEE: Go ahead.

10 MR. LUPOLD: So that really wraps up what

11 I came here to tell you about today.

12 CHAIRMAN BANERJEE: Okay.

13 MR. LUPOLD: Other questions?

14 CHAIRMAN BANERJEE: Any questions before

15 we let Tim off the hook and John?

16 (No response.)

17 CHAIRMAN BANERJEE: We can always bring

18 you back.

19 MR. LUPOLD: Absolutely.

20 CHAIRMAN BANERJEE: All right. Mike, the

21 next one?

22 MR. SCOTT: Okay. Now we're going to talk

23 about risk --

24 CHAIRMAN BANERJEE: Thank you.

25 MR. SCOTT: -- and 10 CFR 50.46 alpha

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 after I find it. And we have Tim Collins and Steve
2 Dinsmore here to present to you. Are we ready to
3 proceed?

4 MR. COLLINS: Yes.

5 MR. SCOTT: Go ahead.

6 MR. COLLINS: My name Tim Collins. And
7 I'm here with Steve Dinsmore. We're here to discuss
8 how the staff has attempted to risk-inform the
9 resolution path for GSI-191 with the emphasis on those
10 plants that have not yet demonstrated adequate
11 strainer performance.

12 The main message we're trying to convey
13 today is that we believe that the approach being
14 recommended in the Commission paper is, in fact,
15 risk-informed; that it is consistent with the
16 established guidance on risk-informed decision-making;
17 the matter properly takes into account the limitations
18 in phenomenological modeling that we have run into in
19 GSI-191; and that it is consistent with the most
20 current staff thinking in the proposed 50.46a
21 rulemaking, the rulemaking that is intended to
22 risk-inform the ECCS requirements in general.

23 So in our presentation, we plan to brief
24 the review of the high-level guide in 1.174 and
25 discuss the challenges that GSI-191 presents in trying

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to meet that guidance and then discuss what approval
2 of 50.46a might mean for GSI-191.

3 Next slide. So, first of all, so that we
4 keep it in focus, I want to simply restate the
5 recommended staff position that Chris Hott talked
6 about earlier, basically that LOCAs that have the
7 greater risk significance, the smaller breaks, should
8 be resolved in the near term and that less likely
9 LOCAs should be addressed in the longer term and that
10 the Commission decision on 50.46a should be used to
11 update risk-informed approaches to GSI-191.

12 Now, this plan requires that long-term
13 cooling capability for all breaks up to the
14 double-ended guillotine break of the largest pipe in
15 the RCS be provided. This is required by the current
16 regulations in 50.46, and it is still recommended in
17 the current version of 50.46a.

18 However, the plan also recognizes the
19 lower likelihood and, therefore, the lower risk
20 significance of the larger LOCAs. And it,
21 accordingly, allowed more time for testing refinements
22 or planning for more efficient plant mods that may be
23 needed for resolution. It allows time to take
24 advantage of any relaxation to the ECCS requirements
25 that may be afforded if the Commission assumes 50.46a.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Okay. Slide 3. Here we go. Now, this is
2 just a high-level summary of the guidelines in reg
3 guide 1.174. And I wanted to summarize them and then
4 talk about the challenges to meeting these guidelines
5 that GSI-191 may present.

6 Okay. Reg guide 1.174 basically says that
7 for a change to be acceptable in a risk-informed
8 resolution, it should have an acceptable change in
9 risk, it should maintain sufficient defense-in-depth,
10 it should maintain safety margins, and it should have
11 a monitoring program that assures that the conditions
12 assumed in the written analysis are preserved in the
13 plant.

14 Now, we focused on two of these guidelines
15 when assessing the challenges to risk-informing
16 GSI-191. The first guideline is the change in risk,
17 and the second one is maintaining defense-in-depth.

18 Next slide. Now, the factor that most
19 complicates risk-informing the GSI-191 resolution is
20 the inability to realistically model key phenomena.
21 Models and major factors, such as debris generation
22 and transport, are highly uncertain. And models for
23 debris bed head loss simply don't exist. Thus, the
24 development propagation of probability distributions
25 is greatly hindered. And we consider it unfeasible at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this time.

2 This limitation has important implications
3 for the assessment of both the change in risk and
4 defense-in-depth because it drives us to use bounding
5 estimates.

6 Now, this slide illustrates how the use of
7 the bounding estimates impacts the change in risk
8 guideline. In the absence of better models, bounding
9 estimates are used for the sump-clogging probability
10 if a plant has unproven strainer capability and it has
11 a high fiber load or an in-bed potential. For
12 example, the probabilities of a five-inch break are
13 about 5 times 10^{-5} per year if you look at the expert
14 elicitation report that supports 50.46a.

15 A break of that size requires you to go
16 into recirculation for long-term cooling. When a
17 bounding clogging probability of 1.0 is assumed, the
18 delta risk is too large unless some sort of recovery
19 action is demonstrated to be reliable, maybe
20 back-flushing, maybe some extended injection or
21 modification to add some active system of some sort.

22 Now, we used the bounding estimates
23 because our testing experience has shown that the
24 potential for significant head loss is very real.
25 Okay? And at the same time, we have the weaknesses or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the absence of the models that we need to to do a
2 better analysis.

3 Okay? Next slide. Now, the use of
4 bounding estimates -- and we consider all of the LOCAs
5 that are in the licensing basis of the plant. So we
6 go all the way up to the double-ended guillotine of
7 the largest pipe in the reactor coolant system.

8 Now, the largest LOCAs have a probability
9 of occurrence that is probably low enough that they
10 could satisfy the change in risk criteria and if you
11 assume 1.0 failure probability for the sump.

12 But this configuration wouldn't satisfy
13 defense-in-depth considerations because there would be
14 no layers of protection between the initiating event
15 and core melt. No additional failures would be
16 needed. So protection would be solely provided by the
17 low probability of an initiating event. And that's
18 just inconsistent with defense-in-depth.
19 Defense-in-depth talks about layers of protection.
20 There are no layers of protection between the
21 initiating event and core damage.

22 There is also a secondary lesser
23 defense-in-depth degradation in such a design. And
24 that is that an incapable sump not only severely
25 degrades the plant's severe accident prevention

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 capability. It also degrades the plant's severe
2 accident consequence mitigation capability since the
3 containment spray system is also disabled if the sump
4 fails. So we have both --

5 CHAIRMAN BANERJEE: Does it not allow you
6 to take recovery actions?

7 MR. COLLINS: That's what I tired to say
8 in the --

9 CHAIRMAN BANERJEE: The previous slide,
10 right?

11 MR. COLLINS: -- previous slide. Yes,
12 yes. None of the licensees to date have tried to take
13 credit for any recovery actions.

14 MR. SCOTT: There are various beyond
15 design basis actions that they could take, which,
16 again, that goes back to the compensatory actions a la
17 bullet 2000-301. But that is outside the design
18 basis.

19 MEMBER CORRADINI: So can I ask a question
20 at this point?

21 CHAIRMAN BANERJEE: Sure.

22 MEMBER CORRADINI: So I am sure NEI is
23 going to come up. We can ask them. But I am curious.
24 When you talk with the industry, why don't they
25 consider recovery actions? Is it a cost issue?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COLLINS: Well, that's a question for
2 the industry, I think.

3 MEMBER CORRADINI: Well, but, I mean, you
4 are allowed to speculate maybe.

5 MR. SCOTT: They could put other actions
6 into their design bases if they could support that
7 they worked.

8 MEMBER CORRADINI: Okay.

9 MR. SCOTT: And none of those actions that
10 was taken for bulletin 2000-301 or that was put on the
11 menu of possible actions is free of down sides. I
12 mean, even --

13 MEMBER CORRADINI: I understand that. So
14 your point is they have to be safety-grade level of
15 recovery actions, and they would have to do a test
16 program or some combination of tests and analysis to
17 give you confidence that they were adequate?

18 MR. SCOTT: Yes.

19 MR. DINSMORE: Yes. This is Steve
20 Dinsmore from NRR. I guess this recovery, they don't
21 have to be safety-grade if they were dealing with
22 LOCAs less than the TBS, for example, that --

23 MEMBER CORRADINI: Greater?

24 MR. DINSMORE: No. Safety-grade if it was
25 less is what I meant to say.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Right, right.

2 MEMBER CORRADINI: Yes. I understood. I
3 figured it was what you were going at.

4 MR. DINSMORE: If this rule is
5 implemented.

6 MR. SCOTT: Yes. If 50.46a is implemented
7 and we review these things according to 50.46a.

8 MEMBER CORRADINI: Right.

9 MR. SCOTT: But there have been a number
10 of studies about these recovery actions I list here:
11 turning off sprays, turning off redundant trains,
12 throttling ECCS flows, cycling pumps, refilling our
13 WST, accessing other units, RWST, spent fuel poop
14 sources.

15 So there have been a lot of recovery
16 actions.

17 MR. DINSMORE: But, again, if they don't
18 implement 50.46a so that they can use these things
19 however best they can figure them out -- well, that
20 would be the best way for them to use these things.

21 MEMBER SHACK: But 50.46a would give them
22 the option of looking at all of those actions for the
23 large breaks.

24 MR. DINSMORE: Yes. I guess they could
25 now as well to some extent, but I am not --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER CORRADINI: But they would have to
2 be safety-grade.

3 MR. DINSMORE: Yes.

4 MR. COLLINS: Or they would have to get
5 exemptions, --

6 MEMBER CORRADINI: Sorry. Yes.

7 MR. COLLINS: -- which comes onto the next
8 slide. I mean, we have some experience in trying to
9 risk-inform GSI-191.

10 MEMBER CORRADINI: Right.

11 MR. COLLINS: I mean, this isn't just
12 brand new. And back in 2004, the staff had endorsed
13 an NEI-proposed methodology that was developed on the
14 basis of what was the then current 50.46a rulemaking.
15 Right?

16 But no licensee had implemented that
17 methodology. And our understanding of the reasons for
18 that was that licensee had an expectation at that time
19 that their strainer testing was going to be
20 successful. Okay? And it would have required the use
21 of exemption because the methodology did relax
22 assumptions, which are required under 50.46.

23 And then there were also the modeling
24 issues involved with trying to demonstrate the risk
25 implications.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Something like
2 back-flushing, as you mentioned in one of your
3 previous slides, could be considered. Of course,
4 there could be significant down sides to that as well.

5 MR. SCOTT: It would favor sending debris
6 downstream. And, of course, under this framework, you
7 would need to show that it works: safety or not.

8 CHAIRMAN BANERJEE: Now, if you look at
9 internationally, what is happening there, the Germans
10 do this. They have strainers with holes which are
11 smaller than the holes in the strainer.

12 MR. SCOTT: They have different design
13 criteria for core cooling.

14 CHAIRMAN BANERJEE: Right.

15 MR. SCOTT: They don't have a sump buffer,
16 as I recall. That is different for them.

17 CHAIRMAN BANERJEE: Right.

18 MR. SCOTT: Different materials in
19 containment, different insulation. There are a lot of
20 differences. But back-flush is part of their design
21 basis solution set for I think all but one of their
22 plants.

23 CHAIRMAN BANERJEE: But the downstream
24 effects, I don't know whether they have examined that
25 because it's implicit in their sort of assumption that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 if they make the holes in the strainer small enough,
2 it will prevent fine stuff getting into the core,
3 which is not true.

4 MR. SCOTT: As I understand it, they
5 replaced their strainer. The original design -- I
6 don't remember the size, but, whatever it was, they
7 went in and replaced them for just that reason: to
8 minimize the bypass.

9 CHAIRMAN BANERJEE: Yes. Anyway, that's a
10 whole separate game. So let's carry on.

11 MR. COLLINS: Okay. Well, the next slide
12 I want to discuss the current version of 50.46a, the
13 2010 version. This is the rule that is scheduled to
14 go to the Commission in December.

15 It represents the current staff thinking
16 on what risk-informing ECCS requirements in general
17 ought to be. And the most significant features of the
18 rule are that the largest break that has to be
19 analyzed as a design basis accident has changed from a
20 double-ended guillotine break of the largest pipe in
21 the reactor coolant system to the single-sided break
22 of the largest attached pipe. Area-wise, it's almost
23 a factor of ten reduction.

24 However, the proposed rule would still
25 require that mitigation be demonstrated for larger

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 LOCAs all the way up to the double-ended guillotine
2 break except you can use the relaxed assumptions that
3 I spoke about a few minutes ago because you don't have
4 to assume a single failure, you don't have to assume
5 loss of off-site power, and you can take credit for
6 non-safety-grade equipment.

7 And, finally, any subsequent changes that
8 you make to the plant that depend upon the relaxed
9 ECCS requirements have to be supported by a
10 risk-informed analysis, which meets the guidelines
11 basically of 1.174.

12 MEMBER CORRADINI: That last bullet, can I
13 get a clarification? So what you're really telling me
14 is from a practical matter, by lowering the size, you
15 have essentially allowed for an increased risk. But
16 the amount of increased risk is small because the
17 risk-benefit that was originally there was small.

18 MR. COLLINS: I don't understand the last
19 part of your statement.

20 MEMBER CORRADINI: In other words, let me
21 take you the two directions. If one direction is that
22 I maintained the double-ended guillotine break, single
23 failure criteria, only safety-related equipment, then
24 the argument was as I press through the transition
25 break size to larger and larger sizes, I am

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 essentially -- how would I put it? The risk-benefit
2 is small.

3 MR. COLLINS: Okay. Yes. I think that's
4 fair.

5 MEMBER CORRADINI: Okay. And now with you
6 backing off from that by this approach, now at
7 transition break size, you allow for a different set
8 of allowable initial and boundary conditions to do the
9 analysis to allow the equipment to behave. Now you're
10 going to have someone analyze what that risk impact
11 is.

12 MR. COLLINS: That's correct.

13 MEMBER CORRADINI: Okay. And so the
14 comparison point there is what, similar to 1.174?

15 MR. DINSMORE: Yes. This is Steve
16 Dinsmore. The comparisons point is 1.174 as modified
17 by the last SRM that came down for 50.46a, which said
18 --

19 MEMBER CORRADINI: Steve, can you say that
20 slower? I'm sorry.

21 MR. DINSMORE: Okay. Sorry.

22 MEMBER CORRADINI: That's all right.

23 MR. DINSMORE: The comparison point is
24 1.174 as modified by the last Commission SRM on 50.46a
25 that said we should make sure these are very small

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 risk increases, as opposed to small risk increase.

2 MEMBER CORRADINI: Good. So please tell
3 me what the adverbs help me with there.

4 MR. DINSMORE: Okay. Yes. Small risk
5 increase is normally 10-5 or less for CDF, 10-6 or
6 less for LERF, very small increases normally, 10-6 or
7 less for CDF, 10-7 or less for LERF.

8 MEMBER CORRADINI: Okay. Thank you. All
9 right. That helps me. Thank you very much.

10 MR. DINSMORE: Okay.

11 CHAIRMAN BANERJEE: The implication of all
12 of this, though, would be that you would still have to
13 consider the largest LOCAs, but you might get some
14 relief because of some of these other things.

15 MEMBER CORRADINI: Right. I was trying to
16 understand that. I guess, Sanjoy, that was what I am
17 trying to get at, which is I really am saying that I
18 am allowing for more things to either actuate or be
19 involved in the analysis that gives me benefit, not
20 that I don't consider the physical process.

21 MR. DINSMORE: That's correct.

22 CHAIRMAN BANERJEE: Right. It may not buy
23 you a whole lot, but --

24 MEMBER CORRADINI: Yes. It may not.

25 DR. WALLIS: If you can't cool a core long

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 term with your pumps, then not having off-site power
2 isn't going to make any difference, is it?

3 MEMBER CORRADINI: Right. If you foul
4 them up with crap, they're still fouled up.

5 DR. WALLIS: Yes.

6 MR. SCOTT: I don't think that this
7 off-site power is the big player in this issue.

8 MEMBER SHACK: It's the next page.

9 MR. COLLINS: Yes. Let's go to the next
10 slide. The next slide discusses what the potential
11 impact might be on 191 resolution. I mean, I
12 recognize since the acceptance criteria is similar to
13 those in 1.174, all the difficulties that we talked
14 about regarding risk-informing this apply to this
15 problem. Okay?

16 However, you can apply, non-safety
17 equipment can apply, some flexibility for treating the
18 larger LOCAs. You know, perhaps they want to do a
19 back-flush system or perhaps they want to make some
20 modification to their screens to add an active feature
21 of some sort or take credit for other operator actions
22 that involve non-safety equipment. They could then
23 take credit for that. Now, how much benefit it is to
24 them depends on what their problems are, I guess.

25 There is also the potential for some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 benefit relative to justifying the debris source term
2 for beyond the DBA assumptions. Typically the staff
3 requires less rigor and justifications for beyond
4 design basis events, as opposed to DBA events. Okay?

5 For example, in a DBA, we require a clear
6 demonstration of capability. When we're treating
7 beyond design basis events, we require more of an
8 expectation, a reasonable expectation, of capability.

9 How much this would be worth in this is hard to say.

10 DR. WALLIS: How would you get less
11 rigorous about a debris source term?

12 MR. COLLINS: Pardon me?

13 DR. WALLIS: How would you get less
14 rigorous about a debris source term?

15 MR. SCOTT: That's something we would have
16 to work out. We started asking ourselves those
17 questions. The answers are not easy, which is why you
18 see the little parenthetical in here, "Potential
19 limited benefit." There are enough uncertainties that
20 we struggle with this.

21 And I'm sure that's part of the reason why
22 industry is not -- I mean, this was not their
23 preferred approach. LBB was a clear path forward. We
24 don't have to consider a subset of breaks. In this
25 one, you're still considering them all. You have a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very complex issue with a number of tentacles. And so
2 you are proposing to try to ease up a little bit on
3 some of those. How do you do that? That is your
4 question. I can't give you a satisfying answer, but
5 that is why we are allowing a year.

6 DR. WALLIS: But, for example, you might
7 say you could justify a smaller zone of influence or
8 something like that.

9 MR. SCOTT: We could probably live with
10 more uncertainty in a smaller zone of influence. Now,
11 you know, they're still going to have -- you are not
12 going to find the NRC staff saying, "Well, okay.
13 We'll just take it at face value. That is not going
14 to happen."

15 So we don't know how that is going to play
16 out.

17 MR. COLLINS: We expect, we fully expect,
18 that refined test approaches and insulation
19 replacements are still going to be needed to the high
20 fiber plants, even if you can squeeze out some benefit
21 here. I mean, that is our expectation, but until the
22 industry really tries and we really work with them, it
23 will be hard to tell what we can get out of this.
24 Okay?

25 MR. SCOTT: What we're trying to say is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that we will be flexible within the context of
2 bringing this thing to closure at what we consider to
3 be a reasonable period of time. We'll allow time to
4 sort this out with the industry if the rule is issued.

5 MR. COLLINS: Also recognize that plants
6 could have problems with medium LOCAs as well. And
7 this has no effect whatsoever on medium LOCAs.

8 Also, on this slide, what I want to talk a
9 little bit about is what a licensee would have to do
10 if it wants to implement GSI-191 or implement 50.46a
11 just for the purposes of GSI-191. The reason I want
12 to talk about this a little bit is because in the
13 course of working on 50.46a, we have received public
14 comments which indicate that the burden of this rule
15 is too much for licensees to want to take advantage of
16 it.

17 So I just wanted to walk through what we
18 saw as necessary for implementation just if you wanted
19 to use it for GSI-191, not for any other plant
20 changes. Okay?

21 So to adopt 50.46a, a licensee first has
22 to demonstrate the applicability of the underlying
23 basis for the rule. That basically means that they
24 need to show that the expert elicitation report in
25 NUREG-1829 is applicable to their plant.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And they also need to show that the
2 seismic study in NUREG-1903 was applicable to their
3 plant. It was currently a draft regulatory guide,
4 which is out for comment right now, which lays out the
5 process for a licensee would show the applicability of
6 those NUREGs.

7 It would also need to show any proposed
8 design changes if GSI-191 were to meet the
9 risk-informed criteria of reg guide 1.174, augmented,
10 as Steve said, by that reduction of a factor of vary,
11 which is equal to a factor of 10.

12 They need to demonstrate their leak
13 detection system is adequate. This basically means
14 that the leak detection system would need to be
15 consistent with the current revision of reg guide
16 1.145.

17 MEMBER CORRADINI: So can I ask a question
18 there because I think this is crucial? So are you
19 telling me that the leak detection system would have
20 to be augmented or upgraded or that if they followed
21 this reg guide or -- I can't remember the reg guide
22 you just suggested -- that this would be sufficient.

23 MR. COLLINS: If they meet reg guide
24 1.145, we believe that would be sufficient. We
25 understand from interacting with the industry that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lots of plants think they may be able to meet that
2 right now.

3 MEMBER CORRADINI: And just if you could
4 take a minute? Remind me what that is relative to the
5 leakage rate because --

6 MR. COLLINS: I can't take a minute to do
7 that because I don't know the answer.

8 MEMBER CORRADINI: Okay. Well, that's
9 fine. I can find that out separately. Thank you.

10 MR. COLLINS: Okay.

11 MEMBER ABDEL-KHALIK: I'm trying to
12 understand the meaning of the second sub-bullet in the
13 first bullet. What is it that has to be demonstrated,
14 "Risk-informed criteria must be met"?

15 MR. COLLINS: Right.

16 MEMBER ABDEL-KHALIK: With regard to just
17 using this to address GSI-191, what would the
18 applicant have to demonstrate to meet that
19 requirement?

20 MR. COLLINS: They would need to
21 demonstrate that the change in risk from the
22 configuration that they finalize is sufficiently
23 small, meets the very small criteria.

24 MEMBER ABDEL-KHALIK: But they have to
25 compare it against what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DINSMORE: It's easiest to compare to
2 zero. The comparison is between if you brought your
3 plant into full compliance with the regulation, which
4 would mean the sump wouldn't clog more than 50 percent
5 or some strange number, versus what they're proposing
6 to leave it at, which would be, I guess, to plug.

7 MR. SCOTT: I've got to set the record
8 straight. That 50 percent is not where we're going
9 with the design basis --

10 MEMBER ABDEL-KHALIK: That's what I'm
11 trying to understand. What are you trying to compare
12 here?

13 MR. DINSMORE: You're trying to compare
14 compliance with the current regulations versus what
15 you want to do going forward.

16 MR. SCOTT: In other words, compare it
17 with using a staff-accepted method to provide
18 reasonable assurance that your sump will function
19 under any design basis situation.

20 MR. DINSMORE: That'll give you a certain
21 risk number, a very small LOCA number.

22 MEMBER ABDEL-KHALIK: So this is
23 essentially success --

24 MR. SCOTT: Yes.

25 MEMBER ABDEL-KHALIK: -- that you have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compare it against.

2 MR. SCOTT: Successful sump performance if
3 demanded, yes. High probability of successful sump
4 performance if demanded.

5 MEMBER ABDEL-KHALIK: Versus this change,
6 which will increase the risk by presumably a small
7 acceptable amount.

8 MR. SCOTT: That is the idea.

9 MR. COLLINS: Very small amount, yes.

10 MEMBER ABDEL-KHALIK: I'm still not clear
11 on the basis for the comparison, but I will think
12 through it.

13 MR. COLLINS: Do you mean what the
14 baseline risk is that you're comparing the change to?
15 Is that what you're --

16 MEMBER ABDEL-KHALIK: Right.

17 MR. COLLINS: If you assume a very highly
18 reliable sump in your risk calculation, you would use
19 it as your baseline risk. Then you would have a less
20 reliable sump because of some modifications that still
21 allow some clogging, but, depending on what they do to
22 demonstrate their performance, they would have to make
23 an estimate of the probability of the sump succeeding.

24 MEMBER ABDEL-KHALIK: But in that case,
25 you are talking about highly reliable sump. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 assessment also includes breaks beyond the transition
2 break size?

3 MR. COLLINS: Yes, yes.

4 MEMBER ABDEL-KHALIK: Okay.

5 CHAIRMAN BANERJEE: But the highly
6 reliable sump could be a very large sump or something,
7 right?

8 MR. COLLINS: The baseline highly reliable
9 sump. We're thinking --

10 CHAIRMAN BANERJEE: We're sure will work?

11 MR. COLLINS: Yes.

12 CHAIRMAN BANERJEE: Okay. Now we go in
13 with a sump, which the shortest large break is a
14 smaller sump of some sort. So somehow we estimate the
15 probability of this failing in some cases or not. And
16 that increase in risk must be very small.

17 MR. COLLINS: That's correct.

18 CHAIRMAN BANERJEE: I guess it would be
19 nice to have a concrete example of this, but we won't
20 have one until somebody tries it, I guess.

21 MR. COLLINS: That's correct.

22 CHAIRMAN BANERJEE: All right.

23 MEMBER SHACK: Well, but this bounding
24 thing is to take the sump at one and then this
25 large-break LOCA frequency.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Right.

2 MEMBER SHACK: What he's got here is he's
3 still got the defense-in-depth.

4 MR. COLLINS: That's right.

5 MEMBER SHACK: I mean, that's the big
6 difference between this -- it's not so much that the
7 delta risks are very different but that the assurance
8 of defense-in-depth is much greater here because you
9 have to be able to mitigate it.

10 MR. COLLINS: Right. That's correct.

11 CHAIRMAN BANERJEE: Come again, Bill. I
12 don't fully understand. Suppose the sump doesn't --

13 MEMBER SHACK: The risk is pretty easy to
14 meet because, even if he assumes it's one because it's
15 only the large break, the's going to meet the delta
16 risk criterion. The thing he has a hard time doing is
17 the defense-in-depth, where he's demonstrating that he
18 has some capability to mitigate the whole large break.

19 MR. SCOTT: With LBB is what you're
20 talking about.

21 MEMBER SHACK: Right, right.

22 MR. SCOTT: You're contrasting LBB with
23 this.

24 MEMBER SHACK: Well, but --

25 MR. SCOTT: Aren't you? And even here, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mean, I do --

2 CHAIRMAN BANERJEE: How does he mitigate
3 it?

4 MR. SCOTT: -- my risk-informed criteria.
5 It's an easy thing to do.

6 MR. COLLINS: You can meet the delta risk
7 criteria, even with a sump failure, a clogging of 1.0.

8 MR. SCOTT: 1.0.

9 MR. COLLINS: Right.

10 MR. DINSMORE: At 14 inches roughly, --

11 MR. COLLINS: Right.

12 MR. DINSMORE: -- 14 or 15 inches, pump.

13 MR. COLLINS: But defense-in-depth is not
14 satisfied.

15 MEMBER SHACK: Defense-in-depth is not
16 satisfied. So the risk change here is not his
17 limiting thing. That's not the thing that is going to
18 get him.

19 MR. COLLINS: That's right.

20 MEMBER SHACK: The thing that is going to
21 get him is to mitigate the large break.

22 MR. COLLINS: Meeting the defense-in-depth
23 principle.

24 MEMBER SHACK: Defense-in-depth.

25 MR. COLLINS: Right, right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: But let's talk about
2 50.46a. I'm still a little confused. So imagine that
3 you cannot mitigate the largest break, right? Because
4 you have put in a sump which is too small to do that.

5 MEMBER SHACK: No. But what you don't
6 have to do is actually calculate the reliability of
7 your sump very accurately. You know, if you have done
8 your back-flush to get rid of it, you don't have to
9 estimate the reliabilities all that accurately.

10 MR. SCOTT: But using this approach, you
11 are not going to get to a point where you say for a
12 large break, the sump won't work.

13 CHAIRMAN BANERJEE: Yes. You cannot do
14 that.

15 MR. SCOTT: You're having some relaxations
16 in the way you reached the conclusion that it will
17 work.

18 MR. DINSMORE: And then I think they would
19 have to come up with some reasonable reliability
20 estimate that --

21 MR. SCOTT: That's true. They could
22 calculate a delta risk.

23 MR. DINSMORE: Yes.

24 MEMBER SHACK: So this is related to
25 risk-informed. We've already shown in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 risk-informed, you can assume the sump is gone,
2 doesn't work. You can still meet that.

3 MR. COLLINS: You can't meet
4 defense-in-depth.

5 MEMBER SHACK: You can't meet
6 defense-in-depth, but, then, how do you quantify that
7 defense-in-depth? You were talking about --

8 MR. DINSMORE: Well, it is one of the five
9 principles.

10 MEMBER SHACK: Yes, but how do you
11 quantify it?

12 DR. WALLIS: Yes but --

13 CHAIRMAN BANERJEE: You don't quantify it.

14 MR. DINSMORE: Normally you don't quantify
15 it. If you could quantify it, we would put it in the
16 risk calculation.

17 DR. WALLIS: Well, if the sump clogs, you
18 know you don't meet it. But if it partly clogs,
19 there's no way of evaluating that.

20 MR. SCOTT: Well, if it partly clogs and
21 it passes adequate water, it's --

22 MR. COLLINS: It's okay.

23 MR. SCOTT: -- it's successful.

24 MR. COLLINS: Yes.

25 MR. SCOTT: It either keeps the core

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cooled or it doesn't.

2 DR. WALLIS: If you can demonstrate.
3 Okay.

4 MR. SCOTT: Well, I mean, that's the
5 exercise here, is the testing is to demonstrate --

6 DR. WALLIS: Any probability of the large
7 break. That's irrelevant.

8 MR. SCOTT: The baseline resolution
9 approach for this issue is deterministic.

10 DR. WALLIS: So, really, what you have to
11 demonstrate is not these. You have to demonstrate
12 that it will work.

13 MR. SCOTT: I think this was intended,
14 Tim, was it not, this second bullet here, second
15 sub-bullet, was to refer to if they implement this,
16 then going forward, if they want to do something else,
17 they have to evaluate it?

18 MR. COLLINS: No, no even. Whatever they
19 do for the purposes of GSI-191 --

20 MEMBER ABDEL-KHALIK: Even if that is the
21 only thing.

22 MR. COLLINS: As I'm saying, the
23 assumption here is they're not doing anything but
24 trying to satisfy GSI-191 by taking advantage of the
25 relaxations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: But there would
2 typically be some form of recovery measure, though.

3 MR. COLLINS: And they could take credit
4 for that.

5 CHAIRMAN BANERJEE: Yes.

6 MR. COLLINS: In a risk-informed
7 implementation, they could take credit for that
8 recovery action.

9 CHAIRMAN BANERJEE: Yes. But I guess what
10 we were sort of grappling with was could the sump be
11 much smaller in some sense than you would need to
12 completely assure yourself that with the sump screen,
13 that you would get adequate flow for the largest
14 breaks?

15 So you've got this huge debris loading.
16 It's arriving in the sump. You have to have a large
17 enough sump screen that you will still get adequate
18 flow.

19 The issue was, I suppose, the one in my
20 mind, could you make a sump somewhat smaller for this
21 very large break of the large-break LOCA so that there
22 was some probability that the sump would work or
23 wouldn't work? But I guess that's not it.

24 MR. COLLINS: If a licensee showed
25 adequate performance using the existing criteria for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the design basis below TBS breaks, show adequate
2 performance, and they show adequate performance with
3 the relaxed assumptions that would be potentially used
4 above TBS and then they said, "Well, let's see here.
5 What if I put some more insulation in the plant or,"
6 like you said, "I make the sump smaller"?

7 Then there would be a potential with the
8 way this might play out where they could support a
9 smaller strainer size or a larger debris loading. We
10 can't rule that out. It's whatever they would come in
11 with. And would it be supportable?

12 I think that the context that this
13 discussion is occurring with is, can the licensee use
14 these relaxations to show that whatever they have now
15 is adequate, not to go put more in or make the
16 strainer smaller, although I can't say they wouldn't
17 propose that because the large strainers are a big
18 operational issue.

19 You've seen them, I think. Some of them
20 stretch all the way around the containment. They're a
21 real pain to deal with. And they need to make sure
22 they don't get damaged during the outage and all of
23 that. So, you know, it is not beyond the realm of
24 possibility that a licensee could use this to come in
25 and try to make a change of that sort.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: In practical terms, they
2 have to deal with the phenomenological uncertainties,
3 which it is very difficult to make these models --

4 MR. COLLINS: Right.

5 MEMBER SHACK: -- any more accurate than
6 they are. And so I would think that most of the
7 options here would be to use some other kind of
8 equipment, the black-flush or something, you know,
9 that --

10 CHAIRMAN BANERJEE: Some recovery measure.

11 MEMBER SHACK: I mean, it would be
12 crediting recovery measures more than it would be
13 somehow refining the phenomenological model for sump
14 plugging.

15 MR. SCOTT: They may try to -- well, here
16 we --

17 MEMBER SHACK: They could try.

18 MR. SCOTT: -- agree with you, but they
19 could try that. And they might well. But because of
20 all the factors you cited and we cited, that would be
21 a complex undertaking. And we don't know how it would
22 come out. And that I think is viewed by the industry
23 as a disadvantage of this approach. They don't know
24 how much benefit they'd get from it.

25 MR. COLLINS: Unless they could come up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with recovery actions that they like.

2 MR. SCOTT: And can show they work.

3 MR. COLLINS: And can show that they work,
4 right.

5 CHAIRMAN BANERJEE: Okay. Let's go on.

6 MR. COLLINS: Okay. Just one other thing
7 I wanted to point out in the last bullet here, that
8 the injection phase ECCS models and analyses would at
9 all be impacted if a licensee wanted to just supply
10 the GSI-191.

11 And subsequent plant changes that would be
12 made, unless they're taking advantage of the
13 relaxation in 50.46a do not have to be risk-informed.

14 So they could just continue making the other plant
15 changes the way they always have in the past.

16 Now, there are a couple of other ongoing
17 requirements that get carried along in 50.46a. Now,
18 once a licensee adopts it, every four years, they have
19 to reconfirm that changes that they made to the plant
20 have not invalidated the technical basis for the rule,
21 the applicability of the elicitation report, and the
22 applicability of the seismic report.

23 We don't expect that will be too
24 complicated of a process once they have gone through
25 it originally, but they will need to do that every

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 four years. And they also need to monitor the
2 availability of any non-safety equipment that is
3 credited for beyond DBA analyses because the rule
4 limits operations in an unanalyzed condition to 14
5 days in any 12-month period. So they would have to
6 monitor any non-safety equipment for its availability.

7 Okay. Slide 12. The schedule for 50.46a,
8 we're scheduled to go to the Commission this December.

9 And we would plan to issue implementing guidance
10 about a year after that, after approval by the
11 Commission to go forward with the rule.

12 The Commission typically takes a couple of
13 months to deliberate on things like this. So it would
14 probably be a year from next spring or something
15 before the guidance would be entered. Okay.

16 That would be consistent with our
17 recommendation to do the larger breaks in the longer
18 term anyway. So it would satisfy the staff's
19 recommendation.

20 DR. WALLIS: I may be wrong, but it seems
21 to me that the risk-informed doesn't buy anything
22 because the other risk criteria is always met because
23 the probability of the big break is so small. They
24 still have to show that the situation will cool it
25 off.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COLLINS: Yes, they do.

2 DR. WALLIS: So what is being gained?

3 MR. COLLINS: They may be able to do that
4 using non-safety-grade equipment.

5 DR. WALLIS: One of two things can add to
6 it?

7 MR. COLLINS: Yes.

8 DR. WALLIS: There's nothing they can do
9 about the debris and all the stuff we talked about
10 this morning?

11 MR. SCOTT: They might. They might be
12 able to get some relaxation in the assumptions that
13 are made with regard to transport and generation of
14 debris.

15 DR. WALLIS: That is also debatable at the
16 moment.

17 MR. SCOTT: It's uncertain how that would
18 play out, yes.

19 CHAIRMAN BANERJEE: Well, for example --

20 MR. SCOTT: You are always thinking about
21 it.

22 CHAIRMAN BANERJEE: -- if a sump clogs,
23 they could put the flow through another screen or
24 something.

25 DR. WALLIS: What has that got to do with

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the risk-informed?

2 CHAIRMAN BANERJEE: No. I mean, that
3 could be a recovery measure.

4 MR. COLLINS: It wouldn't be safety-grade
5 anymore.

6 DR. WALLIS: It wouldn't have to be
7 safety-grade. Okay.

8 MR. COLLINS: It wouldn't have to be
9 redundant. It wouldn't have to be safety. You
10 wouldn't have to use --

11 CHAIRMAN BANERJEE: They could fit
12 something on which was not safety-grade.

13 DR. WALLIS: Okay. Thank you.

14 MR. COLLINS: So, in summary now, our
15 risk-informed considerations, we believe that the sump
16 issue remains a safety issue for those plants that
17 haven't demonstrate their strainer performance.

18 We believe that the recommendation in the
19 SECY is risk-informed and it's consistent with the
20 bible on risk-informed things, reg guide 1.174. And
21 it also accounts for the limitations in the
22 phenomenological knowledge that we have, difficulty in
23 modeling some of the most important phenomena. And it
24 is also consistent with the current thinking on
25 risk-informing the ECCS requirements, the proposed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 50.46a rulemaking. Okay?

2 We think that 50.46a could help facilitate
3 the large-break LOCA resolution, but we don't think
4 that it's an analysis-only solution, that there is
5 still likely going to have to be more testing by the
6 licensees and probably insulation removal or
7 replacement.

8 And, of course, all risk-informed
9 implementation is going to be dependent upon the
10 Commission's decision on the 50.46a rulemaking. If
11 they should trash 50.46a --

12 MR. DINSMORE: Or change it.

13 MR. COLLINS: -- or change it, then we'll
14 have to revise our guidance in accordance with your
15 decision.

16 MR. DINSMORE: If they should decline to
17 issue it.

18 MR. COLLINS: Right.

19 DR. WALLIS: 40.46a decisions should not
20 be influenced by GSI-191. It's not the key to
21 resolving this GSI.

22 MR. COLLINS: No. Basically it's a
23 business decision for the industry. If 50.46a should
24 get issued, they are going to have to decide what is
25 the most advantageous business decision for them. Is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it 50.46a or is it something else?

2 CHAIRMAN BANERJEE: Well, it certainly
3 gives them flexibility to handle the largest breaks.
4 If you think your way through this, you might find a
5 lot of ways to take advantage of that.

6 MR. SCOTT: And we don't know. It
7 definitely provides flexibility. The amount of
8 benefit to be gained from that facility is not as
9 clear.

10 CHAIRMAN BANERJEE: No. But that's up to
11 them to figure it out. Right? I mean, if it comes to
12 that --

13 MR. SCOTT: I'm sure NEI will be happy to
14 share their perspective on that with you this
15 afternoon.

16 CHAIRMAN BANERJEE: So do you want to go
17 on to your summary now or later?

18 MR. SCOTT: We can do that. It will only
19 take ten minutes to go through it.

20 CHAIRMAN BANERJEE: Let's do it. Yes.
21 Then we will be running half an hour later at that
22 point.

23 MR. SCOTT: Half an hour late? I thought
24 we were early.

25 CHAIRMAN BANERJEE: No, not you. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the meeting. I thought we were supposed to --

2 MR. SCOTT: I thought we had three hours.

3 CHAIRMAN BANERJEE: It was changed.

4 MR. SCOTT: You're right. You're right.

5 I'm half an hour late.

6 CHAIRMAN BANERJEE: That's all right.

7 MR. SCOTT: My mistake.

8 CHAIRMAN BANERJEE: Go ahead.

9 MR. SCOTT: This will be really quick.
10 Come on up, Chris.

11 CHAIRMAN BANERJEE: Thank you very much.

12 MR. HOTT: Staff believes GSI-191 remains
13 a safety issue for unresolved plants. It's because of
14 the high consequence potential sump clogging. Core
15 damage may occur as a result of the event alone with
16 no additional system failures and that a mitigation
17 system like containment spray could also be affected;
18 staff-recommended approach for to maintain the current
19 integrated review process; revisit GSI-191 risk tools
20 for evaluating larger breaks; set risk-informed
21 schedules for resolution; and resolve in-vessel
22 effects as part of GSI-191.

23 The recommended approach provides a
24 near-term resolution for the most significant smaller
25 loss-of-coolant accidents.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Now, wait a minute. You say
2 remains a safety issue. It means it remains a
3 compliance issue, doesn't it? The amount of safety
4 involved is not very big.

5 MR. SCOTT: We don't agree that that is
6 clearly the case. Again, if you just focus on the
7 largest breaks, then the probability is small. The
8 risk is less. But we do not believe that for the
9 plants that have not yet resolved this issue, that
10 they have shown that it is not a safety issue. We
11 simply don't agree with that.

12 DR. WALLIS: So it is a safety issue, not
13 just a compliance issue?

14 MR. SCOTT: Yes.

15 DR. WALLIS: There is not much safety
16 significance, as a safety issue?

17 MR. SCOTT: Again, the issue here for the
18 breaks, not the very largest of breaks, the
19 probability is not such that we can ignore that the
20 break could happen.

21 If the break does happen and the -- well,
22 we're not ignoring them anyhow. I'm getting crosswise
23 of myself. But if a break were to happen and the sump
24 performance was demanded, then we would not have a
25 reliable demonstration that the sump would perform.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 If the sump does not perform, then core
2 damage could follow. And at the same time, the
3 mitigation feature of containment spray would also be
4 impacted by this and that for those reasons, we
5 believe that it is a safety issue.

6 DR. WALLIS: But the reason that it
7 doesn't have to be resolved today is because the
8 safety implications are small.

9 MR. SCOTT: It's not that they are small,
10 but we believe that they are acceptable for the near
11 term to get the issue fixed.

12 MEMBER CORRADINI: I guess Graham is
13 asking a question that has been bothering me from the
14 beginning. So you're kind of splitting this a bit
15 finer than I would. Either it's a compliance issue
16 and although there are safety questions, they're small
17 enough that they hold in the compliance zone versus
18 something is out of compliance enough that you have to
19 stop something.

20 And it seems like Graham is asking you
21 it's either black or white, and you're telling us a
22 gray. I'm still trying to understand your answer to
23 his question.

24 MR. SCOTT: Not every safety issue
25 requires an immediate, for example, decision not to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operate plants anymore. We're saying that this issue
2 is of sufficient safety concern that it needs to be
3 resolved.

4 We do not believe it is of such imminent
5 concern that we need to question whether the plants
6 can continue to operate while we resolve the issue.
7 It is gray in that sense.

8 CHAIRMAN BANERJEE: But it is also true
9 that we have taken action by increasing the sump
10 screen areas, which have dealt with the immediate
11 problem of the very, very undersized sumps. So it's
12 improved the likelihood that we have less of a safety
13 issue.

14 MR. SCOTT: The situation --

15 CHAIRMAN BANERJEE: We haven't
16 demonstrated it.

17 MR. SCOTT: The situation is better now
18 than it was in 2004, --

19 CHAIRMAN BANERJEE: Right.

20 MR. SCOTT: -- when the generic letter was
21 issued. On the other hand, some effects whose impacts
22 were not clearly known in 2004 have turned out to be
23 potentially problematic here.

24 CHAIRMAN BANERJEE: Sure.

25 MR. SCOTT: So those effects, the fact

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that several of the presenters have referred to where
2 a little bit of debris can go a long way, this stuff,
3 this material, does not behave well. Therefore, we
4 continue to believe it is of concern.

5 And we believe that we have developed an
6 approach that is intended, recognizing that it has
7 been out there a while, it has been out there a while,
8 but we have proposed something to the Commission that
9 will make it go away in what we consider to be a
10 reasonable period of time.

11 And that is a judgment call. And that is
12 our judgment.

13 CHAIRMAN BANERJEE: Does that satisfy you,
14 Mike?

15 MEMBER CORRADINI: It helps. I am just
16 simply following up Graham's question because I was
17 listening to that answer.

18 CHAIRMAN BANERJEE: Okay. Let's go on.

19 MR. HOTT: All right. The recommended
20 approach here by the staff is intended to provide
21 near-term resolution for more significant, smaller
22 loss-of-coolant accidents while allowing additional
23 time for refinements for evaluating larger breaks;
24 maintain sufficient defense-in-depth by requiring
25 mitigation for all size breaks; and incorporates risk

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 insights, both in the implementation schedule and the
2 in the analysis of larger breaks; continues the
3 integrative review process, which has been successful
4 for the majority of PWRs in answering all strainer
5 questions; and balances conservatisms against
6 potential uncertainties.

7 The implementation schedule also takes
8 into account the amount of planning and effort
9 required for licensee implementation of ALARA methods
10 to reduce the doses of additional modifications.

11 MEMBER ABDEL-KHALIK: All of this, of
12 course, is provided that there are no surprises for
13 the downstream effects?

14 MR. SCOTT: Well, there is always the
15 possibility of a surprise. And we will adjust the
16 resolution schedule in the plan as needed if those
17 things should occur. Again, we anticipate the
18 in-vessel effects testing is going to wrap up this
19 month. And if something unexpected happens, we will
20 have to respond to it.

21 MEMBER ABDEL-KHALIK: But your
22 presentation to the Commission will precede that
23 conclusion?

24 MR. SCOTT: No, I don't think that's
25 correct. The Commission meeting is September 29th.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: Right.

2 MR. SCOTT: The cross-test is this Friday.

3 And then we have asked for one more low-flow test,
4 which we anticipate would happen before the 29th.

5 Now, we won't have the written report by
6 then, but we will have the answer by the time we sit
7 before the Commission unless something --

8 CHAIRMAN BANERJEE: Now, we have to also
9 go in front of the Commission with you.

10 MR. SCOTT: Right. Looking forward to it.

11 CHAIRMAN BANERJEE: So would we have that
12 information, too?

13 MR. SCOTT: I would be more than happy
14 when we get the information to share it with you.

15 CHAIRMAN BANERJEE: That would be very
16 useful.

17 DR. WALLIS: What are you doing about the
18 test which showed that the fewer particles you have,
19 the worst the ΔP so that if you extrapolated, you
20 assumed having no particles at all is the worst case?
21 How do you deal with something like that?

22 MR. SCOTT: The particle-to-fiber ratio of
23 one-to-one is considered to be the lowest that could
24 be attained.

25 DR. WALLIS: Why?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Simply because anything less
2 than that, it's approaching what you're talking about,
3 where there is just nothing in the plant.

4 DR. WALLIS: Yes, but --

5 DR. KRESS: It has to turn around.

6 DR. WALLIS: How do you know where it
7 turns around? I mean, that's a simple question. Have
8 you ever tested something in that region to be sure
9 that it does turn around?

10 MR. SCOTT: Again, staff does not believe
11 that less than one-to-one is attached.

12 DR. WALLIS: I don't accept the staff does
13 not believe --

14 MR. SCOTT: I understand that. We will
15 get you an answer that you would find --

16 DR. WALLIS: Belief is no substitute for
17 data.

18 DR. KRESS: This ratio of one-to-one, is
19 that a mass ratio?

20 MR. SCOTT: Do we have somebody in the
21 audience? Steve Smith, can you answer that?

22 DR. KRESS: Because it may not be the
23 wrong thing to deal with.

24 MR. SMITH: Yes. Steve Smith. It is a
25 mass ratio.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. KRESS: Yes.

2 MR. SMITH: It's based on the mass.

3 DR. KRESS: So the one-to-one really
4 doesn't mean much in terms of area blocked or how you
5 lay the stuff together to block up the filter. It has
6 to be something besides mass, I think. These are
7 those things. They're a lot different than that. But
8 one-to-one just --

9 DR. WALLIS: There's nothing magic about
10 --

11 DR. KRESS: Not magic. That was I think
12 Graham's --

13 DR. WALLIS: So you are going to resolve
14 all of this this month sometime with us?

15 MR. SCOTT: Not with the ACRS. We are
16 meeting with the ACRS in October.

17 DR. WALLIS: So you want us to write a
18 letter after you've --

19 CHAIRMAN BANERJEE: We have to write a
20 letter.

21 MR. SCOTT: Your choice to write a letter
22 is yours.

23 CHAIRMAN BANERJEE: Right.

24 MR. RULAND: That's the ACRS' choice to
25 write a letter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: I'm just expressing
2 skepticism that you are going to resolve the
3 downstream effects satisfactorily without telling us
4 exactly what that advice is involved in that.

5 MEMBER ABDEL-KHALIK: Well, I guess the
6 only thing we can state is that this is all contingent
7 on resolution of the downstream effects issue.

8 DR. WALLIS: Questions remain.

9 MEMBER ABDEL-KHALIK: Right.

10 DR. WALLIS: Yes. We can say that.

11 CHAIRMAN BANERJEE: I think let's go
12 through the summary slides. Let's finish them.

13 MR. SCOTT: I would also submit that,
14 regardless of how that plays out, you would be able to
15 weigh in if you chose to on the distinction between
16 several of these options that are presented here.

17 MEMBER ABDEL-KHALIK: Right. Comments on
18 leak-before-break, for example, --

19 MR. SCOTT: For example.

20 MEMBER ABDEL-KHALIK: -- GDC.

21 MR. SCOTT: Yes.

22 MEMBER ABDEL-KHALIK: Absolutely.

23 CHAIRMAN BANERJEE: Yes. I think we need
24 to try to conclude.

25 MR. SCOTT: Yes. Go ahead.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HOTT: This is the final slide. The
2 staff is now recommending leak-before-break credit
3 would be inconsistent with GDC-4, defense-in-depth
4 principles, and the proposed 50.46 alpha risk-informed
5 rulemaking for ECCS.

6 LBB credit for global effect might set a
7 precedent for other areas of plant design. And the
8 staff has continuing concerns with PWSCC.

9 That's the end of the presentation.

10 CHAIRMAN BANERJEE: I have one question.
11 The SRM also asked for BWRs, if I recall.

12 MR. SCOTT: The SRM asked the staff for my
13 information to the Commission.

14 CHAIRMAN BANERJEE: Was that on a
15 continuing basis, not in the SECY? I forget the
16 wording there.

17 MR. SCOTT: We're going to address it, at
18 least in the near term, with a correspondence with the
19 Commission on the subject.

20 Of course, as you know, we updated them on
21 it in the April meeting.

22 CHAIRMAN BANERJEE: Right.

23 MR. SCOTT: Just for your information, we
24 are in the middle now of some detailed discussions
25 with the BWR owners' group about different aspects of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the problem that pertain to BWRs.

2 CHAIRMAN BANERJEE: I think somebody from
3 your staff asked us informally if we wanted to be
4 informed about what is going on there. Now, I have
5 forgotten who it was, and it was about a month or two
6 ago.

7 MR. SCOTT: We would be happy to let you
8 know. Basically, we have one two-day meeting a month.

9 We had one last month. We have one this month and
10 the next two months to discuss particular subject
11 areas that we have expressed questions to them about
12 as to whether given what we have learned from the
13 PWRs, that there needs to be a new evaluation for
14 BWRs.

15 The owners' group, to their credit, is
16 attempting to address these issues and get out ahead
17 of us. And so we are interacting with them to make
18 sure they answer the right questions.

19 CHAIRMAN BANERJEE: Okay. So, with that,
20 I think what we will do is -- thank you very much for
21 a very informative set of presentations. And we will
22 take a break and then maybe have NEI followed by STP
23 or which order would you like?

24 So we are running about half an hour late,
25 but that is not unexpected. So we will take a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 15-minute break and be back at 4:15. Thank you.

2 (Whereupon, the foregoing matter went off
3 the record at 4:00 p.m. and went back on the record at
4 4:15 p.m.)

5 CHAIRMAN BANERJEE: We are back in
6 session. We are going to hear from John Butler, NEI,
7 first. Go for it, John.

8 MR. BUTLER: All right. I welcome the
9 opportunity to speak for this subcommittee and my name
10 again is John Butler with NEI. With me up here is Tim
11 Bowman, who is the General Manager of Oversight at
12 South Texas Project.

13 So I am going to go through some
14 perspectives, considerations on the options presented
15 in the SECY paper and Tim is going to go through from
16 a plant-specific standpoint application of the various
17 options at South Texas Project. So I will get
18 started.

19 You have already gone through this with
20 the staff presentations. This goes through the
21 resolution options that were considered in SECY-10-
22 0113, which I will refer to as the Options Paper.

23 Option 1 provides considerations of
24 schedule. Option 2 is where the staff lays out a
25 couple of risk-informed options. And then Option 3 is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consideration of GDC-4, which I will go through in a
2 little bit more detail because I consider it the
3 original risk-informed option.

4 But in the end, the staff recommended
5 Option 1.b, which is considering the small break
6 spectrum on a near-term schedule, longer term larger
7 breaks on a schedule as informed by the risk-informed
8 in Option 2. So they recommended Option 2 and Option
9 1.b.

10 The industry recommendation, which I will
11 just jump to the bottom line, which is we recommend,
12 and we are in agreement with the staff, we recommend
13 Option 1.b in looking at we need to address the
14 smaller breaks, the more risk-significant spectrum of
15 breaks in a deterministic fashion, in a method that
16 the staff finds to be acceptable. We need to do that
17 on a schedule as quickly as possible. We want to
18 close out that spectrum of breaks.

19 For the larger breaks, the less safety-
20 significant spectrum of breaks, we would like to
21 expand our options, look at the risk-informed options
22 in 1.b, I mean in Option 2, but also to give
23 consideration to Option 3. The one thing that hasn't,
24 I guess, been stressed here, is this is not a one size
25 fits all issue. It never has been. It never will be.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So I would like some consideration of Option 3, in
2 general, to make sure we are clear and understand what
3 the rule allows, what it doesn't allow. But there
4 needs to be a realization that some plants may prefer
5 Option 3, if it is allowed. Some plants may prefer
6 Option 2, 50.46a, if it is allowed, because there are
7 some advantages there but there are also some clear
8 disadvantages. But it is going to vary from plant to
9 plant what is the most appropriate options.

10 Other plants, as has been pointed out,
11 don't need any of these risk-informed options. They
12 are basically ready to close it out now as quickly as
13 they can. So we have 69 PWRs and they run the gamut,
14 the spectrum in terms of where they stand with this
15 issue and what they see as the most expedient way to
16 close this out.

17 CHAIRMAN BANERJEE: Would Option 3 allow
18 you recovery actions as well? You don't have to
19 consider them. Is that it?

20 MR. BUTLER: Well, a lot of us have been
21 talking about --

22 CHAIRMAN BANERJEE: Because there are --

23 MR. BUTLER: -- the differences between
24 GDC-4, LBB and 50.46a, as in 50.46a, you have to
25 demonstrate mitigation capability.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I imagine you can, this is up to the
2 Commission, you could implement GDC-4 with some
3 expectation that there be some capability to
4 demonstrate mitigation capability, similar as what was
5 done with the original bulletin response to show that
6 there is a building to protect, blockage when it
7 occurs. What are the operator actions when it occurs?

8 What actions would they take? What effectiveness
9 would it have? The biggest difference between doing
10 it ala the bulletin-type response, what is your
11 compensatory measures or mitigation measures that way,
12 between that and 50.46a is probably the level of vigor
13 that would be required in that analysis. But again,
14 you could do something along the lines of providing
15 some assurance beyond just saying it is not going to
16 occur. You can go beyond just pointing to the
17 likelihood of a break in that spectrum.

18 CHAIRMAN BANERJEE: Okay.

19 MR. BUTLER: Again, we would like the
20 Option 2, risk-informed options -- Because this is not
21 a one size fits all issue, we would like to pursue all
22 these options. There are advantages to 50.46a that
23 are not GSI-191 advantages. 50.46a was put forward
24 not as a 191 change. It was to address some of the
25 impacts of the traditional LOCA analysis and that is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where the rule change is really focused. It is not a
2 GSI-191 rule change.

3 If you look at the evaluation methodology
4 and the acceptance criteria as they apply to GSI-191,
5 there is really no difference between the greater than
6 TBS evaluation methodology language in the rule and
7 the acceptance criteria language in the rule between
8 greater than TBS and less than TBS, as they apply to
9 GSI-191 because not having to assume the loss of
10 offsite power, not --

11 MEMBER SHACK: Single failure.

12 CHAIRMAN BANERJEE: Single failure. These
13 have very little, if any, impact on GSI-191. So the
14 advantage of 50.46a really comes from looking at the
15 larger --

16 MEMBER SHACK: But non-safety equipment
17 might.

18 MR. BUTLER: Yes. And even that varies
19 from plant to plant. Some plants have a capability to
20 backflush with existing configurations in a non-safety
21 capability but some plants don't. Some plants have
22 check valves there that their capability to backflush
23 is --

24 CHAIRMAN BANERJEE: How about non-
25 concretely, these high fiber plants that are left, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 20 odd whatever, do they have, of these how many have
2 the capability to backflush?

3 MR. BUTLER: To backflush, I really don't
4 have that value.

5 CHAIRMAN BANERJEE: It would be
6 interesting because in some sense we are talking of
7 practical matters here. You know there are a certain
8 number of plants left.

9 MR. BUTLER: Well --

10 CHAIRMAN BANERJEE: And you know we want
11 to see what the application of 50.46a might to do
12 those.

13 MR. BUTLER: Let me just speak, well I
14 can't speak off the record but from my own --

15 CHAIRMAN BANERJEE: It's okay. We won't
16 hold you to it.

17 MR. BUTLER: My own personal view here.
18 Even plants that don't have that capability now, you
19 know, say there is a check valve here, the impact of
20 making design change to change out that check valve
21 with a motor operated valve or some other valve may be
22 less than the impact they would get into if they had
23 to do a full installation change out in terms of dose
24 impact and cost, which are both key considerations.

25 So you know, it is always possible to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 always look at options. And if they have an option
2 that provides them the same closure of an issue at a
3 lower cost and lower worker dose impact, that is what
4 they are going to pursue.

5 MEMBER SHACK: How about a non-safety way
6 to refill the RWST?

7 MR. BUTLER: Well they have that now.
8 That is pursued.

9 MR. BOWMAN: And most of us have it
10 proceduralized.

11 MR. BUTLER: It is not anything that
12 people credit.

13 MEMBER SHACK: Yes, but you get credit
14 under 50.46a.

15 MR. BUTLER: Yes.

16 CHAIRMAN BANERJEE: But if your sumps
17 clog, it may not do much.

18 DR. WALLIS: It helps for a while.

19 MR. RULAND: Maybe in recirculation.

20 MEMBER SHACK: I mean, that is the whole
21 point is to avoid recirculation.

22 MR. BUTLER: All right. Option 2a wasn't
23 discussed very much in the staff presentation but it
24 was one of the options in the paper.

25 It is in place right now. It has been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 limited in its use for several reasons. Some of them
2 were mentioned but one of the main reasons it hasn't
3 been utilized is it provides limited relaxation of
4 conservatisms, limited relaxations of how you treat it
5 currently.

6 You know, I will refer to this in this
7 discussion and also the 50.46a discussion but there
8 needs to be separation between the criteria that you
9 apply to the small break spectrum and the criteria
10 that you apply to the large break spectrum.
11 Otherwise, you get no benefit from looking at this.

12 And until you get that separation, it is
13 not going to be an option that is going to be pursued
14 willingly because you are basically looking at it in
15 the same fashion that you are looking at it now.

16 MEMBER SHACK: But isn't the more
17 difficult one the first bullet, where you are trying
18 to justify that relaxation in the -- I mean, we can
19 all agree on what is conservative. Well, I'm not even
20 sure we can agree on what is conservative, let alone
21 agreeing on how much you can relax them.

22 MR. BUTLER: I see there are two -- I am
23 getting ahead of myself but there are two main
24 disadvantages I see with 50.46a. One is what we are
25 just mentioning. It is going to be difficult to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identify that separation between the criteria you
2 applied for the large break spectrum and the criteria
3 you applied to the small break spectrum.

4 The second disadvantage, one of the second
5 key disadvantages is the difficulty in supporting any
6 relaxation because, as was pointed out earlier, all
7 the testing and analysis has been performed in a
8 deterministic fashion to demonstrate that you are
9 bounding something, that you are covering all
10 possibilities. And so whether you agree that you have
11 accurately bounded or not, that is what you are
12 striving for and you have very little data and
13 analysis on what is short of that.

14 So if you are looking at, you know, a more
15 realistic scenario, not a bounding scenario, you
16 really don't have any testing data to support that
17 right now. So you are stuck defaulting back to that
18 bounding scenario. And so that is going to inhibit
19 getting any real separation between the small break
20 criteria and the large break criteria.

21 DR. WALLIS: So to get a benefit, you
22 would have to do a whole new series of tests on what
23 you thought were the limiting amounts of stuff with a
24 small break. Is that what you would have to do?

25 MR. BUTLER: Yes. I am trying to think of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a good example of what I mean by that. In effect,
2 yes. I mean, you would need additional testing or
3 research to support more realistic analysis criteria.

4 CHAIRMAN BANERJEE: Well most of it is the
5 amount of debris.

6 MEMBER SHACK: I mean, the settlement
7 might be the one thing somebody could refine that
8 analysis.

9 DR. WALLIS: Well, ZOI is a lot less,
10 isn't it?

11 MEMBER SHACK: No, ZOI is not --

12 CHAIRMAN BANERJEE: Well it is just the
13 amount of debris. So if you had to sort of look at
14 the TBS as your divider and you apply the ZOI and
15 everything which is done, then you know there is a
16 certain amount of debris about which you can consider
17 them large breaks and you have got some relief. It is
18 fairly clear what you can do.

19 MR. BUTLER: We can take the ZOI testing
20 as an example of what you might do.

21 CHAIRMAN BANERJEE: Yes.

22 MR. BUTLER: I mean, currently, to cover
23 the full spectrum, and a lot of this conservatism is
24 done, being imposed upon ourselves to simplify the
25 number of tests that you have to perform. But you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cover a spectrum of break sizes, a spectrum of break
2 configurations, and you are trying to limit the total
3 number of tests that you have to perform because these
4 are expensive tests. But as a consequence, you
5 assume an instantaneous break or a break that occurs
6 very quickly such that you can potentially get some
7 kind of pressure wave with that fast opening. Now
8 that is possible for a smaller break but, you know, it
9 is highly unlikely if not impossible for a full
10 double-ended or a large bore pipe to open up fast
11 enough to give you that pressurization.

12 CHAIRMAN BANERJEE: Does the ANSI standard
13 require you to consider the blast wave? I thought it
14 did not. I was looking at Ransom's write-up.

15 MR. BUTLER: I am just speaking from the
16 testing. If you test, you know, something with a fast
17 opening ruptured disk or something that opened up more
18 reasonably because you are trying to -- It depends on
19 whether you are trying to simulate the full spectrum
20 of break possibilities or simulate what could happen
21 for a large bore pipe, which would be your more
22 realistic.

23 CHAIRMAN BANERJEE: Yes, I wasn't talking
24 about testing. I was simply talking about the testing
25 related to the strainer blockage. You could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 barometrically survey a range of debris loadings,
2 which will cross the TBS. The TBS will give you your
3 reference, if you like. And then that is what would
4 be your debris loading for that break size. And then
5 if you had more debris loadings, they would go more
6 towards that break and you had more sort of scope of
7 taking this recovery actions and things like that.

8 If they were smaller, you would be able to
9 handle them anyway with the TBS so you wouldn't worry
10 about that. So one could do some TBS testing, taking
11 that size, and look at somewhat larger amounts of
12 debris and see what mitigatory measures you could
13 take, backlashing or whatever.

14 MR. BUTLER: Right. But this testing
15 would likely have to be done on a plant-specific
16 basis.

17 CHAIRMAN BANERJEE: Yes. Each plant is
18 different.

19 MR. BUTLER: The recipe for each plant is
20 different.

21 CHAIRMAN BANERJEE: So you get different
22 amounts of debris and such.

23 Well, it is a complicated problem but you
24 are in the process of doing plant-specific testing
25 anyway.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: Right. Although some plants
2 are, depending upon which of the risk-informed options
3 or Option 3 that is utilized, they may not have to do
4 additional testing. They may be able to rely upon the
5 testing --

6 CHAIRMAN BANERJEE: They have already
7 done.

8 MR. BUTLER: -- with just a small
9 reduction in the debris loading.

10 CHAIRMAN BANERJEE: Anyway. Okay.

11 MR. BUTLER: Option 2b. The greatest
12 value in 50.46a comes from the traditional LOCA
13 changes that it would potentially allow. The real
14 language in whether it allows for GSI-191 is somewhat
15 limited. Because of that, the perceived value and
16 benefit of 50.46a really is going to vary from plant
17 to plant. A plant that is looking to apply 50.46a
18 beyond GSI-191 would see a lot more value in that
19 approach than a plant that would not be looking in
20 that direction.

21 Because the rule is not final and we
22 haven't gotten into any discussion on implementation
23 guidance in general for the rule and implementation
24 guidance for GSI-191 in particular, there is going to
25 be some time necessary. That in combination with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 uncertainty really raises some questions in my mind.

2 Option 3. This is the option that the
3 industry has no doubt been pursuing. We see it as a
4 way to address beyond what I characterize as the
5 unlikely breaks. These are without a doubt a spectrum
6 of breaks that occur at a very low frequency.

7 The application -- I see application of
8 GDC-4 as not something that is limited to those plants
9 that haven't closed it yet. One of the difficulties
10 with the methodology that we are using to close GSI-
11 191 is it not a methodology that allows you to
12 evaluate impact of future changes or future questions
13 that come up, without going through the process again
14 or doing additional testing.

15 I have referred to this jokingly as the
16 Snicker bar wrapper issue. I mean, if you are in a
17 containment and that you find at the closing of the
18 containment a Snicker bar wrapper, well your debris
19 generation calculations and analyses and testing
20 didn't take into account a Snicker bar wrapper as
21 being part of your debris source. What do you do?

22 So, GDC-4 would provide all plants the
23 capability to address those type of unexpected
24 instances in some way.

25 DR. WALLIS: I thought the GDC-4

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 application was to simply say that beyond the LBB
2 piping, didn't need to be considered.

3 MR. BUTLER: No. GDC-4 allows you to
4 exclude local dynamic effects from --

5 DR. WALLIS: But that is --

6 MR. BUTLER: But that is the majority of
7 it. But even for the LBB piping, you need to consider
8 the global effects which would still contribute to
9 debris, in the sense of unqualified coatings, latent
10 debris.

11 Now, I am not saying that they would be in
12 any way limiting. In applying GDC-4, you would likely
13 be limited. Your limiting debris generation would
14 come from probably your largest non-LBB pipe but you
15 still need to consider the LBB debris generation,
16 after you have excluded the local dynamic effects.

17 DR. WALLIS: Never mind.

18 MR. BUTLER: Okay.

19 DR. WALLIS: I don't quite understand but
20 that's okay.

21 CHAIRMAN BANERJEE: Well, it is clear it
22 was there to allow you to do inspections more easily.

23 DR. WALLIS: Well, I know. I know that.
24 I know that. I am just trying to figure out how you
25 see it being applied to the GSI-191, how you would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 like to see it apply.

2 CHAIRMAN BANERJEE: Local dynamic effects
3 is LOCA generation of debris. Right?

4 DR. WALLIS: So if we decree that there is
5 no generation of debris from --

6 MEMBER SHACK: There are no breaks.

7 CHAIRMAN BANERJEE: There are no --

8 MEMBER SHACK: -- hit by another break.

9 DR. WALLIS: That is what I thought was
10 the idea.

11 MR. BUTLER: I mean, you are right. If
12 you postulate a break in a LBB pipe, you would exclude
13 the debris generation from the jet impingement from
14 the break in that pipe but you would still need to
15 take into consideration the global effects, which
16 would come from the wash down of latent debris in the
17 containment, unqualified coatings that are falling off
18 because of the high pressure temperature --

19 DR. WALLIS: -- of the idea that you can
20 strip off the coating but you can't strip off the
21 insulation. That seems to be inconsistent.

22 MEMBER ABDEL-KHALIK: That is sort of how
23 a lawyer would interpret GDC-4, rather than someone
24 who looks at the original intent of GDC-4 would get
25 into.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: Let's get into that. I mean,
2 one of the things I brought for a handout is the
3 *Federal Register* notices for the original LBB rule,
4 the expansion of the LBB rule and then a request for
5 comment on further expansion.

6 I encourage you not to take my word on it,
7 not to take the staff's word on it but read it
8 yourself. It is not a long read. I encourage you to
9 read that.

10 Now the rule allows use of qualified
11 piping to exclude local dynamic effects from the
12 design basis. It doesn't say exclude local dynamic
13 effects for application here but not here.

14 MEMBER ABDEL-KHALIK: The rule may say so
15 in words but what is the intent of the rule, as stated
16 in the statements of consideration?

17 MR. BUTLER: Well, the intent of the rule
18 came about recognizing that there are adverse
19 consequences of assuming the full design basis
20 consideration of these large, unlikely breaks. So by
21 excluding local dynamic effects, that allows people to
22 remove the jet impingement shields and pipe whip
23 restraints that were impeding inspection and caused a
24 lot of high dose.

25 So they recognized there is a safety

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 worker benefit to applying this rule change to allow
2 the removal of those jet impingement shields and pipe
3 whip restraints. So that would allow the inspection
4 of the piping to occur easier with lower dose. And
5 you get an actual safety benefit there because of
6 improved inspection.

7 DR. WALLIS: But there is nothing there
8 about long-term cooling though. It is a totally
9 different issue, isn't it?

10 MR. BUTLER: Well, they recognize that by
11 excluding the local dynamic effects that provided an
12 inconsistency between that and the ECCS criteria,
13 50.46, which brings a long-term. They acknowledge
14 that. And they basically came out, we are going to
15 allow you to exclude the local dynamic effects but not
16 the global effects.

17 And they go through and actually identify
18 what the global effects are. For containment, it is
19 the pressure and temperature. For ECCS it is the
20 flows and --

21 DR. WALLIS: Assuming there is a big
22 break.

23 MR. BUTLER: Pardon me?

24 DR. WALLIS: Assuming there is a big break
25 then?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: Yes.

2 DR. WALLIS: It just doesn't make any
3 sense to me.

4 MR. BUTLER: Well again, that is the
5 reason I brought the *Federal Register* is to allow each
6 of you to read through the intent of the rule as --

7 CHAIRMAN BANERJEE: I think we read it
8 carefully. The summaries don't reflect that but we
9 could go through all the wording and try to understand
10 if there was -- what was the intent and how it plays
11 out.

12 So let's table this. We have got it.
13 Everybody has it. And let's move on, otherwise we get
14 stuck.

15 MR. BUTLER: All right. Now Option 3,
16 again we have been pushing that. There has been a lot
17 of -- This was addressed in the staff's presentation
18 with reasons why we don't see GDC-4 being applied.

19 What I have done in the next few slides is
20 tried to kind of push back on some of those reasons
21 that I disagree with in some degree disagree with.
22 The first reason was that application to LOCA-
23 generated debris is not the intent of the current GDC-
24 4 rule. The intent was to allow the removal of the
25 jet impingement shields and pipe whip restraints by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 allowing the exclusion of the local dynamic effects.
2 It didn't get into the applications of the rule after
3 you have excluded those local dynamic effects. You
4 now, there are a number of applications of GDC-4 that
5 aren't explicitly mentioned in the rules. So, it is
6 a little difficult for me to --

7 CHAIRMAN BANERJEE: Well the rule and
8 discussion in the *Federal Register* specifically seemed
9 to address pipe restraints and things. So are there
10 applications of the rule that you are aware of beyond
11 what is in here?

12 MR. BUTLER: Well, --

13 CHAIRMAN BANERJEE: Because we can read
14 what is in here.

15 MR. BUTLER: By taking out the pipe whip
16 restraints and jet impingement shields, it allows you
17 to exclude those local dynamic effects in some of the
18 design analyses. Those design analyses applications
19 of that exclusion of local dynamic effects are not
20 addressed in the rule. The rule said you can exclude
21 these local dynamic effects.

22 Now given that you have now excluded those
23 local dynamic effects, how do I utilize that? Now,
24 that has been utilized in in-core analyses in terms of
25 structural effects on fuel and vessel internals. It

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has been used in impact on equipment. It has been
2 used on the strainer to exclude jet impingement on the
3 strainer directly.

4 DR. WALLIS: I don't understand this,
5 though because emergency core cooling is not
6 inferenced by this modification. So you still have to
7 consider large break LOCAs. Right? Under LBB, you
8 still have to consider large break LOCAs.

9 MR. BUTLER: Right.

10 DR. WALLIS: Well if you do have a large
11 break LOCA, there is going to be a zone of influence.
12 You can't say there isn't.

13 If you have to consider large break LOCAs,
14 then you must consider their effects.

15 MR. BUTLER: You are looking at this
16 rationally and GDC-4 is not rational, unless you
17 introduce an inconsistency. So I am not going to try
18 to convince you otherwise.

19 But GDC-4 has been allowed to exclude the
20 impulse forces, asymmetric loads from a break. You
21 can ignore those but they are there.

22 DR. WALLIS: The idea must be that that
23 doesn't really affect something what matters like core
24 cooling.

25 MR. BOWMAN: No but it affects the core --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: It affects the core.

2 MR. BOWMAN: -- the rods going inserted
3 into the core.

4 MR. BUTLER: I mean, if you want to --
5 Every application of GDC-4 probably with no exception,
6 every application of GDC-4 affects safety to some
7 degree. And that has been one of the arguments here
8 and it affects defense-in-depth to some degree.

9 You know, the structural capability of the
10 core itself is probably not something that I want, you
11 know. That is a single point of vulnerability right
12 there.

13 CHAIRMAN BANERJEE: Well in fact, issue
14 three here says, "The Commission acknowledges that
15 this rule making will introduce an inconsistency into
16 the design basis by excluding only the dynamic effects
17 of postulated pipe ruptures, while retaining this
18 postulated accident or . . ." And I didn't see core
19 cooling systems, containments, and environmental
20 qualifications.

21 So I think they make it very clear that
22 this is nothing, does not impact emergency cooling or
23 containment or anything else. It only effects --

24 MR. BUTLER: The third Federal Regulation
25 rules I provide there, they go into a little bit more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 detail. It may be in the second one, too, where they
2 identify what the global phenomena are that they
3 retain. And they identify that for containment ECCS
4 and EQ.

5 CHAIRMAN BANERJEE: But again they say for
6 the present. The full rule allows the removal of
7 plant hardware, which it is believed negatively
8 affects plant performance while not affecting
9 emergency core cooling containment, environmental
10 qualification, or mechanical, electrical, blah, blah,
11 blah.

12 MEMBER SHACK: I think his lawyerly
13 argument is that the dynamic effect is the blowing off
14 of this debris.

15 CHAIRMAN BANERJEE: That's right.

16 MEMBER SHACK: The heat removal, you know,
17 the amount of water you need for that is --

18 DR. WALLIS: You are going to assume there
19 is a big LOCA and it doesn't generate any debris. Is
20 that what you want to assume?

21 MR. BUTLER: I am saying that for the
22 design of ECCS, in terms of mass flow heat removal
23 requirements, I am assuming the full spectrum of
24 breaks, including the full double ended guillotine
25 rupture of the largest bore piping.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SHACK: But even as a lawyer, you
2 have got 25 years of precedent against you is one of
3 the problems.

4 MR. BUTLER: I don't follow you there.

5 MEMBER SHACK: I mean, nobody has applied
6 it to this problem until now.

7 MR. BUTLER: That is not precedence. It
8 is just lack of application. It doesn't say that the
9 fact that you didn't apply it from day one that it
10 wasn't something you could apply.

11 CHAIRMAN BANERJEE: But I guess we are not
12 lawyers here. The reality of the situation is that we
13 have seen happenings in Barsebäck, Perry, Limerick,
14 all over, where there have been relatively small
15 events --

16 MR. BUTLER: Exactly. And as I point out
17 from the start here, we agree with the staff that for
18 the risk significant spectrum of breaks, breaks that
19 have the potential to occur with some likelihood above
20 mixed fuel that we should address that in a
21 deterministic fashion using methods that the staff is
22 agreeable to. We are not arguing that with the staff.

23 MEMBER ABDEL-KHALIK: It is, of course,
24 very difficult to second guess people's thinking but
25 it is reasonable to say that it would have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 impossible for the people who approve this rule to
2 have thought of all the potential scenarios in which
3 it may apply.

4 So the question is, had this been posed to
5 a reasonable person at the time, that this would lead
6 to potentially plugging of the screens as a result of
7 a LOCA if they would have gone ahead and approved
8 this.

9 MR. BUTLER: From a risk standpoint, that
10 is what they are taking into consideration. You could
11 ask the same question for every application that has
12 been applied from day one.

13 MEMBER ABDEL-KHALIK: Yes, I agree. And
14 it is very difficult. So the question before us is if
15 we were put in that situation, would we have approved
16 it. And that is the judgment that we have to pass.

17 MR. BUTLER: It's a good thing this is a
18 question that is being asked of the Commission. They
19 will answer this question.

20 MEMBER ABDEL-KHALIK: Absolutely.

21 MR. BUTLER: What I am trying to impress
22 upon anybody who will listen to me is that this is not
23 a case where the rule language itself says thou shalt
24 not do it this way. You know, at a minimum, it is
25 subject to interpretation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER ABDEL-KHALIK: True. Because it
2 would have been impossible for people to predict all
3 the possible potential applications.

4 MR. BOWMAN: We are just bringing up that
5 this is a possible application of this based on --

6 MEMBER ABDEL-KHALIK: I understand.

7 MR. BOWMAN: And we understand it. We are
8 just trying to put forward that there is obvious
9 inconsistencies that it brings up and saying this is a
10 possible application. And because, frankly, as a
11 licensee and when I get to speak here in minute, I am
12 looking for ways that I can resolve this and get this
13 resolved because we want to resolve it. So we are
14 looking at, what do we think is the best expedient
15 dose, cost regulatory solution. And we are saying we
16 think this may be one.

17 MEMBER ABDEL-KHALIK: But you know, from
18 my perspective, my job is to protect the health and
19 safety of the public.

20 MR. BOWMAN: So is mine.

21 MEMBER ABDEL-KHALIK: And the question I
22 ask is whether this will enhance or deter the health
23 and safety of the public.

24 MR. BUTLER: Any risk-informed option is
25 going to have a safety impact. Anything that you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing that is something less than the full
2 deterministic option is going to have a safety impact.

3 At some point you are going to take into
4 consideration not just, you know, that it is going to
5 have safety impact, but is that safety impact small
6 enough so that --

7 MEMBER ABDEL-KHALIK: I guess I don't
8 really need to get into a philosophical discussion
9 with you. So, I would urge you to continue.

10 DR. KRESS: We basically had that
11 philosophical discussion earlier this morning. So it
12 has already been accepted as a philosophical purpose
13 that you can increase the risk.

14 MR. BUTLER: And I think that to take some
15 of the impacts of this and mark them against 1174
16 criteria, that would be acceptable.

17 I am going to skip, you know, get through
18 this a little bit quicker.

19 CHAIRMAN BANERJEE: Yes, I think we should
20 move one.

21 MR. BUTLER: Yes. I think trying to flush
22 back events, that this is, as was put in the staff
23 presentation, a significant reduction in defense-in-
24 depth.

25 Two points. It is difficult for me to see

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how they determine that it is a significant reduction
2 in that there is no really measure of defense-in-depth
3 and how do you, unless any reduction is a significant
4 reduction.

5 The other point I would make is that any
6 risk-informed option, to some degree, is a reduction
7 in defense-in-depth. There is going to be some
8 likelihood that you are going to block the strainers.

9 CHAIRMAN BANERJEE: And then it was over.

10 MR. BUTLER: Yes. So, I can't argue that
11 there is not a reduction in defense-in-depth applying
12 GDC-4. I argue with how it is portrayed.

13 CHAIRMAN BANERJEE: I think that if you
14 had a means -- Let's say you did block the strainers
15 but there was a means of recovery from that. That
16 would be different, you know. And that is sort of
17 what 50.46a allows you to do because it allows you to
18 take into account non-safety systems, which will allow
19 you to recover. And that, I think, would give
20 everybody a lot of confidence. Because once you block
21 the strainer and you can't recover, then things get
22 pretty bad. That is the real problem.

23 If it happens, you know, and you cannot
24 recover, even if large breaks are very unlikely and so
25 on, you all agree that 50.46a, CRS, you know, we will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flow with it and so on. So now you want to use that,
2 use a little probability, use non-safety equipment,
3 gives you a lot of flexibility to do things.

4 MR. BUTLER: Having the capability to act,
5 as you say, if you have blockage, having some
6 capability even if it is non-safety, even if it
7 doesn't occur with a hundred percent reliability, I
8 think that would be excellent. A lot of plants do
9 have the capability to have a limited backflush, if
10 you will from their RWST, and rethink it somewhat and
11 do routing, which is some plants are easier to get to
12 than others, have flowed back through the strainers.

13 CHAIRMAN BANERJEE: And that is not the
14 only way. I mean, you could have many other, if you
15 sat down and thought about it.

16 MR. BUTLER: Right. And from a GDC-4
17 point of view, you could probably point to a number of
18 capabilities that you have along those lines. Where
19 you have difficulty in 50.46a is demonstrating the
20 effectiveness of that capability to the satisfaction
21 of the staff, through testing. I am sure that that
22 plant that has a backflush capability would be able to
23 fully credit that backflush capability because of the
24 difficulty in demonstrating to the staff's
25 satisfaction the effectiveness of that backflush under

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all conditions.

2 CHAIRMAN BANERJEE: Or it could lead to
3 other problems.

4 MR. BUTLER: And if nothing else, it would
5 probably take us another three years to get to that
6 point where we have satisfied the staff of the
7 effectiveness of that backflush capability.

8 CHAIRMAN BANERJEE: All right, let's move
9 on to your --

10 MR. BUTLER: All right. The next -- I
11 will skip forward if you will promise me you will look
12 at the slides, at least.

13 CHAIRMAN BANERJEE: We are looking.

14 MR. BUTLER: All right.

15 CHAIRMAN BANERJEE: You don't have to skip
16 forward. You can --

17 MR. BUTLER: I think this is going to be
18 the last slide. I just want to briefly point out that
19 a lot of the focus of the staff's discussion has been
20 on removing insulation, fibrous insulations. That is
21 certainly one of the bad actors. We won't disagree
22 there but there are two bad actors. The chemical
23 effects and fiber. It is the combination of the two
24 that are causing us all the problems. If you didn't
25 have the fiber and you had the chemical effects, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 wouldn't have problems. Similarly if you had the
2 chemical effects and not the -- Did I mess it up?

3 Anyway, if you take away one, you don't
4 have a problem. It is when you have a combination of
5 the two that you have the problem. So another
6 alternative would be to address the chemical effects.

7 Now, this is a longer term solution but I
8 know that there are results that this Committee has
9 examined back in 2007 from the French testing that
10 indicated that keeping the pH above seven was not
11 necessarily needed but if you didn't have that buffer
12 there to keep it above seven, that the impact on I-
13 diamond tension would be minimal.

14 You take out the buffer, that
15 significantly reduces the chemical precipitates. It
16 doesn't take them to zero but significantly changes
17 it.

18 Water management is another area of design
19 that really hasn't been given full consideration.
20 Fort Calhoun is the only plant that has taken it to
21 its limit, where they actually modified their
22 actuation to not start containment spray on a LOCA
23 event. It will start on a steam line break event,
24 where they need it. They can justify not having it
25 for a LOCA event. That significantly changes the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 water flow, utilization of the RWST water. It all
2 goes to the core instead of being sprayed into the
3 containment. It reduces the flow through the
4 strainer, which reduces head loss, increases the NPSH
5 margin.

6 DR. WALLIS: But your strainer still has
7 to work. I mean if your strainer is completely
8 clogged, you can't keep putting water in from
9 somewhere else. You just fill up the whole building.

10 MR. BUTLER: If you have lower flows, you
11 will not get the same head loss for the same amount of
12 debris.

13 DR. WALLIS: So you put off the need for
14 the strainer to work to the point where the decay is
15 so low that you don't need that much flow. Is that
16 what you are saying? But if your strainer is blocked
17 --

18 MR. BUTLER: No. What I am saying is that
19 in some cases for lower flows, you don't block.

20 DR. WALLIS: You have to do the test then
21 and show that.

22 MR. BUTLER: Sure. Yes.

23 DR. WALLIS: But you can't if the strainer
24 is really completely blocked, there is no water
25 management tool.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: No, I agree. You are right.

2 DR. WALLIS: Thank you. It is going to
3 save you for a while.

4 MR. BUTLER: Yes.

5 CHAIRMAN BANERJEE: So you have strainer
6 backflush capability. I suppose that was discussed,
7 right, with the staff under 50.46a.

8 MR. BUTLER: Right.

9 CHAIRMAN BANERJEE: I mean, option four is
10 not explicitly an option in the sense that it would be
11 factored into the other options. All options would
12 allow you to do things with the buffer, change out the
13 buffer. People have done that.

14 MR. BUTLER: Well, the difference with
15 Option 4 that I am really pointing to is that they are
16 not -- We know the immediate impact of reducing fiber,
17 changing out insulation. You know, if you reduce the
18 fiber you would now --

19 With removing the buffer, we are not at
20 the point now that -- Yes, we don't know the impact
21 from a chemical effects would be but we don't have
22 sufficient data to support its impact on radiological
23 retention. You know, the French testing was
24 indicative of a positive impact but it is not
25 sufficient by itself. So that is still being looked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 at.

2 So it is going to take time to fully
3 support that type of change.

4 DR. WALLIS: Well how about strainer
5 management? I don't understand why you put all the
6 debris through the strainer? I mean, if you put, you
7 have five strainers and you run one strainer until it
8 is full clogged and then you run another strainer, you
9 clog those up and catch all the debris. Then you have
10 some clean strainers, which you can use. I don't know
11 why you don't manage the strainers.

12 CHAIRMAN BANERJEE: Well in a sense Indian
13 Point was considering something like that, wasn't it,
14 where they had --

15 DR. WALLIS: Don't you gain a lot by
16 straining --

17 CHAIRMAN BANERJEE: -- sacrificial
18 strainers. Well it was just that it was set up that
19 way, if I remember. They had sort of a sacrificial
20 strainer. And then when that got plugged, they
21 switched it to the other one.

22 MR. BUTLER: Some plants, each plant is
23 different in how they are designed. Some plants have,
24 there are two trains of ECCS that have separate
25 strainers. So, they are the only plants that could,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 without a significant design change, implement that
2 type of rationale. But that requires them to not
3 start both trains of ECCS --

4 DR. WALLIS: At the same time.

5 MR. BUTLER: At the same time. Which
6 everybody is going to implement that design change.

7 DR. WALLIS: Well I just don't understand
8 why you want to put all the debris through the smaller
9 strainer and plug it all up.

10 CHAIRMAN BANERJEE: Well, if it is
11 naturally separated, that is one thing. But I think
12 the point you are making might --

13 DR. WALLIS: It doesn't run until there is
14 flow through it.

15 CHAIRMAN BANERJEE: Yes, might need to be
16 looked at because it is not necessary that with these
17 large strainers that you expose all the area at the
18 same time. You could expose some part of it.

19 MR. BOWMAN: But I have three strainers
20 because I have three trains of safety injection.

21 CHAIRMAN BANERJEE: Right.

22 MR. BOWMAN: So we have it written in our
23 procedures how we would manage this but I can't --
24 obviously, I am the only one in that situation in the
25 United States.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I appreciate the time to speak to this
2 committee.

3 CHAIRMAN BANERJEE: May we ask John a
4 couple of questions before we move on?

5 John, we have these estimates of 200 to
6 600 rem, which was in your letter or in the NEI
7 letter. And we have heard from the staff that their
8 estimates, based on a few things that they could find
9 are quite a bit lower. I think Mike might want to
10 follow this up. You started this line of discussion.

11 MEMBER RYAN: I mean, we had kind of a
12 staff estimate and then there is three estimates that
13 are off by a factor of 20.

14 CHAIRMAN BANERJEE: Right.

15 MEMBER RYAN: That is quite a wide margin
16 between estimates in the same activity in terms of
17 dose.

18 MR. BUTLER: Well, it might point out to
19 some of the differences. The larger industry estimate
20 was based upon estimates of the dose from a full
21 change out of insulation. It took into account the
22 dose from actually going in and doing the measurements
23 in one outage and the dose replacement at another
24 outage. So that is the maximum.

25 You know, there is a couple of factors

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that play to the maximum. It is looking at a full
2 scope removal. That is number one. Secondly,
3 estimates of dose would tend to be on the high side
4 because actually when you go in there and to the work,
5 our plants are very conscious of dose. So any
6 opportunity they have to reduce that exposure, they
7 are going to do that.

8 So the actual experience is the actual
9 exposure somewhat lower than original estimates --

10 MEMBER RYAN: Twenty times lower.

11 MR. BUTLER: Yes.

12 MEMBER RYAN: That is not somewhat. That
13 is an order of magnitude times two.

14 MR. BUTLER: The other factor, which is
15 the main factor here is the plants have actually
16 replaced insulation. They aren't necessarily full
17 scope replacements. They have the capability to go in
18 there and select which insulation am I going to
19 replace. I will stay away from that region and heat
20 exchange --

21 MEMBER RYAN: No, I am not arguing with
22 the estimating technique of highballing a number.
23 That is fine. But the actual practice has been for
24 whatever has been done, since it is much lower than
25 the estimate. So that is important to get kind of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 close to reality because that is part of the risk
2 equation you are assessing.

3 MR. BUTLER: Right. But the point I am
4 still making is that the actual experience is are
5 plants that have not, they have selectively identified
6 which insulation they are going to replace. And you
7 picked the insulation that you can replace at the
8 lowest worker dose. You stay away from that region
9 and heat exchanger that has an extremely high dose.
10 You say I will leave that there.

11 MEMBER RYAN: That is a small part of the
12 insulation in terms of the total and you optimize your
13 work plan based on taking out the low dose insulation.

14 MR. BOWMAN: I will just tell you. I
15 mean, we did a level one estimate based on the doses
16 that we have from our outages. We went through and
17 asked the vendor who would do it, how many hours it
18 would take. We took the dose rates in those areas and
19 we did a level one estimate, which obviously always
20 starts and we always work our way down based on dose.
21 So we provided the data because that was our level
22 one estimate, based on good dose rates and hours that
23 were provided to us.

24 Now, do we always work that down some?
25 Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: And of course, the answer is
2 that is the upper estimate and you are going to work
3 it down. There is just no way around it.

4 MR. BOWMAN: Well sure, because I want to
5 be a lawyer and I am going to work it down.

6 MEMBER RYAN: And I am not arguing with
7 that process. I understand it completely. What I am
8 trying to understand is what is the real number so
9 that can be factored into the risk equation. You
10 know, because that is a risk detriment that you have
11 to give up. And it is not 400. It is 20.

12 MR. BOWMAN: So I will give you for South
13 Texas. We started off about the low end was 100 rem
14 and the high end was 200. We have now got a better
15 estimate. It is 81.

16 MEMBER RYAN: Okay.

17 MR. BOWMAN: Now that is per unit for a
18 wholesale --

19 MEMBER RYAN: Complete removal.

20 MR. BOWMAN: -- complete removal and
21 complete change out to RMI.

22 MEMBER RYAN: A lot different than the
23 upper end that was on the --

24 MR. BOWMAN: Well, as I said, we will try
25 to explain how we got there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: No, no. I again --

2 MR. BOWMAN: And I am sure --

3 MEMBER RYAN: Now that you have explained
4 it, I understand what kind of estimate it was. But it
5 is just sort of a stark thing to see a range of
6 estimates and then a range of reality that is off by a
7 factor of 20.

8 MR. BOWMAN: To give you another
9 perspective, we just did a full head replacement.

10 MEMBER RYAN: Yes.

11 MR. BOWMAN: And the dose for that head
12 replacement was less than 81 rem.

13 MEMBER RYAN: Right.

14 MR. BOWMAN: So you know, we are talking
15 about another head replacement or better for each unit
16 to change that insulation.

17 MEMBER RYAN: That beats clogging the
18 sump.

19 MR. BOWMAN: Well if you get a chance, I
20 will talk about the risk because I think the risk from
21 a head was considerably more than the risk of a sump
22 clogging.

23 CHAIRMAN BANERJEE: Let's see. One of the
24 main things which sort of got into this process, if we
25 look at it from our point of view, you brought this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 thing to some sort of a reasonable level and the
2 staff, we came to an agreement, and they started to
3 get a lot of these plants through the process.

4 And now, it is 46 or 36 plants or some
5 large number have gone through and have closed down.
6 You have got a few high fiber plants left. Okay?

7 They were in the process of getting
8 letters out and stuff. To a great degree, what has
9 interrupted this process is the estimates that were
10 put in of these very high doses that would be needed.

11 Now if the dose is ten times lower than
12 those estimates, it will be this removal of
13 insulation. That puts a completely different
14 complexion on this. If it was truly 600 person rem
15 you might say well, that is a pretty high number. If
16 it is 80 person rem, that is a different number.

17 So I think, you know, the whole process
18 has been interrupted to some extent, simply due to
19 these dose estimates. And this is why Mike is trying
20 to figure out what sort of a basis there is behind
21 these estimates.

22 MR. BOWMAN: And I will say as being, if
23 you want to call this one of the high fiber plants and
24 I will give a perspective is we brought this issue up
25 when we started running the numbers on our dose and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 said, hey, does this match the safety significance of
2 what we are going to fix, what we are going to
3 continue to fix, based on the dose we are going to
4 expend to real workers in our plants. That is why we
5 brought up the issue.

6 MEMBER RYAN: One thing that might be
7 helpful for us to understand in more detail and I am
8 not sure if it is a question for Tim and John of the
9 NRC staff is what is the actual dose experience for
10 the plants that done it.

11 CHAIRMAN BANERJEE: They have some
12 numbers.

13 MEMBER RYAN: But I mean, how does that
14 all sum up? I mean, let's look at the plants by type
15 and you know, high fiber, lower fiber, whatever it
16 might be, and see really how this plays out.

17 CHAIRMAN BANERJEE: In one of the
18 enclosures that you got from the staff, they
19 summarized the experience of several plants.

20 MEMBER RYAN: Several but not all that
21 have done it. It is 36, you said or --

22 CHAIRMAN BANERJEE: Yes, I don't know if
23 they have that available. Maybe Mike or somebody from
24 the staff would answer this question because you are
25 much more knowledgeable than I am.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: This is Mike Scott. Is this
2 thing on?

3 MEMBER RYAN: No.

4 MR. SCOTT: Okay, I will talk loud. Oh,
5 okay. This is Mike Scott, NRC staff.

6 We took a sample of approximately eight
7 plants that had, that we knew or found out, had made
8 insulation replacements inside the container and that
9 is what is captured in the enclosure to the SECY paper
10 that Sanjoy was referring to.

11 I don't know how much larger the entire
12 population of plants that have made that kind of
13 change would be. We have limitations on going out and
14 asking wide-ranging data calls but I am not sure you
15 are going to get to another 20 more plants that have
16 actually done this kind of thing.

17 MEMBER RYAN: And again, the question
18 really is, you have got a sample of eight. Okay, so
19 be it. And if that data is not readily trackable,
20 then is that a representative set? I am just trying
21 to figure out where the average condition or the range
22 of conditions are for this kind of activity across the
23 system.

24 MR. SCOTT: Well the way I would look at
25 it is, you have a sample of eight or so plants that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 made, let's just refer to them as partial insulation
2 replacements. And you have heard from the licensees
3 in here today --

4 MEMBER RYAN: And Mike, I understand all
5 that. I am just trying to get a handle on it. I
6 mean, I appreciate the fact some people are doing more
7 than others. The plants are doing more, getting more
8 dose than plants doing less. I understand that. But
9 what we need to understand is what does that range of
10 that table look like for the activity --

11 CHAIRMAN BANERJEE: What do we need to get
12 to you to come to a judgment on this one?

13 MEMBER RYAN: Dose per plant for a level
14 of effort. Something of that sort.

15 CHAIRMAN BANERJEE: I think what we need
16 to do -- We don't have much time.

17 MEMBER RYAN: Let me write something down
18 and give it to you for discussion.

19 MR. BOWMAN: I think one of the things,
20 what we owe the NRC and I think we are going to talk
21 to the Commission later this month is, for those
22 plants that are remaining, what is the dose estimate
23 for us because that is really the safety significance
24 at this point. Is what do we see as the dose
25 estimates for what we are going to do to get in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 compliance.

2 MEMBER RYAN: And that is what the
3 industry -- We as the industry as a whole.

4 MR. BOWMAN: Correct.

5 MEMBER RYAN: And I think it would be
6 helpful for us to understand that estimate as best we
7 can, given that that is down the line a bit for the
8 Commission.

9 MR. BOWMAN: And we fully understand that
10 --

11 CHAIRMAN BANERJEE: The Commission
12 briefing is not very far down the line. It is the
13 29th.

14 MEMBER RYAN: Well a little bit. A month
15 or so.

16 CHAIRMAN BANERJEE: So it is on the 29th.

17 MEMBER RYAN: Oh, I thought it was October
18 29th. I thought it was September 29th.

19 CHAIRMAN BANERJEE: So I think if the
20 information which forms the basis of these estimates
21 could be maybe discussed at some point with Dr. Ryan
22 so that he feels comfortable that he understands, this
23 is his area of expertise, not mine or --

24 MEMBER RYAN: One counter-example that
25 will make the point is steam generators pretty much

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have been disposed and that is a whole unit. The one
2 attempt I know of trying to cut one up turned out to
3 be not a good idea from a dose point of view. There
4 is a counter-example.

5 You know, dose does sometimes drive the
6 bus of what techniques and to what extent you carry
7 out an activity. I am just trying to get an insight
8 from the experience to date why you are on the path
9 you are on relative to the planning for the follow up
10 activities at other plants.

11 CHAIRMAN BANERJEE: Well, Salem changed
12 out its steam generators.

13 MEMBER RYAN: I know all about steam
14 generators.

15 CHAIRMAN BANERJEE: Yes, so you have got
16 all those numbers. Correct?

17 MEMBER RYAN: Yes.

18 MEMBER ABDEL-KHALIK: Now you indicated
19 that STP has revised the dose estimate downward to --

20 MR. BOWMAN: We are continuing to look at
21 it because it would be a long-range plan of what do we
22 need to do. We continue to refine it. I am not sure
23 that it is going to go down much lower than where we
24 are at.

25 MEMBER ABDEL-KHALIK: Let me finish my --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BOWMAN: Okay, I'm sorry. I
2 apologize.

3 MEMBER ABDEL-KHALIK: You indicated that
4 STP has revised the dose estimate down to 81 rem.
5 Have other utilities who were involved in providing
6 this range of 200 to 600 similarly revised their dose
7 estimates and what would the current range be?

8 MR. BUTLER: I have to go back and look at
9 it. As I mentioned, we are in the process of
10 gathering the dose estimates from the remaining 25 or
11 so plants. If they were to have to make a major
12 insulation change, what would their dose estimate be?

13 And some of those estimates are the same plants that
14 provided earlier estimates for this wide range and I
15 just haven't gone back to look at it.

16 But there is one particular plant that has
17 a very high estimate. It is based upon the dose in
18 the area that have replaced the insulation and the
19 estimates of the hours from the vendors on what it
20 would take. And it is what it is.

21 MEMBER RYAN: And again, I accept that but
22 there are ways to highlight. We have one outlier that
23 is the 600 number and the rest of them are -- that
24 kind of thing.

25 MR. BUTLER: Yes, that is kind of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outlier.

2 MEMBER RYAN: I think anything you can do
3 to explain that it is not a normally distributed
4 sample and there are outliers probably on the low end,
5 the high end for very good reasons. The low end is
6 not doing too much insulation removal. The high end
7 may have a different view of the time and motion and
8 manpower that it would take to get it done and what
9 the dose environment is.

10 So again, I think we are just trying to
11 understand on the average what is the mean or the mode
12 or whatever statistic you want to use to understand
13 what it looks like. But it is difficult to get a
14 feeling for it when it is 200 to 600 compared to 40.

15 CHAIRMAN BANERJEE: Yes, I think this is
16 the key issue. The key issue as to what we go forward
17 with or what the ACRS will recommend is really the
18 veracity of these dose estimates. So we need to get
19 to the bottom of this.

20 MEMBER RYAN: I agree.

21 CHAIRMAN BANERJEE: To the extent you
22 need, Mike, you have a hunting license.

23 MR. BUTLER: I will be happy to facilitate

24 --

25 MEMBER RYAN: That would be great, John.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: -- discussions between you
2 and the actual plants if you want to explore with
3 them.

4 MEMBER RYAN: No. I mean, if we can
5 follow up on the conversation we have had on how do we
6 get a better handle on the range of numbers and the
7 averages versus the median or the mode instead of some
8 outlier sort of driving the interpretation of the
9 fewer those numbers the better.

10 MEMBER ABDEL-KHALIK: What STP's starting
11 point within that range?

12 MR. BOWMAN: We were 100 to 200 rem.

13 MEMBER RYAN: You know, and having done an
14 awful lot of dose estimating over my career, I have
15 never come out with an actual number that is in-
16 between my low and high. They are always, you know,
17 they tend to be upper-end estimates. And that is not
18 a bad thing. From a radiation protection standpoint,
19 you really want to understand that upper limit.

20 MR. BOWMAN: Yes.

21 MEMBER RYAN: You want to make sure that
22 you are not in an environment you are not prepared to
23 deal with. So there is a normal tendency to
24 overestimate and I appreciate that. But the decision
25 is this a good activity is not made on that health

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 physics thinking, it is made on the actual results.
2 And I am trying to understand how to separate the
3 health physics planning thinking from the actual
4 results of what we get.

5 So one set of data is what are the actual
6 plant experiences like ER81 and all the other plants,
7 what were their actual experiences for whatever it is
8 they had to do? Now, if this data on oh this was a
9 huge amount of fiber that had to be taken out, this
10 was a small job, that is all helpful information from
11 Sanjoy's perspective but I think you have got to kind
12 of separate the health physics planning mindset, which
13 is I have got to always be prepared for an environment
14 that could be higher than I might first anticipate and
15 come out with a lower number. That is always a good
16 thing from a health physics standpoint and make sure
17 we are talking apples and apples when we present that
18 to the Commission.

19 MR. BOWMAN: We agree.

20 CHAIRMAN BANERJEE: Anyway, so because the
21 other thing that also came up in the discussion was
22 that there could be, if there were small pieces of
23 equipment like heat exchangers, that it could be
24 banding or something done, which would give rise to a
25 much lower dose.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 That could be something that could be
2 considered as well, you know. You know, you don't
3 have to remove everything but there could be some very
4 high dose areas where some alternatives could be
5 taken.

6 MR. BUTLER: And plants are looking at
7 that as an option.

8 CHAIRMAN BANERJEE: Right.

9 MR. BUTLER: One plant, one of the 25
10 plants that is still open, you know, when I went out
11 looking to get these estimates and I got back an
12 estimate that was pretty low, a pretty low estimate
13 and I kind of pursued that. Why is this low compared
14 to what I am seeing for other plants with insulation
15 replacements? Because we are not replacing
16 insulation. We are just going to go in an band. For
17 them, that is enough. That is enough to give them
18 what they need to close this issue out. You know,
19 that is what they would consider. They could consider
20 banding to the degree necessary to close the issue
21 out.

22 CHAIRMAN BANERJEE: Everybody wants to
23 close this issue out.

24 MR. BUTLER: Yes.

25 CHAIRMAN BANERJEE: Okay. All right. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 let's let Tim go through it. Go ahead.

2 MR. BOWMAN: Once again, let me thank you
3 for your time. And as I say, we desire to close this
4 issue out. From 2004 to 2007, we installed much, much
5 larger strainers. We have three trains. We fully
6 expected that at the time we installed them that the
7 strainer testing would pass and we would be closed.
8 That has not come to fruition. In 2008 our testing
9 was based on a reduced WCAP zone of influence, which
10 was called into question. So now we are back into a
11 discussion of strainer testing.

12 When we started looking at a 50.54f letter
13 that would drive us within a couple of cycles and we
14 started looking at the dose and the cost to really
15 passing a strainer test, I mean, really providing some
16 certainty without sessions about a lot of issues, we
17 came up with the 100 to 200 rem per unit and 30
18 million dollars. And frankly, we had asked ourselves
19 when we invest in the plant, we ask ourselves, what is
20 the safety implication. What is the safety benefit to
21 our station?

22 We fully believe that we, based on our
23 determinations that even without the strainer testing,
24 that we would pass to a transition break size, either
25 under GDC-4 determination or under 50.46a. And if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that was the situation, we asked ourselves well if the
2 strainers are good enough for that, what are we
3 gaining to go beyond that that we pulled all the
4 insulation off from a true core damage frequency. And
5 we were in a public meeting and my PRA expert, we
6 actually would have an increase of 3E-08 of core
7 damage frequency to actually removing all the
8 insulation and replacing it.

9 So we asked ourselves, what are we really
10 gaining from this very, very minimal improvement to
11 safety. And that is where we sat down and we were
12 asking ourselves, what are the options. What are the
13 strategies? How do we get to this closure because we
14 desire closure. And so you go ahead on the next
15 slide.

16 What I want to do is discuss, thinking of
17 a senior manager that is working with engineering to
18 try to future a course. You know, we are looking at
19 all these options. Which one do we think provides us
20 the best certainty, the best regulatory option, the
21 best dose, the best cost. And so just to give you a
22 little idea thinking, we have talked a lot about GDC-4
23 so you can -- But what I want to do is talk about how
24 we think about the difference between what is Option 3
25 GDC-4 and 50.46a.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So go ahead and move on. We beat that
2 window like a -- And so if you just do a direct
3 comparison --

4 MEMBER ABDEL-KHALIK: I would like for you
5 to go back to slide three.

6 MR. BOWMAN: Okay.

7 MEMBER ABDEL-KHALIK: Three. Okay. Do
8 you believe the second bullet is a complete statement
9 --

10 MR. BOWMAN: Yes.

11 MEMBER ABDEL-KHALIK: -- of how you
12 approach this?

13 MR. BOWMAN: Yes.

14 MEMBER ABDEL-KHALIK: The goal is to just
15 demonstrate compliance by reducing cost and worker
16 impact?

17 MR. BOWMAN: I believe that the safety
18 benefit of continuing to remove insulation is minimal.

19 MEMBER ABDEL-KHALIK: And the argument
20 regarding defense-in-depth?

21 MR. BOWMAN: I believe that we have
22 sufficient procedures, training with our operators.
23 We have procedures called loss of emergency recirc.
24 We have training that we do. We don't take credit for
25 those, other than our response to generic letter

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 2004/2 but we believe that there is sufficient
2 defense-in-depth. And this provides us an expedient
3 way to bring closure.

4 That is our belief. Now whether it is
5 right or wrong, that is our belief. That is our
6 understanding of the rules.

7 MEMBER ABDEL-KHALIK: All right.

8 CHAIRMAN BANERJEE: Do you have procedures
9 in place so that even if your sump screens clogged,
10 you can assure long-term cooling?

11 MR. BOWMAN: That I would have to go talk
12 to my design guys about and verify because loss of
13 emergency recirc in the emergency operating procedures
14 was considered a contingency, so to speak, a defense-
15 in-depth backup. So I would have to go back and ask
16 that question.

17 CHAIRMAN BANERJEE: So let's ask it more
18 specifically. Would you be able to demonstrate there
19 is a proposal that eventually 50.46a would come into
20 force. Right? This is Option 2 or whatever. If you
21 were allowed to use non-safety equipment, would you be
22 able to show that you are compliant?

23 MR. BOWMAN: I do not know. Like I say, I
24 would have to go back and we would have to sit down
25 and look at the designs of the systems, what we could

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 do within the procedures we have and actually sit down
2 and put a pencil to paper from an engineering
3 standpoint.

4 CHAIRMAN BANERJEE: Okay, let's go on
5 then.

6 MR. BOWMAN: So, like I said, just from
7 our perspective, GDC-4, we talked about there is some
8 application guidance that may need to be refined for
9 50.46a. There is no implementation guidance out as of
10 yet and we require additional guidance, which provides
11 some uncertainty as to how you get a path to closure.

12 GDC-4 and RP, we could be implemented with
13 Commission decision, rather than rule-making as with
14 50.46a is a rule-making required that would be needed,
15 as was discussed earlier.

16 GDC-4, to apply for South Texas and the
17 plants that I have talked to require no additional
18 generic testing. Now, we would continue to do zone of
19 influence testing to gain margin back but as we were
20 going to discuss in GDC-4, we would use NRC accepted
21 zone of influences and all that on the largest leak-
22 before-break or maximum leak-before-break line. And I
23 will talk about that in a minute as how we get there.

24 There is potential in 50.46a because of
25 the uncertainty that there may be generic testing to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 continue, which is also uncertainty. We believe GDC-4
2 also provides us a shorter time frame for closure
3 because there is more certainty with the guidance and
4 more certainty of how we would apply and compare to.
5 10 C.F.R. 50.46a is a longer time period, as we have
6 discussed, due to rulemaking and implementation
7 guidance. So I think I heard probably April,
8 March/April 2012 to have implementation guidance.

9 DR. WALLIS: So you to apply the GDC-4,
10 you still calculate this large break LOCA for your
11 pre-clad temperature and all that kind of stuff?

12 MR. BOWMAN: Yes, sir.

13 DR. WALLIS: And so there is something
14 very inconsistent in applying a large break LOCA for
15 some of the results and some of the effects and not
16 for some of the other effects.

17 MR. BOWMAN: Yes, we have had this
18 discussion on the inconsistency.

19 DR. WALLIS: Well, I think you should be
20 consistent. I think if, you know, it is kind of, I am
21 tempted to use words which are inappropriate to say
22 that we are only going to consider -- You know, we are
23 going to consider there is a large break LOCA for some
24 of the consequences and not for some of the other
25 consequences. And that is very strange.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I don't really want to pursue my argument
2 because I might get into hot water. I mean, you could
3 apply to all kinds of moral issues. You know, you
4 only need to consider some of the consequences of what
5 you do and not the other ones. It is a strange way to
6 proceed.

7 MR. BUTLER: It is just we are in that
8 strange way right now. We have been there ever since
9 '84 when the rule was implemented.

10 DR. WALLIS: Well, I know but only because
11 there was a benefit and not to removing these things
12 which were obstructing the pipe.

13 MR. BUTLER: That benefit came from
14 allowing the removal of the pipe whip restraints and
15 jet impingement shields. They didn't require that
16 that same benefit be demonstrated for every
17 application of the rule. Otherwise, well it hasn't
18 been done to date.

19 MEMBER ABDEL-KHALIK: Let's proceed.

20 MR. BOWMAN: Okay. GDC-4, in our opinion,
21 provides more certainty and is a more straightforward
22 resolution because 50.46a final wording has not been
23 met and implementation guidance is not a certainty.
24 So this about what we believe is more certainty versus
25 uncertainty.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There are some other benefits. There was
2 precedent. Go back and look at Unresolved Safety
3 Issue A-2 under NUREG-6765, where it was used on
4 asymmetric loading. It was not necessarily part of
5 the quandary that we are at, discussion that we have
6 had already.

7 It does reduce the possibility of large
8 dose impact modifications. I am not saying we would
9 not have to remove and replace some insulation. We
10 may have to in order to get there, but it reduces the
11 possibility of large scale insulation removal.

12 And it would be a better and more
13 appropriate use of the industry's and the NRC's
14 resources on the remaining safety significance of this
15 issue, which as I said from our standpoint is on 3E-08
16 range.

17 So I am going to talk just a little bit
18 about sensitivity. If you look at South Texas our core
19 damage frequency for a large LOCA is 9E-04 -- 9.4E-09,
20 excuse me. This is based on a NUREG for initiating
21 event frequency. And we ran some sensitivity studies
22 on total sump plugging events and how it affects our
23 core damage frequency.

24 And so you can see in the next slide, if
25 you start off with a probability of E-05, then it has

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 very little affect on core damage frequency. As the
2 probability goes up to the E-02 range, the core damage
3 frequency goes up to 3.3E-08.

4 So from a risk perspective, total sump
5 clogging has, of course we are talking about core
6 damage frequency -- Also a owners' group sensitivity
7 study came up with similar results. So this is what
8 we were looking at from a risk impact standpoint.

9 So how would we apply? What would we do?

10 We would have to demonstrate that the strainer
11 qualification addresses the limiting debris
12 generation, using methods accepted by the NRC. We
13 would identify through a license amendment, we would
14 identify the qualified leak-before-break piping. We
15 would determine the limiting debris generation for the
16 non-leak-before-break and then have a discussion of
17 defense-in-depth measures and actions to maintain
18 defense-in-depth. That would be part of our
19 submittal. Next slide.

20 In order to determine the debris
21 generation, we would use the safety evaluation on NEI
22 04-07 guidance. That would determine the maximum
23 amount of debris that is transported to the sump
24 screens, based on non-leak-before-break piping and the
25 worst combination of mixes that are transported to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sump screens.

2 And at South Texas, the largest break line
3 would be a 12-inch residual heat removal suction line
4 and that would be our basis for our largest non-leak-
5 before-break line. Of course, you would have to do a
6 sensitivity in comparison to the smaller non-leak-
7 before-break lines but we believe that this would
8 probably be the line that would probably generate the
9 maximum debris. Next slide.

10 And then we would use the NRC methodology
11 to determine not only the location but also the amount
12 of debris that was generated. We would use zone of
13 influences that were acceptable to the Nuclear
14 Regulatory Commission right now. And so at South
15 Texas, we did a determination. It is not a final
16 calculation but we did a determination that if we used
17 GDC-4, we used the methodology and safety evaluation
18 of NEI 04-07, used the accepted zone of influence by
19 the NRC, we would generate 125 cubic feet of fines at
20 the sump. So ask yourself, how does that compare to
21 your sump testing that you have already done?

22 In July 2008, we were successful with 77
23 cubic feet of fiberglass fines based on a reduced zone
24 of influence. So you say well wait a second. Your
25 125 is more than that. However, we have removed some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CalSil from the station, which would change our
2 chemical effects and we believe and our determination
3 has been that the reduced chemical loading would be
4 offset, would offset the increased fibers.

5 Now, we would have to test that. We would
6 have to set up a protocol and test that. We are
7 already talking about testing and we are setting up a
8 test protocol. So part of this determination of GDC-4
9 50.46a is what do we do. What do we set up for our
10 protocol for our strainer testing?

11 CHAIRMAN BANERJEE: What sort of strainers
12 do you have?

13 MR. BUTLER: ECI strainers.

14 MR. BOWMAN: ECI. That is correct.

15 MR. BUTLER: They are a stacked disk.

16 CHAIRMAN BANERJEE: Stacked disk?

17 MR. BOWMAN: Yes, sir. So let me go to
18 the next slide.

19 CHAIRMAN BANERJEE: They are in sort of a
20 whole larger hole or whatever.

21 MR. BOWMAN: Yes, sir. We have a large
22 rectangular hole and they are stacked on top of that.

23 CHAIRMAN BANERJEE: On top of that. And
24 what is the area?

25 MR. BOWMAN: Six or seven feet by fifteen

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 or sixteen feet each.

2 CHAIRMAN BANERJEE: You mean that --

3 MR. BOWMAN: You mean the surface area of
4 the strainers or what?

5 CHAIRMAN BANERJEE: No the hole on which
6 it is.

7 MR. BOWMAN: I don't have that.

8 CHAIRMAN BANERJEE: What is the footprint
9 of the strainers?

10 MR. BOWMAN: I just want to say that is
11 probably seven feet by sixteen and stacked up. And I
12 don't know the exact surface area.

13 CHAIRMAN BANERJEE: One hundred and
14 twenty-five cubic feet. This 125 cubic feet is at
15 what density we are talking about? Is it --

16 MR. BOWMAN: I don't have that
17 information.

18 CHAIRMAN BANERJEE: Is this the fluff or
19 when it is solid gas?

20 MR. BOWMAN: Let's see. Let's see what my
21 guy told me it was. Twenty percent fines, eight
22 percent smalls, ten percent erosion of smalls, ninety-
23 five percent transport fraction.

24 CHAIRMAN BANERJEE: Yes, but I mean when
25 you arrive at this 125 feet, what is the density that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you are using? I mean, how many pounds of stuff is
2 there in that hole?

3 MR. BOWMAN: I don't know.

4 CHAIRMAN BANERJEE: Okay.

5 MR. BUTLER: Generally, and I think I am
6 correct in saying this, when they speak of cubic feet,
7 they are speaking of the volume as installed
8 integration. But when you are talking about fines, I
9 don't know if it still applies.

10 DR. WALLIS: Well I think 77 cubic feet of
11 fiberglass could probably absorb a lot of stuff inside
12 it, couldn't it?

13 CHAIRMAN BANERJEE: I don't know but is 77
14 cubic feet of fiberglass ten pounds of fiberglass or
15 100 pounds?

16 DR. WALLIS: I could absorb the rest of
17 the debris inside its voids.

18 CHAIRMAN BANERJEE: It would be nice to
19 have a number as to how many pounds we are talking
20 about. So 125 cubic feet.

21 DR. WALLIS: Which is much less than you
22 would have with the large break LOCA.

23 MR. LEHNING: This is John Lehning from
24 the NRC staff. Typically what we see is 2.4 pounds
25 per cubic foot.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BUTLER: Okay, thank you.

2 MR. BOWMAN: We are on the next slide.
3 Let me talk about --

4 CHAIRMAN BANERJEE: Excuse me. That is
5 2.4 pounds per cubic foot? That is for fiberglass.
6 Well, that is for this sort of stuff. But for the
7 other stuff, it is much denser. The particulate it is
8 30 or something or 50 or depending on what it is.

9 MR. BOWMAN: Part of the GDC-4 submittal
10 is margin management. And this applies not only for
11 South Texas but some people that would even have the
12 issue was closed is they may be able to improve their
13 margin by doing selective replacement or banding or
14 additional strainers. That is what South Texas we are
15 looking at what is the combination that is the dose,
16 what gives us the cost, what gives us the closure. So
17 we are looking at the myriad of options of how we can
18 get the mix correct.

19 By doing this, we could significantly
20 reduce our dose and cost scope if we did not have to
21 do a full-scale insulation replacement.

22 MEMBER RYAN: Do you guys know if other
23 plants have done that same kind of process, trying to
24 optimize? Yes and again, that is the kind of
25 information that I think would be very helpful to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 understand. Get some insights from that.

2 MR. BUTLER: But I have got to make the
3 point. What option, what combination of options makes
4 sense because upon what you are baseline criteria,
5 what your course is, whether you are going on option -
6 -

7 MEMBER RYAN: Well it could have an impact
8 of informing the committee of how balanced the various
9 parts of the risk equation to get a small
10 accomplishment in reduction of damage frequency causes
11 a large dose, you might think about which of the
12 options should you pick, based on those optimizations.

13 But if the dose is not so high and there is a bigger
14 benefit somewhere else, you might say well, let's go
15 ahead and do that.

16 So it is part of the equation that we have
17 to consider. So anything you can do to help us
18 understand that profile, here are the options and here
19 is at least the dose part of it, that is one important
20 aspect of balancing the risks, I think.

21 MR. BUTLER: Yes, and that is exactly what
22 you are doing here.

23 MR. BOWMAN: Yes, exactly.

24 CHAIRMAN BANERJEE: The problem of course
25 which you won't know the answer to or maybe you do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know the answer and we don't, will be what all this
2 means in terms of downstream affects. Eventually, you
3 know, you might have to remove insulation for
4 downstream --

5 MR. BOWMAN: That is the lynchpin is the
6 determination of the testing that is going to be going
7 on this Friday in the final safety evaluation report
8 is going to dictate a lot of what people do because,
9 you know --

10 CHAIRMAN BANERJEE: All this may be
11 irrelevant.

12 MR. BOWMAN: It's all relative. It is
13 just how relative is it. For us, it doesn't look like
14 it is going to be an issue but we have got to wait
15 until the final testing is complete.

16 Let me do a quick conclusion. We think we
17 Option 3 GDC-4 provides a good methodology for
18 closure. It is timely. There is no rulemaking or
19 guidance available. It addresses incremental risks,
20 minimizes dose and provides a mean to regain margin.

21 So, I understand we have had the dialogue
22 in the other but we think this has some of these
23 positive attributes to us that we look at.

24 Now, I want to reiterate what John said.
25 We are in agreement with the staff that a 1b in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 combination with a longer term to deal with the more
2 likely small break LOCAs first, we agree with. The
3 large break LOCAs, like I say, we are in this
4 discussion today to make sure that we have the right
5 or what we think is the right combination or the right
6 factors options of how we get to that closure. But we
7 agree with that fundamentally with the staff that we
8 want to get those small break LOCAs, we want to get
9 that addressed.

10 CHAIRMAN BANERJEE: And for that, you
11 wouldn't have to remove any insulation?

12 MR. BOWMAN: Well we might have to.

13 CHAIRMAN BANERJEE: You have to take a
14 number of measures.

15 MR. BOWMAN: We will have to take some
16 appropriate set of measures but it is kind of
17 interesting intermixed --

18 CHAIRMAN BANERJEE: Are the large break
19 LOCAs emanating from the sumps? You might be able to
20 figure out a way to have defense-in-depth.

21 MEMBER SHACK: But then he has got to have
22 means to regain margin so that he can push the system
23 a little harder.

24 MR. BOWMAN: I'm not so sure I want to
25 push that one.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: All right.

2 MR. BUTLER: One thing is for certain.
3 People aren't going to be -- increases in insulation
4 fibrous insulations in the future. The tendency will
5 be if you can replace it with RMI or some non-
6 problematic fiber you are going to be doing that at
7 every chance you get.

8 CHAIRMAN BANERJEE: Interesting that you
9 replace some with NUKON.

10 MR. BUTLER: Yes, we did.

11 CHAIRMAN BANERJEE: They replaced some
12 insulation with NUKON. Very brave.

13 MR. BUTLER: That is their main insulation
14 type at STP.

15 MR. BOWMAN: We were being requested why
16 do we still have CalSil in. So we went to NUKON and
17 got rid of the CalSil for the chemical effects.

18 CHAIRMAN BANERJEE: Right. You didn't
19 know about NUKON at that time, I presume.

20 MEMBER SHACK: For chemical affects or for
21 particular affect? I mean, you could have changed the
22 buffer.

23 MR. BOWMAN: We haven't gone to touch our
24 buffer yet.

25 MR. DINSMORE: Mr. Chairman?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: Anyway -- Yes?

2 MR. DINSMORE: If you are so inclined, the
3 staff has prepared just a few short remarks in
4 response to some of the questions that were raised or
5 not. It is up to you.

6 CHAIRMAN BANERJEE: No, we would like to
7 definitely --

8 MR. DINSMORE: Okay.

9 CHAIRMAN BANERJEE: -- hear. We are
10 willing to --

11 MR. DINSMORE: We are talking about five
12 minutes.

13 CHAIRMAN BANERJEE: Yes.

14 MR. DINSMORE: Thank you for your time.

15 CHAIRMAN BANERJEE: Thank you, John.
16 Thank you, Tim. Very, very interesting. So, Mike,
17 are you going to talk a little?

18 MR. SCOTT: Thank you, Dr. Banerjee for
19 giving me an opportunity just to respond to a couple
20 of points that were made here. As the industry folks
21 discussed, we are in agreement with them on some
22 aspects of this. And of course, we are in
23 disagreement on other aspects. In the NEI
24 presentation, there was a semi-lengthy discussion
25 about the difference between a global and a local

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effect --

2 CHAIRMAN BANERJEE: Slide number?

3 MR. SCOTT: Let's see. It is starts on
4 slide, eight, I think. Yes.

5 The staff does not agree about the
6 discussion about he intent of the Commission with
7 regard to the revised GDC-4 rule. That is to say, we
8 see the debris generation issue as global because the
9 debris that is generated travels to the sump and
10 causes potentially a loss of the ECCS which is
11 referred to in slide number nine in the NEI
12 presentation, the second sub-bullet.

13 In any event, you know, you look back at
14 the statement of consideration and you reach
15 conclusions, just like the industry reached
16 conclusions on what the Commission intended. We are
17 not at the same places they were for the reasons that
18 I have stated and they have stated. But as the staff
19 emphasized, even leaving all that aside, because the
20 commission is, of course, entitled to look at this in
21 a brand new light as they care to.

22 We have slide after slide of reasons why
23 we don't think that this is the appropriate thing to
24 do. So we don't agree about what the original intent
25 was but our argument contains much more information

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 than that. So that is just one point.

2 Regarding the missing Option 4 that John
3 Butler referred to, and this was referred to obliquely
4 at least, there is an ongoing process to see where
5 buffer removal, whether buffer removal would be a
6 right thing to do from a global -- I shouldn't say
7 global. We are starting that discussion again. From
8 an overall perspective and there are many potential
9 impacts of buffer removal, some of which involve some
10 performance, some of which don't.

11 There is a long-term international
12 research effort intended to get to answers for that.
13 I think John Butler referred to it as being several
14 years out and we agree with that. That is not a near-
15 term solution to this problem. There might be some
16 benefit in the future. We don't know what it would
17 be. Buffer removal does not remove chemical effects,
18 as John Butler noted. It causes different chemical
19 effects. We don't know how that will play out.

20 MEMBER RYAN: Mike, the short answer is
21 this is an area of some interest but it is years out -
22 -

23 MR. SCOTT: That's correct.

24 MEMBER RYAN: Okay, but you are following
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Yes.

2 CHAIRMAN BANERJEE: But you have looked at
3 buffer substitutions with other buffers.

4 MR. SCOTT: Right. And there is a pretty
5 well established state of knowledge about the impacts
6 of the different buffers. And several licensees have
7 changed buffers but that is different from removing
8 the buffer and having none at all. And I think this
9 bullet was intended to refer to that. And it is
10 certainly, as was said, it is of interest but it is
11 out there.

12 And that is mostly why it was not
13 discussed in our paper.

14 DR. KRESS: Are all the control rods in
15 the PWRs silver-indium-cadmium?

16 MR. SCOTT: Say again?

17 DR. KRESS: Are all the control rods.

18 MR. SCOTT: I believe that is correct,
19 yes.

20 DR. KRESS: All silver-indium-cadmium? I
21 thought some of them were different but I don't know.

22 But to remove the buffer, you have to have the silver
23 because that is what keeps the iodine from getting
24 back out of the sill.

25 MR. SCOTT: You have exceeded my knowledge

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 level on that subject already.

2 DR. KRESS: It is the silver that does it
3 for you.

4 MR. SCOTT: It keeps the --

5 DR. KRESS: Yes.

6 MR. SCOTT: Okay.

7 DR. KRESS: It ties up the iodine so it
8 doesn't leak.

9 MR. RULAND: If I could recall. When the
10 research issued the sill, on the Favus Research the
11 conclusion of Favus was that the species of iodine had
12 no affect on -- the buffer had no affect on the
13 species of iodine that was released post-LOCA. And
14 that was the reason research was telling us, well you
15 can just remove the buffer.

16 Now it is the NRC's staff's view that that
17 was just the first step in trying to decide where we
18 head with this. So we, like you said, we are a long
19 way away from deciding, taking research findings and
20 actually implementing it into the regulatory regime.

21 MR. SCOTT: Moving to the other items
22 here, Dr. Banerjee correctly stated that the water
23 management and even the backflush are on the table
24 now. They are not addressed or at least management is
25 not addressed specifically in the SECY paper but a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensee can use and the staff has encouraged
2 licensees to consider using approaches such as this.
3 The one plant that has used water management is still
4 in discussions with the staff about its testing. So I
5 don't think necessarily that this is a slam dunk to
6 get you completely done with the issue.

7 But we certainly recognize that it could
8 help and could be applied in conjunction with Options
9 1 or 2 or 3 as was previously mentioned.

10 MEMBER SHACK: Well, one is your holistic
11 one. Right? I thought your whole list concluded
12 things like water management.

13 MR. SCOTT: It concludes whatever the
14 licensee wants to come to the staff with. See, this
15 is the important thing. As Bill Ruland said, we don't
16 go say okay, everybody, let's do water management.

17 We say, we are amenable to being
18 approached about an analysis that supports water
19 management. And if a licensee wants to come forward
20 now and propose buffer removal, we will look at it.
21 We think there is a lot of wholes in the knowledge
22 base for that but we will look at it.

23 MEMBER SHACK: The nice thing about
24 buffers is they control the chemistry, among other
25 things.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. SCOTT: Although the Germans don't
2 have them. And they have different issues. They have
3 corrosion issues with their materials. So it is
4 different.

5 MEMBER ABDEL-KHALIK: This is not an all-
6 inclusive list of design modifications. Any applicant
7 who comes to you with a design modification that
8 potentially can address this issue, you will consider
9 it.

10 MR. SCOTT: Correct. And we have not told
11 anyone go forth and remove your insulation. We have
12 said, go forth and show that your strainer will
13 function correctly.

14 CHAIRMAN BANERJEE: Well my point was that
15 Option 4 was already contained within the other
16 options. It did not specifically have to be shown as
17 one.

18 MR. SCOTT: I believe you. I agree with
19 you.

20 CHAIRMAN BANERJEE: That was really, you
21 could do all those things.

22 MR. SCOTT: The one point that I would
23 make on the South Texas presentation, we have agreed
24 that the probability of occurrence for a large LOCA is
25 small. And that is why we are amenable to a longer

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 term demonstration of compliance with regard to those
2 large breaks. So the difference of opinion there is
3 simply whether we put all our eggs in that will not
4 occur basket or not.

5 Now I did hear there was discussion about
6 compensatory measures and how that might work out but
7 we have nothing on that at this point. Our view is
8 that we need to have the mitigated features that are
9 part of the 50.46a proposal.

10 So, that is really all I have. Thank you.

11 CHAIRMAN BANERJEE: Thanks, Mike.

12 MEMBER SHACK: What does that mean, they
13 would be three? Commander 1174 with a risk-informed
14 proposition that might include a defense-in-depth
15 argument.

16 MR. SCOTT: Sure. They can propose
17 whatever they want to propose and the staff will look
18 at it with an open mind.

19 CHAIRMAN BANERJEE: Good. Thank you very
20 much.

21 MR. SCOTT: Thank you.

22 CHAIRMAN BANERJEE: And I would like to
23 thank both the staff and NEI and STP for very
24 interesting presentations, which we much appreciate.
25 Now we have to do some hard work, guys. We have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 try and right our views on this.

2 Okay, so before breaking up, is there
3 anything that we should indicate about the full
4 committee meeting areas to emphasize or areas which
5 might catch the attention of the committee?

6 MEMBER ABDEL-KHALIK: Will the industry
7 representatives also make a presentation to the full
8 committee?

9 CHAIRMAN BANERJEE: Well, I have told Ilka
10 that we would certainly give proportionate time.

11 MS. BERRIOS: We have one and a half hour
12 for the staff and half an hour for NEI.

13 MR. SCOTT: I'm confident we will use
14 every bit of our one half hour.

15 CHAIRMAN BANERJEE: I'm sure. So is there
16 any -- The first thing I would like to address is are
17 there specific items that this committee, subcommittee
18 feels needs to be addressed or would be best addressed
19 --

20 MEMBER ABDEL-KHALIK: I think that the
21 measured tension that comes through is the
22 disagreement on GDC-4 and perhaps that should be
23 emphasized in the presentation, I would say.

24 CHAIRMAN BANERJEE: The pros and cons.

25 MEMBER ABDEL-KHALIK: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: Don't spend too much time on
2 that because it seems to me logically clear that it
3 doesn't apply.

4 CHAIRMAN BANERJEE: But that is the
5 Commission --

6 I think there, though Graham, the way you
7 read this --

8 DR. WALLIS: It is not designed to --

9 CHAIRMAN BANERJEE: Yes, but it still is a
10 policy decision which the Commission can make. So I
11 think it is on the table. Don't take it off the
12 table.

13 MEMBER SHACK: It is clearly on the table.

14 CHAIRMAN BANERJEE: So I think we do need
15 to say something as a committee about it and we should
16 be informed as a committee about the different points
17 of view.

18 DR. KRESS: I think the kicker there,
19 Sanjoy, is going to be the defense-in-depth argument.

20 You know, it is hard to quantify unless defense-in-
21 depth are losing. So I think if I were going to
22 emphasize anything, I would emphasize the need for
23 compensatory measures in case you give credit for a
24 leak-before-break. You know, have another way to deal
25 with it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. WALLIS: You could have a 50.46a,
2 then.

3 DR. KRESS: Not necessarily.

4 DR. WALLIS: Well something like that.

5 DR. KRESS: I mean, the Commission could
6 say yes, we will let you use the leak-before-break
7 environment if you also give us a way to have another
8 compensatory measure that gives us the defense-in-
9 depth we need.

10 DR. WALLIS: If they were there at all.

11 DR. KRESS: If they go there at all.

12 DR. WALLIS: Well, I think it would be
13 good if the question of the dose for removing the
14 fiberglass could be clarified, instead of having these
15 large discrepancies. That would really help the
16 committee.

17 MEMBER RYAN: And I was going to volunteer
18 to just write something up for you Sanjoy as a draft
19 but I couldn't agree. I think the real secret here is
20 let's focus on the plants that have done it and what
21 their actual experience is and have that at least as a
22 channel marker for what it might look like at the
23 other plants. Because that is the currency that
24 really makes sense.

25 I mean, these estimates tend to be upper

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 estimates anyway.

2 DR. WALLIS: Diminishing returns. I mean
3 to remove 90 percent of it may, you know, as much as
4 moving the last ten percent.

5 MEMBER RYAN: Yes, all that needs to come
6 into play. So I would be happy to --

7 CHAIRMAN BANERJEE: How would we, I think
8 Graham's point is a good one that removing 90 percent
9 might be easy and the last ten might be very hard.

10 MEMBER RYAN: It could be just the other
11 way around.

12 DR. WALLIS: Well, let's get the facts.

13 MEMBER RYAN: Right. I think the key is,
14 let's look at the facts of the actual experience to
15 understand what the dose commitment is and how does
16 that factor into the risk equation?

17 CHAIRMAN BANERJEE: So can you --

18 MEMBER RYAN: I guess we can work with
19 both the staff and --

20 MEMBER SHACK: It is still very difficult
21 to do, Mike. You don't know how much you need to
22 remove at each plant.

23 MEMBER RYAN: I'm not saying we are going
24 to know that. I am simply saying --

25 MEMBER SHACK: The only one we have heard

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for an estimate of how much they thought they might
2 really use --

3 MEMBER RYAN: I'm asking a very simple
4 question. You estimate between 200 and 400 and the
5 experience is 20 times less than that.

6 MEMBER SHACK: Yes, but still it is an
7 apple and oranges comparison.

8 MEMBER RYAN: It is a meaningless
9 comparison when the estimates don't match reality. So
10 I am just trying to understand what is the range of
11 reality. We heard about one or two examples.

12 CHAIRMAN BANERJEE: I think we should
13 listen to people. So what I think all we can say is
14 that this would be a subject which should be addressed
15 in addition to, of course, GDC-4, this would be of
16 interest to the committee. The more information we
17 could get about this in a succinct way, the better it
18 would be.

19 MEMBER RYAN: It could be very simply that
20 the experience to date is what would play out. So
21 that gives you one insight as to what the dose
22 commitment is for the activities or it could be higher
23 at certain plants.

24 CHAIRMAN BANERJEE: Mike and John, I
25 guess, we would, the full committee, in other words,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be interested to have whatever summarized
2 information is available in this area.

3 MR. SCOTT: And for us, that information
4 is in enclosure which?

5 CHAIRMAN BANERJEE: Well, I have seen --

6 MR. SCOTT: Attached to the SECY paper.

7 CHAIRMAN BANERJEE: Yes.

8 MR. SCOTT: We really have little more
9 than that.

10 CHAIRMAN BANERJEE: Okay.

11 MR. SCOTT: But it does have specific
12 plants and a brief description of what was done for
13 those plants.

14 CHAIRMAN BANERJEE: Could you put that on
15 a slide or something?

16 MR. SCOTT: Yes.

17 CHAIRMAN BANERJEE: All right. That would
18 be useful.

19 MR. RULAND: The key piece of information
20 here, which is what the delta is between doing what
21 they are doing now and no leak-before-break or leak-
22 before-break, it is the difference in dose that
23 ultimately is the item, I think, that is really the
24 decision point. And what you heard today from South
25 Texas was the total just. So it is not the delta.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The delta something less than that. And
2 to actually come up with that number, at this
3 juncture, I would argue, is an extremely difficult
4 thing to do.

5 MEMBER RYAN: And Bill, I appreciate that
6 clearly but I think we are just trying to get Russell
7 some handle on it. It is not a factor of 20 either.

8 You know, we are kind of comparing apples
9 and oranges.

10 MR. SCOTT: But when you look at what
11 South Texas, what they said there --

12 What I was going to say is when you look
13 at what their estimate was, which was 80 for a full
14 scope replacement and the references we gave you in
15 the vicinity of 40 for parts replacement, they are not
16 that far off.

17 CHAIRMAN BANERJEE: Okay. All right, are
18 there any other important points? Would you quickly
19 write me whatever needs to be written?

20 DR. WALLIS: Before tomorrow?

21 CHAIRMAN BANERJEE: Before tomorrow.

22 DR. WALLIS: I doubt it.

23 CHAIRMAN BANERJEE: No, by tomorrow, you
24 will be wherever.

25 DR. WALLIS: I will send it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRMAN BANERJEE: But I have to write a
2 letter.

3 DR. WALLIS: You can't write a letter this
4 week.

5 CHAIRMAN BANERJEE: This week, yes.

6 DR. KRESS: We will send you a--

7 CHAIRMAN BANERJEE: I have written a
8 letter but I want to factor your insight.

9 MEMBER ABDEL-KHALIK: It goes without
10 saying that we all owe it to the commission to provide
11 accurate estimates of these dose numbers because the
12 decision will ultimately be biased one way or the
13 other by biasing these numbers either to the high end
14 or to the low end. And, therefore, it is very
15 important to get as good an estimate of these dose
16 values as you can put a hand on.

17 CHAIRMAN BANERJEE: All right. So that is
18 done. GDC-4. Is there any other points that we
19 should talk about? Anything that either we should
20 talk about as a subcommittee or that the staff or NEI
21 know?

22 MEMBER ABDEL-KHALIK: Other than saying
23 the staff has done an incredible job in a very short
24 period of time. I was very impressed.

25 MR. RULAND: Just two seconds here. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 must acknowledge today is Mike's last day to appear
2 before the subcommittee as the GSI-191 Branch Chief.

3 CHAIRMAN BANERJEE: Where does he go?
4 Tell us.

5 MR. RULAND: I realize -- Well, Mike is
6 going to be going to research on October 12th. Right
7 Mike?

8 So anyway, this is his last meeting and he
9 is sorely disappointed that he is not going to be able
10 to do this again. That is what he told me.

11 MEMBER RYAN: We should have a research
12 briefing soon after October. Don't you think?

13 CHAIRMAN BANERJEE: He is going to list
14 the --

15 MR. SCOTT: I did my first ACRS briefing
16 on sumps the week I took this job. So that would be
17 no problem.

18 CHAIRMAN BANERJEE: I remember.

19 All right. Thank you all very much. Now
20 the meeting is adjourned.

21 (Whereupon, at 6:02 p.m., the foregoing meeting was
22 adjourned.)

23
24
25
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Closure Options for Generic Safety Issue 191, PWR Sump Performance

Presented by:

**Christopher Hott/Michael Scott
Office of Nuclear Reactor Regulation**

Presented to:

**Subcommittee on Thermal-hydraulic Phenomena
Advisory Committee on Reactor Safeguards
September 7, 2010**

Purpose of Presentation

- Provide background/context for SECY paper
- Discuss current status of resolution of sump performance issue
- Discuss views of stakeholders
- Provide overview of the SECY paper
- Discuss staff's recommendations

Background

- Generic Safety Issue (GSI) 191 involves demonstration that emergency core cooling system (ECCS) strainers will perform acceptably after a loss-of-coolant accident (LOCA)
- GL 2004-02 requested licensees perform detailed mechanistic evaluations of ECCS and containment spray system (CSS) functions and make modifications as needed by December 31, 2007
- NRC staff concluded and ACRS supported that near-term action to make PWR strainers larger was prudent
- Licensees increased strainer sizes by 1-2 orders of magnitude

Background (Cont'd)

- Issue has evolved as understanding has improved regarding various aspects of the problem since GL 2004-02 was issued
 - Impact of debris arrival sequence
 - Chemical effects
 - In-vessel downstream effects
 - Thin-bed effect
- Each licensee has made a major effort to resolve the issue, but licensees and staff have been repeatedly challenged by emergent issues

Issue Resolution Status

- 33 of 69 PWRs have already performed analysis and strainer testing using methods acceptable to the NRC staff -13 more plan to do the same
- Most of the 23 remaining plants have relatively large amounts of fibrous insulation
- Attempts to credit test and evaluation refinements have not generally succeeded
 - Debris generation/zone of influence (ZOI) reductions
 - Debris settling credit
- Staff has accepted testing that credits reduced debris erosion
- Industry planning new efforts to credit settling and ZOI reductions – staff will evaluate

Commission Brief April 2010

- Staff planned in early 2010 to push toward final near-term resolution via 10 CFR 50.54(f) letters
- In April 15 Commission brief, industry stakeholders expressed concerns about staff path forward
 - Little safety benefit
 - Large radiation exposure to workers
- Industry-preferred path forward was application of leak-before-break (LBB) to sump evaluations
- Union of Concerned Scientists letters
 - Staff on track to successful issue closeout
 - Could support LBB under specified circumstances



Staff Requirements

Memorandum (SRM) May 2010

- Staff should not issue letters under 10 CFR 50.54(f) pending further Commission direction
- Staff should report to Commission by 8/27/2010 on potential approaches to closure, including:
 - Realistic ZOI
 - Application of General Design Criterion (GDC) 4 (LBB)
 - In-vessel effects of different fuels
 - Risk-informed resolution (e.g., proposed 10 CFR 50.46a)
 - Alternative regulatory treatment of in-vessel effects
 - Dose impact of resolution options
 - Consult with the Committee to Review Generic Requirements to ensure closure approaches comply with backfit requirements

Staff Response to SRM

- Considered new information provided by stakeholders to reconsider GDC-4 application to sumps
- Considered present and potential future risk-informed approaches
- Evaluated dose impacts
- Considered other options for issue resolution
- Considered how best to treat in-vessel effects (separate issue?)

Options Discussed in SECY-10-0113

- Option 1: Current holistic integrated approach, with or without firm schedules
- Option 2: Develop additional risk-informed guidance
- Option 3: Allow application of LBB to sump evaluations

Staff-Recommended Options

- Combination of Options 1 and 2
- Near-term resolution schedule for smaller LOCAs, and longer-term schedule for the less-likely larger LOCAs
- Revisit risk tools for GSI-191
 - Existing alternate methodology in 2004 safety evaluation
 - Proposed 10 CFR 50.46a
- Option 3 not recommended for reasons discussed in later presentation

GSI-191 – Safety Issue?

- LOCAs of low probability, particularly large breaks
- Inability of sumps to pass adequate flow could lead to core damage and loss of mitigation system (containment spray)
- Uncertainties in sump performance, particularly for “high-fiber” plants, are significant absent a defensible test
- LOCAs as small as 3 inches can challenge sump performance
- Prudent to not allow uncertainties to continue indefinitely

How much debris reaches the strainers?

- Lack of realistic models in areas critical to sump performance is the source of large uncertainty
- Bounding models are used to determine:
 - How much debris is generated
 - How much debris transports to the strainer
- The staff believes these models are conservative, though not overly so
- Industry believes models are overly conservative, and some licensees have tried to justify refinements in key areas of debris generation and transport
 - Reduced ZOIs
 - Debris settlement credit

Refinements are key to SECY paper options

- Option 1, including setting a schedule for issue resolution, retains bounding models but allows licensees some time for currently proposed new testing to support refinements
- Option 2 would allow some refinements in models for evaluating larger breaks due to their very low likelihood
- Option 3, the industry-preferred option, would provide the largest refinement
 - No debris is assumed to be generated from breaks in LBB-qualified piping
 - All PWRs' large reactor coolant system piping is LBB-qualified

Dose Impacts

- Stakeholders indicated doses of up to 600 Rem and average of 200 Rem to replace all fibrous insulation
- Staff obtained data samples from a limited number of licensees who have replaced some insulation in containment – doses ranged from 5 to 44 Rem with an average of 19 Rem
- Staff data likely not bounding of worst case
- Some “high-fiber” plants might not need to remove all fibrous insulation

In-Vessel Effects

- Industry planning “cross test” for September 2010
- Draft safety evaluation (SE) to be issued by September 2010
- ACRS review October/November 2010
- Final SE early 2011
- Staff view – strainer performance and in-vessel effects closely linked
- Resolving strainer issue in absence of consideration of in-vessel effects could lead to a strainer that would not clog and a core that would

Advantages of Recommended Approach

- Reasonably near-term resolution of an issue the staff sees as significant
- Allows time for additional attempts to refine evaluation methodology
- Maintains sufficient defense-in-depth
- Incorporates available risk insights
- Continues demonstrably successful issue resolution process
- Contains checks and balances to reduce likelihood of staff requiring excess conservatism
- Implementation schedule is risk-informed and takes into account the amount of planning and effort required for licensee implementation

Enclosure to SECY paper more extensively discusses advantages and disadvantages of each option

Follow-on Presentations

- Leak-before-break
- Risk-informed considerations and proposed 10 CFR 50.46a
- Summary



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Consideration of General Design Criterion 4 for the Resolution of GSI-191 Issues

Presented by:

Tim Lupold/John Tsao

Office of Nuclear Reactor Regulation

Presented to:

Subcommittee on Thermal-hydraulic Phenomena

Advisory Committee on Reactor Safeguards

September 7, 2010

Commission Direction

- By letters dated April 7 and 27, 2010, the industry proposed to use General Design Criterion (GDC) 4 to resolve GSI-191 issues. If approved, licensees may not need to remove fibrous insulation from piping
- By letters dated April 14 and 26, the Union of Concerned Scientists (UCS) provided comments on the application of GDC-4 to resolve the GSI-191 issues
- On April 15, 2010, the Commission held a public meeting to discuss the GSI-191 status
- In the Staff Requirement Memo dated May 17, 2010, the Commission directed the staff to evaluate application of GDC-4 to bring GSI-191 to closure

Background

- GDC-4 permits dynamic effects from pipe rupture to be excluded when analyses, reviewed and approved by the Commission, demonstrate an extremely low probability of pipe ruptures
- The analyses referred to in GDC-4 are related to Leak-before-Break (LBB) methodology
- The LBB concept is based on testing and analyses verifying pipe material has sufficient resistance to uncontrollable crack propagation. Pipe will most likely develop a small crack such that an operator would identify leakage and take corrective action before rupture
- Standard Review Plan (SRP) 3.6.3 provides guidance on the LBB analyses

GDC-4 Rule: Statement of Considerations

- LBB credit enhances safety through the removal of plant hardware (i.e., the removal of pipe whip restraints and jet impingement barriers) that negatively affects plant performance, while not affecting emergency core cooling systems (ECCS), containments, and environmental qualification of mechanical and electrical equipment
 - LBB enhances safety through the removal of barriers to inspection
- LBB applies to local, not global, dynamic effects
- LBB removes the requirement to consider jet impingement forces on adjacent components, decompression waves within the intact portion of the piping system, and dynamic pressurization in cavities, subcompartments, and compartments

Advantages

- If GDC-4 is permitted to be applied to GSI-191
 - Might eliminate the need for additional insulation change-outs at some affected plants – thereby reducing worker radiation exposure
 - Would likely reduce the scope and number of needed insulation change-outs at affected plants
 - Might eliminate need for additional strainer testing for some affected plants
 - Licensees who have already shown satisfactory strainer performance could potentially recover operational margins
 - Could simplify assumptions in GSI analysis and staff review for GSI-191

Disadvantages

- Large reduction in defense-in-depth
 - LBB credit could allow large amounts of potentially problematic materials to remain in containment
 - If an LBB pipe ruptures, despite being a low-probability event, it would cause debris generation that would be unevaluated for impact on ECCS strainer performance
 - Small amounts and combinations of debris have been shown in testing to cause sump failure
 - Sump failure following a LOCA in LBB piping would likely cause loss of the ECCS core cooling (a prevention feature) and also result in loss of the containment spray system (a mitigation feature) without any additional protection system failures

Disadvantages (Cont'd)

- Primary water stress corrosion cracking (PWSCC)
 - LBB piping typically contains welds with Alloy 82/182 material which is susceptible to PWSCC
 - Industry has implemented guidance and programs to minimize the impact of PWSCC such as augmented examination
 - Some mitigation measures such as weld overlays and stress improvement have been implemented by some licensees
 - Additional analyses would be needed prior to applying GDC-4 to GSI-191
 - SRP 3.6.3 does not permit an active degradation mechanism (e.g., PWSCC). Increased inspections are an interim response relating to LBB piping

Disadvantages (Cont'd)

- Even if GDC-4 is approved, dynamic effects from non-LBB piping and loss-of-coolant accident (LOCA) sources such as manways or valve bonnet blow-outs will need to be considered in debris generation
- LOCAs outside scope of LBB would be unaffected by this credit and could be problematic for some plants
 - LBB has not been approved for less than 6-inch pipe
 - Not all plants have requested LBB approval beyond reactor coolant system loop piping

Policy Considerations

- Approving LBB for GSI-191 would be inconsistent with defense-in-depth principles
 - Initiating event for accidents included in a plant’s licensing analyses should not result in core damage in the absence of additional independent failures
 - Independence of prevention and mitigation – should minimize likelihood that a single cause results in failure of a prevention and mitigation feature
- Approving LBB for GSI-191 would be inconsistent with the proposed 10 CFR 50.46a regarding ECCS performance
 - 10 CFR 50.46a requires ECCS to have capability to mitigate the full spectrum of LOCAs as directed by the Commission in SRM dated July 1, 2004 related to SECY-04-0037
 - Allowing LBB to be used as the basis for not further modifying sump screens or for not removing sources of debris may prevent the ECCS system from performing its design function, which is contrary to licensees being able to “successfully mitigate the full spectrum of LOCAs”

Policy Considerations (Cont'd)

- Policy decision to expand GDC 4 to allow credit for GSI-191 would presumably include a Commission decision that the change:
 - would not result in an unacceptable reduction in defense-in-depth
 - is appropriate even though there is no perceived safety benefit
 - would not result in unintended consequences (e.g., unacceptable precedent for the use of LBB)
- Technical basis for expanding GDC-4 in the presence of PWSCC would need to be approved by the Commission
- Application of GDC-4 to GSI-191 would require revising the Statement of Considerations for GDC-4, revising the rule, and/or issuing exemptions

Recommendations

- Staff does not recommend that GDC-4 (LBB) be applied to sump evaluations to resolve the GSI-191 issue for the following reasons:
 - Large reduction in defense-in-depth for ECCS system performance that is inconsistent with defense-in-depth principles
 - Inconsistent with the intent of GDC-4 because there would be no corresponding safety benefit and the concern of local versus global dynamic effects
 - LBB credit for a global effect might set a precedent for other areas of plant design
 - PWSCC concerns in LBB piping
 - Inconsistent with risk-informed ECCS rulemaking of 10 CFR 50.46a that represents current NRC staff thinking on risk-informing ECCS regulations



U.S.NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Risk-Informed Considerations for GSI-191

Presented by:

**Tim Collins/Stephen Dinsmore
Office of Nuclear Reactor Regulation**

Presented to:

**Subcommittee on Thermal-hydraulic Phenomena
Advisory Committee on Reactor Safeguards
September 7, 2010**

Risk-Informing GSI-191

- Staff recommends a risk-informed approach to GSI-191 resolution
 - Address more likely (higher risk) events in short term
 - Address less likely events in longer term
 - Apply Commission decision on 10 CFR 50.46a rulemaking (risk-informing of Emergency Core Cooling System (ECCS) requirements)

Regulatory Guide 1.174 Guidelines

- Risk-informed resolution should have
 - Acceptable change in risk
 - Maintenance of sufficient defense-in-depth (DID)
 - Safety margins
 - Monitoring program

Challenges to Risk-Informing GSI-191

- Application of risk-informed methods is complicated by current limitations in phenomenological modeling
 - Key phenomenological models are either simplified and bounding (e.g., debris generation and transport) rather than realistic, or do not exist (e.g., debris bed head loss)

Issue: Change in Risk

- Bounding estimates indicate significant risk contribution for plants with high fiber or thin bed potential and unproven strainer capability:
 - Medium (2 – 6 inch) break probability $\sim 5 \times 10^{-5}$ /year
 - Recirculation required
 - Bounding sump clogging probability = 1.0
 - Recovery options limited (backflush, extended injection)
- Current limitations in phenomenological modeling make development of realistic “probability of clogging” model not feasible
- Medium breaks do not satisfy Δ risk criterion

Issue: Defense-in-Depth

- Loss of coolant accidents (LOCAs) of all sizes must be mitigated
- Sufficient DID would not be maintained with unrecoverable sump failure rate of 1.0 even if Δ risk criterion is met
 - Protection would be solely based on initiating event not occurring
 - Loss of systems that prevent core damage and degradation of systems that mitigate consequences (containment spray) would result

Experience in Risk-Informing GSI-191

- In 2004 staff endorsed an NEI-proposed risk-informed methodology (Section 6 of NEI 04-07) modeled on then-current proposed 10 CFR 50.46a
- No licensee implemented aspects of method that require risk calculations
 - Expectation of successful strainer testing
 - Lack of phenomenological models
 - Would require exemptions from current regulations for most resolutions

Proposed 10 CFR 50.46a

- Proposed rule represents current staff thinking on risk-informing ECCS regulation
- Single-sided area of largest attached pipe (transition break size) is largest LOCA analyzed as a design basis accident (DBA)
- Mitigation analysis for larger LOCAs up to the double-ended break of the largest pipe is still required but can assume:
 - Offsite power
 - No single failure
 - Non-safety equipment
- Enabled changes to licensing bases must be risk-informed with very small risk impact

Impact on GSI-191

- Affords flexibility of using nonsafety systems (e.g., backflush) for beyond-DBA LOCAs
- Potential (limited) benefit for debris source term
 - Less rigor for analysis beyond DBA
- Refined test approaches (zone of influence, settling credit) and/or insulation replacements still likely needed for some plants
 - Breaks below transition break size unaffected by proposed rule and potentially problematic for some plants
 - Could reduce scope of insulation changeout for plants limited by larger breaks

Implementation of 50.46a for GSI-191

- Licensee must demonstrate
 - Applicability of underlying basis for rule
 - Risk-informed criteria must be met (~ RG 1.174)
 - Leak detection system adequacy
- Add technical specifications to identify any non-safety equipment relied upon to mitigate beyond-DBA LOCAs
- Injection phase ECCS models and analyses not impacted by 50.46a application to GSI-191

10 CFR 50.46a

Continuing Requirements

- Every 4 years reconfirm that changes made to plant have not invalidated technical basis for the rule
- Limit operation in an unanalyzed condition (unavailability of systems and components credited to mitigate non-DBA LOCA) to less than 14 days in any 12-month period

10 CFR 50.46a Schedule

- Final rule to Commission this December
- Implementing guidance 12 months after Commission approval of rule
 - Supports staff-recommended option for GSI-191 closure

Summary: Risk-Informed Considerations

- Sump issue remains a safety issue for unresolved plants
- SECY-10-0113 recommendation is risk-informed consistent with
 - RG 1.174
 - Current state of phenomenological knowledge
 - Current thinking on risk-informed ECCS requirements (proposed 10 CFR 50.46a)
- 50.46a would facilitate large-break LOCA resolution but is not an “analysis only” solution
- Risk-informed implementation dependent on Commission decision on 50.46a



U.S. NRC

UNITED STATES NUCLEAR REGULATORY COMMISSION

Protecting People and the Environment

Summary Presentation GSI-191 Closure Options

Presented by:

Christopher Hott/Michael Scott

Office of Nuclear Reactor Regulation

Presented to:

Subcommittee on Thermal-hydraulic Phenomena

Advisory Committee on Reactor Safeguards

September 7, 2010

Conclusion

- Sump issue remains a safety issue for unresolved plants
- Staff-recommended approach for issue resolution
 - Maintain current integrated review process
 - Revisit GSI-191 risk tools for evaluating larger LOCAs
 - Set near-term resolution schedule for smaller LOCAs, and longer-term schedule for the less likely larger LOCAs
 - Resolve in-vessel effects as part of GSI-191

Advantages of Recommended Approach

- Reasonably near-term resolution of an issue the staff sees as significant
- Allows time for additional attempts to refine evaluation methodology
- Maintains sufficient defense-in-depth (DID)
- Incorporates available risk insights into evaluations and resolution schedule
- Continues demonstrably successful issue resolution process
- Contains checks and balances to reduce likelihood of staff requiring excess conservatism
- Implementation schedule is risk-informed and takes into account the amount of planning and effort required for licensee implementation

LBB Credit not Recommended

- Large reduction in DID that is inconsistent with DID principles in that core cooling and containment spray might both be lost without any additional failures if a rupture in LBB-qualified piping occurs
- Inconsistent with intent of GDC-4 because there is no corresponding safety benefit as described in the Statement of Considerations of the rule
- Leak-before-break (LBB) credit for a global effect might set a precedent for other areas of plant design
- Primary water stress corrosion cracking concerns in LBB piping
- Inconsistent with proposed 10 CFR 50.46a rulemaking, which represents current staff thinking on risk-informing ECCS regulations

GSI-191 RESOLUTION OPTIONS

John Butler, NEI
jcb@nei.org

September 7, 2010



NUCLEAR
ENERGY
INSTITUTE

SECY-10-0113 RESOLUTION OPTIONS

- **Option 1 - Maintain the current holistic integrated resolution process for remaining plants including evaluating new refinement models**
 - a) Set a near-term schedule for licensees to address the full spectrum of LOCAs
 - b) Set a near-term schedule for smaller LOCAs, and set a longer term schedule for the less likely LOCAs
 - c) Do not set a schedule for licensees to address remaining issues
- **Option 2 - Develop additional risk-informed implementing guidance for GSI-191**
 - a) Expand limited risk-informed guidance in Section 6 of the SE for NEI 04-07
 - b) Generate new guidance assuming the that proposed 10 CFR 50.46a is approved
- **Option 3 - Allow application of the GDC-4 exclusion of jet effects to debris generation**
- NRC staff recommends Option 2 in combination with Option 1.b

Industry Recommendations

- **The industry recommends Option 2 and Option 3 in combination with Option 1.b.**
- **Industry agrees that design basis for more likely breaks (small breaks) should be met using deterministic criteria and methods acceptable to the NRC**
 - **Schedule should accommodate ongoing efforts to refine ZOI values, settlement credit in strainer testing and in-vessel effects**

Industry Recommendations

- **All risk-informed options to address low-likelihood break should be pursued**
 - **Expand risk-informed guidance in current SE on Section 6 of NEI 04-07 (Option 2a)**
 - **Pursue approval of 10 CFR 50.46a and generate new guidance (Option 2b)**
 - **Allow application of GDC-4 (Option 3)**

Industry Recommendations

- **Option 2a – Expansion of NEI 04-07 Section 6**
 - Section 6 in place currently with limited relaxation of known conservatisms
 - Future value dependent on “separation” between guidance applied to small breaks and large breaks
 - Schedule for development and application of expanded guidance unknown

Industry Recommendations

- **Option 2b - Pursue approval of 10 CFR 50.46a and generate new guidance**
 - **Greatest value in 10 CFR 50.46a comes from risk-informed changes enabled by rule that are not related to GSI-191**
 - **The perceived value and subsequent plant interest varies by plant**
 - **Significantly extends schedule for closure**

Industry Recommendations

- **Option 3 - Allow application of GDC-4**
 - **Provide means to address unlikely breaks in a manner that is risk-informed and complies with regulatory requirements**
 - **Application by plants considered closed permits recovery of operational margins**
 - **Guidance currently available and enables quick staff review and closure**

Option 3

Allow application of GDC-4

- **Option not recommended by NRC staff**
- *NRC Staff Reason 1: Application to LOCA-generated debris is not the intent of the current GDC-4 rule*
- **Application to LOCA-generated debris is within the scope and intent of the current GDC-4 rule**
 - **Debris generation is a direct consequence of local dynamic effects excluded from postulated breaks in LBB qualified piping**
 - **Debris generation is not a global phenomenon**
 - **Safety benefit of GDC-4 rule change addressed worker safety and plant safety benefits associated with removal of pipe whip restraints and jet impingement shields**

Option 3

- **Debris generation is not a global phenomenon**
 - **The specific functional and performance requirements retained under GDC-4 (i.e. Global Phenomena) are (53FR11311):**
 - **For containments: Global loads and environments associated with postulated pipe ruptures, including pressurizations, internal flooding, and elevated temperatures**
 - **For ECCS: Heat removal and mass replacement capacity needed because of postulated pipe ruptures**
 - **For EQ: Pressure, temperature, flooding level, humidity, chemical environment, and radiation resulting from postulated pipe ruptures**

Option 3

- *NRC Staff Reason 2: Application of LBB to LOCA-generated debris is a detriment to defense-in-depth principles and would require Commission approval*
 - **Impacts on plant safety, worker safety and defense-in-depth were evaluated under the original rule change that allowed removal of pipe whip restraints and jet impingement shields**
 - **Discrete evaluation of impact on safety and defense-in-depth is not precursory requirement for application of the rule**

Option 3

- NRC Staff Reason 3: Primary water stress-corrosion cracking (PWSCC) is a concern
 - **The industry and NRC have made significant progress in resolving PWSCC in PWRs**
 - **Mitigation efforts include installing weld overlays and mechanical stress improvements**
- NRC Staff Reason 4: ECCS functional performance is directly affected by the containment sump performance
 - **Debris generation is a result of a local dynamic effect excluded under GDC-4**
 - **While debris generation can impact ECCS operation, impacts on ECCS are not unique to debris generation and were acknowledged in the rule**
 - **Debris generation and its impact is not a global phenomena**

Missing Option 4

- **SECY-10-0113 is silent on alternative design modifications as means to address GSI-191**
 - **Buffer removal significantly reduces chemical precipitates**
 - **Water management options, including:**
 - **Design modification to eliminate containment spray actuation on LOCA**
 - **Strainer backflush capability**

Application of Option 3 (GDC-4) to GSI 191 Closure

Tim Bowman

ctbowman@stpegs.com

Ph (361) 972-7454

September 7, 2010

Application Of Option 3 (GDC-4) To GSI-191 Closure

- General discussion and background of Option 3 (GDC-4)
- Compare and contrast to Option 2b (10CFR50.46a)
- Option 3 (GDC-4) closure example using South Texas Project (STP) information
- Conclusion

Option 3 (GDC-4)

- GDC-4 States:

“... dynamic effects associated with postulated pipe ruptures in nuclear power units may be excluded from the design basis when analyses reviewed and approved by the Commission demonstrate that the probability of fluid system piping rupture is extremely low under conditions consistent with the design basis for the piping.”

- Application of LBB is desired to provide expedient means to demonstrate compliance in a way that reduces cost and worker impact

Advantages of Option 3 to Option 2b

Option 3 (GDC-4)	Option 2b (50.46a)
Some application guidance needed	Requires additional implementation guidance
Implemented by Commission decision rather than new rule-making	New rule making needed

Advantages of Option 3 to Option 2b

Option 3 (GDC-4)	Option 2b (50.46a)
No additional generic testing needed	Potential for additional generic testing
Shorter timeframe for closure of GSI-191	Longer time to closure due to rule making and implementation guidance development
More certainty for NRC and industry towards resolution	Final rule wording and implementation guidance not certain

Other Benefits of Option 3 (GDC-4)

- ❑ Precedent: LBB previously used for closure of Unresolved Safety Issue A-2
- ❑ Reduces possibility of large dose impact modifications
- ❑ Appropriate use of NRC and industry resources based on remaining safety significance

Risk Impact - STP

- The core damage frequency at STP due to large LOCA is currently $9.4E-09$.
- This is based on NUREG-1829 initiating event frequency for the 31 inch LLOCA initiating event frequency of $2.9E-08$
- A sensitivity case study was performed on the impact of a total sump plugging event on CDF.

Risk Impact - STP

- Total sump plugging event probabilities were used to determine the impact on the large LOCA CDF
 - For probability of $1.0 \text{ E-}05$, the CDF is $9.4 \text{ E-}09$.
 - For a probability of $1.0 \text{ E-}03$, the CDF is $1.1 \text{ E-}08$
 - For a probability of $1.0 \text{ E-}02$, the CDF is $3.3 \text{ E-}08$
- A PWROG sensitivity study showed comparable results

Applying Option 3 (GDC-4) to GSI-191

- Licensee would demonstrate that strainer qualification addresses limiting debris generation using methods accepted by NRC
- Results provided as a license amendment request to NRC
 - Identification of LBB qualified piping
 - Determination of limiting debris generation from non-LBB piping
 - Discussion of defense-in-depth measures and actions to maintain defense-in-depth

Applying Option 3 (GDC-4) to GSI-191

- Identify and evaluate the piping location based on the SE of NEI 04-07 that yields:
 - The maximum amount of debris that is transported to the sump screen
 - The worst combination of debris mixes that are transported to the sump screen

STP GDC-4 Submittal

- LBB piping is eliminated from consideration for debris generation
- STP largest size break to consider is the residual heat removal line (12 inch)

STP GDC- 4 Submittal

- Use the NEI and NRC methodology to determine the worst case break locations using the 12 inch RHR lines and smaller sizes
- Use the NEI and NRC methodology to determine the worst case small break locations (no change from current evaluation)

STP GDC- 4 Submittal

- Debris Generation Determination
 - Use methodology from SE of NEI 04-07
 - Use Zone of Influence (ZOI) accepted by NRC
- Current estimate at STP is 125 cu ft of fiberglass fines at sump

STP GDC- 4 Submittal

- Compare to current strainer testing
 - Test in July 2008 was successful with 77 cubic feet fiberglass fines based on WCAP reduced ZOI
 - New estimated total of 125 cubic feet
 - The July 2008 test included chemical effects from Marinite insulation which has been replaced with Nukon
 - Reduced chemical loading is expected to offset increases in fiber and particulates
- New strainer testing will be required using NRC approved protocol

STP GDC- 4 Submittal

Margin Management

- New modifications may be considered to improve margin on NPSH capability
 - Selected fiberglass insulation replacement
 - Banding of fiberglass insulation
 - Additional strainers
- Modification scope and dose impact would be much less than other options

Conclusion

- Option 3 (GDC-4) provides a closure methodology for GSI-191 that is:
 - Timely because there is no rulemaking and guidance is available
 - Appropriately addresses incremental risk
 - Minimizes radiation dose across the industry
 - Provides a means to regain margin