

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                                  Plant Operations and Fire Protection

Docket Number:       (n/a)

Location:               Rockville, Maryland

Date:                    Wednesday, October 6, 2010

Work Order No.:       NRC-472

Pages 1-160

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**



1 UNITED STATES OF AMERICA

2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

5 (ACRS)

6 + + + + +

7 SUBCOMMITTEE ON PLANT OPERATIONS

8 AND FIRE PROTECTION

9 + + + + +

10 WEDNESDAY

11 OCTOBER 6, 2010

12 + + + + +

13 ROCKVILLE, MARYLAND

14 + + + + +

15 The Subcommittee met at the Nuclear  
16 Regulatory Commission, Two White Flint North, Room  
17 T2B3, 11545 Rockville Pike, at 8:30 a.m., Harold Ray,  
18 Chairman, presiding.

19  
20 SUBCOMMITTEE MEMBERS PRESENT:

21 HAROLD RAY, Chair

22 MARIO V. BONACA

23 MICHAEL T. RYAN

24 JOHN D. SIEBER

25 JOHN W. STETKAR

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

NRC STAFF PRESENT:

GIRIJA S. SHUKLA, Designated Federal Official and  
Cognizant Staff Engineer

PAT MILANO

RAGS RAGHAVAN

ROBERT HAAG

ALSO PRESENT:

MASOUD BAJESTANI, TVA

ROBERT PHILLIPS, TVA

PETER OLSON, TVA

BILL CROUCH, TVA

JERRY SCHLESSEL, TVA

KEN WELCH, TVA

STEVE HILMES, TVA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C-O-N-T-E-N-T-S

Opening remarks by ACRS Chairman ..... 4

Introductory Remarks by Staff ..... 5

Applicant Presentation ..... 9

Staff Presentation ..... 96

Concluding Remarks ..... 159

Adjournment ..... 160

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

8:26 a.m.

1  
2  
3 CHAIR RAY: The appointed time having  
4 arrived, the meeting will now come to order. This is a  
5 meeting of the Advisory Committee on Reactor Safeguard  
6 Subcommittee on Plant Operations and Fire Protection.  
7 I'm Harold Ray, Chairman of the Subcommittee for Watts  
8 Bar Two.

9 Subcommittee members in attendance are  
10 Mario Bonaca, Jack Sieber, and Mike Ryan. Mr. Girija  
11 Shukla is of the ACRS staff, is the designated Federal  
12 official for this meeting.

13 The Subcommittee will hear presentations  
14 from the NRC staff and the Applicant, Tennessee Valley  
15 Authority, regarding the status of construction  
16 inspection and licensing activities related to Watts  
17 Bar Unit Two.

18 We have received no written comments or  
19 requests for time to make oral statements from members  
20 of the public regarding today's meeting. This meeting  
21 will be open to public attendance.

22 The Subcommittee will gather information,  
23 analyze relevant issues and facts, and formulate  
24 proposed positions and actions as appropriate for  
25 deliberation by the full Committee.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The rules for participation in today's  
2 meeting have been announced as part of the notice of  
3 this meeting published in the Federal Register on  
4 September 10<sup>th</sup>, 2010. A transcript of the meeting is  
5 being kept and will be made available, as stated in the  
6 Federal Register notice.

7           Therefore, we request that participants in  
8 this meeting use the microphones located throughout  
9 the meeting room when addressing the Subcommittee. The  
10 participants should first identify themselves and  
11 speak with sufficient clarity and volume so that they  
12 may be readily heard.

13           Please silence your cell phones. We will  
14 now proceed with the meeting, and let me say that the  
15 attendance here today is not in any way an indication  
16 of a lack of interest. To the contrary, it's an  
17 indication of the fact that there is something more  
18 pressing for some of our members next door, and, I  
19 would say, the good order in which this application  
20 has proceeded to this point. So, I'll take it as a  
21 compliment, not any form of, like I said, lack of  
22 interest.

23           We'll call first on Pat, of the staff, for  
24 comment, introductory comments, and the, today's  
25 meeting is intended or scheduled to take just a half-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 day.

2 MR. MILANO: Hi, good morning, Mr. Ray, and  
3 other members of the Subcommittee. My name is Patrick  
4 Milano. I'm a senior project manager in the Office of  
5 Nuclear Reactor Regulation, Division of Operating  
6 Reactor Licensing, and I'm assigned to the Operating  
7 License Application Review for Watts Bar Nuclear Plant  
8 Unit Two.

9 With me today, and who will also be  
10 present for the staff's portion of the presentation  
11 are Mr. Raghavan, who's the team leader within our  
12 Division, and MR. Robert Haag, who's the Branch chief  
13 in the Division of Construction Projects in Region Two  
14 and assigned with oversight and management  
15 responsibility of the inspection efforts.

16 The general topics for today's meeting  
17 will center, first, on the resolution of action items  
18 that came out of our last Subcommittee meeting in  
19 March of this year. Then, the staff and  
20 representatives from the Applicant, Tennessee Valley  
21 Authority, plan to give you a brief overview of the  
22 status of the project, including engineering,  
23 construction, the Project Refurbishment Program,  
24 licensing, and inspection of Watts Bar Unit Two,  
25 focusing primarily on what's been transpired since our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 last presentation in March.

2 Lastly, we'll be, the staff will be  
3 providing a brief look ahead regarding the staff's  
4 expectations for presentations of information at our  
5 next meeting with the Subcommittee, currently  
6 scheduled for February of 2011.

7 Regarding the action items from our last  
8 meeting, and, in the course of discussions, in March,  
9 both the NRC staff and TVA had indicated that a review  
10 was underway of TVA's Refurbishment Program.

11 As you'll hear from TVA, this program  
12 addresses both the refurbishment and replacement or,  
13 of commodities that have been degraded since  
14 construction and preservation activities had ceased.  
15 And, and also the inspection and evaluation of  
16 systems, structures, and components not being  
17 refurbished, i.e., used as-is.

18 TVA been providing a summary of the scope  
19 and elements of that program. The staff will address  
20 it's review of the program and the assessment of TVA's  
21 implementation, which is currently ongoing during it's  
22 portion of the presentation.

23 Several of your Subcommittee members, also  
24 asked how TVA would be addressing potential issues  
25 with buried pipe and cable, and this will also be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 included in TVA's presentation.

2 During the discussions last time on the  
3 project's Schedule, TVA noted that it would be  
4 coordinating with the management of Unit One to ensure  
5 that Unit Two's Integrated Safeguards Test would not  
6 impact the safe operation of Unit One. TVA will  
7 address the comments raised by your Subcommittee in  
8 this regard.

9 Lastly, the staff had previously describe  
10 it's, it's oversight functions with regards to this  
11 project, and specifically, the scope, priorities,  
12 objectives and activities of the Watts Bar  
13 Reactivation Assessment Group.

14 Specifically, the Subcommittee questioned  
15 the language in the assessment group charter about  
16 voting membership and how voting would be  
17 accomplished. Subsequent to that, the staff provided  
18 the Committee with a Revision One to this charter  
19 which deleted, removed that misleading language.

20 The primary role of the group members will  
21 be to make a recommendation to senior NRC management  
22 about the possible issuance of an operating license  
23 for Watts Bar. This would not be the subject of a  
24 vote, but rather an agreement among all the members at  
25 the proper time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           However, as part of the, its normal course  
2 of doing business, the group member--issues are  
3 identified, which, which the group decides what, if  
4 they need further evaluation, review, or action by one  
5 or more of the members.

6           And the charter defines the necessary  
7 quorum of members when deciding on whether these  
8 actions will be added or removed from the action item  
9 list.

10           CHAIR RAY: If the Applicant would respond,  
11 we'd appreciate it.

12           MR. MILANO: Okay, sure. I'll now turn over  
13 the presentation to, to TVA and with that, I'll  
14 introduce the TVA members who will be coming up. First  
15 will be Mr. Masoud Bajestani, who is the Vice  
16 President for Unit Two, Mr. William Crouch, who is the  
17 Unit Two licensing manager, and Mr. Peter Olson, who  
18 is the, the Unit Two startup manager. Thank you.

19           CHAIR RAY: Thank you.

20           MR. BAJESTANI: Good morning.

21           CHAIR RAY: Good morning.

22           MR. BAJESTANI: Today I am going to provide  
23 you a brief summary of where we are with respect to  
24 construction, completion of Watts Bar Unit Two,  
25 specifically some of the topics that came up from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 previous discussions.

2 If you go to page three of the  
3 presentation, I'm going to go over some of the changes  
4 from the last discussion that we had when we went over  
5 this project Schedule. A couple of major changes that  
6 we have had, one is--well, update, actually--one is  
7 the engineering completion.

8 We have essentially completed engineering.  
9 Engineering now is moving to field support, very  
10 little work left under program and design of the  
11 document. The, the other major change that we have was  
12 on Integrated Safeguard Test. Initially, when we came  
13 over here last time we discussed that we were going to  
14 do the Integrated Safeguard Test during the upcoming  
15 March outage of Unit One.

16 WE looked at the, where this Integrated  
17 Safeguard Test is scheduled and where we are with  
18 respect to completion of the construction work, and we  
19 decided to move the Integrated Safeguard Test to after  
20 Hot Functional Test. I believe one of the main reason  
21 for that is obviously was to be sure that all the  
22 construction work is completed and all the safety  
23 related systems that's required for Integrated  
24 Safeguard Testing.

25 We just recently submitted our response to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your staff NRR that why it's to do this test online  
2 with Unit operating and if there are more questions  
3 specifically on Integrated Safeguard Test and how  
4 we're planning to perform this test, Pete is going to  
5 address that.

6 CHAIR RAY: I didn't understand your last  
7 comment. Certainly, we have some interest in that, it  
8 sounds like the right thing for you to do. The only  
9 question is whether, you know, one should be kept at  
10 power during the Safeguards Testing and I guess we'll  
11 hear more about that, will we?

12 MR. BAJESTANI: Yes, we can go over that in  
13 detail when, when it gets to Pete, you know, the test  
14 that we have done on Unit One, when we went through,  
15 basically, we're going to, we'll go over that again.  
16 Pete is going to explain, we still maintain a  
17 dependence and how we're going to do this test is not  
18 going to impact Unit One operation.

19 CHAIR RAY: All right, that seems like the  
20 right thing to do, as I would judge it.

21 MR. BAJESTANI: Those are the major changes  
22 on page three. If you go to page four, give you a  
23 brief, again, overview of where we are on construction  
24 and engineering. Engineering, like I said, is  
25 essentially complete, but the design of the document,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 which is really design modification, is 98% complete.  
2 Calculation, 88% and programs about, almost 80%.

3 Again, the engineering focus has changed  
4 from issuing design product to really, field support  
5 and closure of the open items. We had a lot of open  
6 items as we completed the engineering, like,  
7 unverified assumptions, open items that we left that  
8 we had to come back after implementation of the field  
9 work, come back and update certain things and  
10 engineering calculations or engineering programs.

11 CHAIR RAY: Masoud, why do you call them  
12 "design modifications" as opposed to just "design"?

13 MR. BAJESTANI: Okay. You know, as you  
14 know, the plan, construction was stopped back in 1985.  
15 A lot of work was done on the, basically, what the  
16 drawing came up, says, "go implement this" so we went  
17 ahead and did that. In 1985, we stopped that.

18 Then, after 1985, there were work that was  
19 still there that we didn't complete. The other part  
20 that we did is, any changes that came, when we came  
21 online, from 1996, that was when Unit One came online,  
22 until, really, now, essentially, we went ahead and  
23 look at everything that was working at One is done and  
24 planning to do for the next five years, really, when  
25 we started this project.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We added all that as a design of the  
2 document, basically. What do we need to do to get all  
3 this done.

4 CHAIR RAY: All right, but your aim still  
5 is to, to be consistent with Unit One, so the  
6 modifications really are more things that were done to  
7 Unit One after they, suspension of the work on Unit  
8 Two?

9 MR. BAJESTANI: Absolutely.

10 CHAIR RAY: I see. I see.

11 MR. BAJESTANI: The other thing that we are  
12 doing is, this is the third week of what we call  
13 vertical slice. We picked a couple of systems in  
14 engineering, specifically RHR, Residual Heat Removal,  
15 and Component Cooling Systems.

16 We picked those two systems, we brought an  
17 independent team, eight-member team, with very  
18 experienced, actually, completely independent of Watts  
19 Bar Unit Two project. And a member, actually, from  
20 INPO, to take a look at everything we have done in  
21 engineering, essentially, on these two systems, and  
22 see if we are right track, or we missing something  
23 that we need to go back and re-look at.

24 Again, very experienced team. This is the  
25 third week actually that they are going through this,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we have an exit meeting on Thursday and there are  
2 issues that's coming up from this assessment.

3 Very good findings, and there are issues  
4 that, really, that we are going to have to address,  
5 but nothing technically, that basically, as far as  
6 what we have put up to go implement in the field, is,  
7 is, come up that says "hey, we did this wrong".

8 There are some paperwork issues that are,  
9 the way we have done, actually, business, like, we got  
10 too many unverified assumptions and some of them are  
11 not in main database, some of them are fragmented a  
12 little bit.

13 Issues like this has come up that's going  
14 to help us to really make sure when we're finished  
15 with this project everything is lined up and there is  
16 a good road map from how you get from point a to point  
17 b.

18 CHAIR RAY: Well, that, it's, sounds good.  
19 I think decoupling Unit Two's schedule from Unit One,  
20 operating and refueling schedules, gives you the  
21 flexibility to do whatever you need to do. It gets  
22 done when it gets done.

23 MR. BAJESTANI: Actually, I think, again,  
24 good comment that we had--last time we had this  
25 discussion, you guys asked the question and we went

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 back and looked at it, and, you know, really, we had  
2 to do all the work, integrate safeguard testings, all  
3 the system work is complete, and then we do the test.

4 CHAIR RAY: That's right.

5 MR. BAJESTANI: So, good comment from a  
6 previous discussion. Next page, on the, I just listed  
7 some of the improvement initiatives that we have on  
8 Watts Bar Unit Two. These are, a lot of these, really,  
9 I'm just going to mention two or three of them. It's  
10 the lessons learned from Watts Bar Unit One operation  
11 and industry that we decided that rain and wait until  
12 problem comes in, first cycle, second cycle, go take  
13 care of it now, specifically, like, flow-accelerated  
14 corrosion.

15 Okay, the first couple of cycle of  
16 operation on Watts Bar Unit One, we found lot of  
17 piping that we had to replace because of the flow-  
18 accelerated corrosion. We decided to go ahead and  
19 replace it, all this piping now before we start up. We  
20 have some issues on essential flow cooling water  
21 pumps, we replace, we are replacing all eight pumps.

22 Actually, one of them is being replaced as  
23 we speak. We put the--bigger pump, we had some issue  
24 with the margin as far as EFCW. We went ahead and took  
25 care of that for the bigger pump, so, for two Unit

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operation, actually, we're going into a lower margin  
2 than what we had initially.

3 And, same thing on some of the switchyard  
4 stuff. We decided to go ahead and rearrange the  
5 switchyard to have basically a better, better  
6 switchyard with additional breaker, 500 kV breaker  
7 that is going to help the stability of the switchyard.

8 CHAIR RAY: That's what you mean by the  
9 additional off-site power source?

10 MR. BAJESTANI: No. The additional source  
11 of power actually, what we end up doing, we actually  
12 putting a tap changer, a tap changer one of our, two  
13 of our common station service transformers that is  
14 going to now qualify--before, it wasn't qualify as  
15 off-site power. Adding that tap changer, adding tap  
16 changer is going to make it a qualified off-site  
17 power, which we didn't have before.

18 And, as you can see up there, you know, I  
19 don't need to go through every one of these example.  
20 If there are any specific questions, but as you can  
21 see, lot of lessons learned from Watts Bar initial  
22 startup, industry, we decided to add all this and do  
23 it now versus first or second cycle, you know.

24 CHAIR RAY: I have just one general  
25 question. How have you dealt with unintended

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consequences in those evaluations for any of these  
2 additions or changes?

3 MR. BAJESTANI: Well--

4 CHAIR RAY: I mean, have you had a program  
5 to examine while we're adding this new feature, or  
6 we're changing out this piece of equipment, is there  
7 any unintended consequence or impact on related  
8 systems or adjacent systems?

9 MR. BAJESTANI: Part of the design process  
10 is actually, there has been, when you go through the  
11 checklist, some of those questions that ask and you  
12 specifically ask for unintended consequences,  
13 specifically address part of the design output  
14 process. So, when we, you know, when we upgraded the  
15 EFCW pump, actually, we look at the two Unit  
16 operation.

17 The margin that was there, the, what's the  
18 new, you know, what's the new margin. We look at the  
19 diesel generator loading, we looked at all the, it's  
20 looking at here, not just, okay, go ahead and do this,  
21 it's everything that could be impacted by--

22 CHAIR RAY: They, look, it's just some  
23 interactions, and--

24 MR. BAJESTANI: Yes.

25 CHAIR RAY: --could be, as a result of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 change and all that, in some detail.

2 MR. BAJESTANI: Exactly.

3 CHAIR RAY: Okay. That's fine, for now. But  
4 I'm guessing you had a fairly rigorous program and a  
5 structure by which you had a--

6 MR. BAJESTANI: Yes.

7 CHAIR RAY: --go through that, and quality  
8 assurance, and all the rest that goes with it?

9 MR. BAJESTANI: That's right. We have it,  
10 really, actually, big QA, since you asked that  
11 question, the quality assurance program that we have,  
12 we have a EPC, Bechtel that has their own QA plan. On  
13 top of that, we have put TVA on top of the, what  
14 Bechtel QA program is. So, it's really getting a lot  
15 of attention.

16 CHAIR RAY: Lots of help?

17 MR. BAJESTANI: Lots of help. Lots of help.  
18 The other thing actually that I looked at are QAQC  
19 organization. On Bechtel side, we have a almost 80-  
20 some people, on that organization. Then on top of that  
21 we've got seven or eight TVA guys that are watching  
22 also.

23 CHAIR RAY: Okay. I noticed that you  
24 include spit--split pin replacement prior to operation  
25 on your list here?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BAJESTANI: Yes.

2 MEMBER SIEBER: A, sort of a companion  
3 issue about the time split pins became a problem in  
4 this type of plant was baffle jetting. Do you plan to  
5 do anything with baffle, baffle bolts, to prevent or  
6 mitigate baffle jetting problems that this reactor  
7 type had?

8 MR. BAJESTANI: We, obviously replaced the  
9 split pins on the baffle plates. Are we talking about  
10 the X750 bolts?

11 CHAIR RAY: No.

12 MEMBER SIEBER: No, these are different.

13 MR. BAJESTANI: These are different?

14 MEMBER SIEBER: The baffle is form-fit  
15 around the fuel outline and it's bolted together.  
16 Sometimes those bolts relax, water shoots through the  
17 baffle, vibrates the fuel, wears holes in the fuel  
18 which gives you fuel leaks. And that's been a problem,  
19 traditional at this point.

20 MR. BAJESTANI: Sure. Robert, do you have  
21 any update on the--

22 MR. PHILLIPS: Certainly. My name is Robert  
23 Phillips, senior metallurgical engineer, represent  
24 TVA. We, TVA, have participated in the Westinghouse  
25 Owner's Group, and the Westinghouse Owner's Group have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 came out with specific models for each plant for  
2 converted upflow and converted downflow and we have  
3 plans for when we need to replace those and we're  
4 following the Guidelines of the industry.

5 MEMBER SIEBER: Okay. Thank you.

6 MR. BAJESTANI: Any other questions on that  
7 page?

8 (No response)

9 MR. BAJESTANI: On page six, construction,  
10 overall construction is over 60% complete. Major work  
11 that we are doing in construction right now, we are  
12 focusing on all the conduit cable installation cable,  
13 cable pool. All the hangings, small-bore, large-bore  
14 supports.

15 We have almost 4,000 supports that we have  
16 to modify, we have done about 2,500 of them. Sense and  
17 sample lines, and a lot of refurbishment activities  
18 that's all, both passive and active, which we're going  
19 to discuss a little bit later.

20 On critical path, critical path for  
21 construction is really bulk work, what I just  
22 mentioned about those four items. And, specifically on  
23 the critical path, there's four major systems, safety  
24 injection, chemical volume control, essential raw  
25 cooling water, and component cooling.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And the next thing is obviously the ice  
2 condenser and ice loading that's coming up. We still  
3 on track to complete the construction and, and the  
4 fuel still on scheduled as I went over on page three  
5 for April of 2012. Any questions? If not, I'm going to  
6 turn it over to Pete.

7           MR. OLSEN: Good morning, Pete Olson,  
8 startup manager, TVA.

9           CHAIR RAY: Good morning.

10          MR. OLSEN: Good morning. I'm on page  
11 seven, for status is preoperational startup testing  
12 program. The program has gotten underway, we have  
13 completed the turnover, nine systems that are, that  
14 are listed on the slide there.

15          You notice the focus of those is generally  
16 support systems and the turbine generator and getting  
17 those in service to support our major process systems  
18 that'll be turned over here later this year or early  
19 next year. The condenser cooling water system is our  
20 first system that will receive preoperation test  
21 performance.

22          That system has been run a number of time  
23 sin various configurations, good, good pump  
24 performance, good overall system performance. We, we  
25 have it shut down right now to do some, some

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 maintenance on it before we run the preoperation test,  
2 which is scheduled for late November.

3 MEMBER SIEBER: You're, you're re-tubing  
4 the condenser?

5 MR. OLSEN: The condenser has been re-  
6 tubed.

7 MEMBER SIEBER: Okay, that's finished?

8 MR. OLSEN: Yes, sir. As Masoud mentioned,  
9 the integrated safeguards test, we took a hard look  
10 at, here, this past summer. WE have currently  
11 scheduled it for after Hot Functional Test on Unit Two  
12 with Unit One online.

13 I appreciate your comments earlier about  
14 doing it late in the startup program and also the  
15 impact to Unit One, which we, we of course share.  
16 Bill, can we, can you go to the other slides, and  
17 we'll walk through the, walk through some--I'll walk  
18 through some specifics for you here on, on what we  
19 looked at.

20 Little background--we, we originally  
21 placed the Integrated Safeguard Test during the Unit  
22 One outage primarily because of the need for looking  
23 at the testing related regulatory guide 1.41, which  
24 verifies the load group assignment redundancy between  
25 ESF systems.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The safeguards testing includes, really,  
2 four, four pieces of testing--manual, response to  
3 manual safety injection, response to loss of off-site  
4 power, response to safety injection coincident with  
5 loss of off-site power. Those tests by themselves are  
6 quite similar, very similar to the surveillance  
7 testing that was performed on the operating Unit on  
8 eighteen month refueling frequency and will be  
9 performed on Unit Two on that same frequency.

10           The fourth piece of the test is the load  
11 group assignment test that falls out of reg-guide  
12 1.41. The, the purpose of this is to verify the, in  
13 the Regulatory Guide, is to verify redundancy between  
14 the two ESF trains, such that a total loss of one  
15 train will not result in the opposite train being able  
16 to perform its intended function.

17           When we looked at this hard, we looked at  
18 the regulatory, the purpose of the 1.41 Regulatory  
19 Guide and what was done on Unit One. Can we go to the  
20 next slide? The, the electrical distribution system at  
21 Watts Bar is a common electrical distribution system.  
22 There's four 6.9 kV shutdown boards, one alpha, one  
23 brave, two alpha, two bravo--again, load group A, load  
24 group B--in each Unit.

25           Four diesel generators associate with each

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of those shutdown boards, and then ESF loading is  
2 coming off of each of those shutdown boards. Those  
3 further cascade down to the 480 volt load centers, 120  
4 volt load centers, vital AC, vital DC load centers.

5 All of those electrical distribution  
6 systems are currently licensed with Unit One under  
7 technical specifications control of Unit one and  
8 surveillance testing of Unit One.

9 During the Unit One startup, we performed  
10 a full reg-guide 1.41 test which de-energized the  
11 opposite train, not under test, including both Unit  
12 One and Two boards, the entire off-site feeds to the  
13 plant, the Unit board, non-safety related Unit boards,  
14 and the opposite channels of vital AC and vital DC.

15 And we successfully completed that test on  
16 Unit One, verifying the Unit One loads were totally  
17 independent from one another to support Unit One  
18 licensing. That electrical distribution system stands  
19 today as it did back in the 1995, 94 time frame when  
20 we did that test, it is identical. It has not changed.

21 So, the load independence between those  
22 two buses still, still stands. The last bullet, you'll  
23 notice, is that the lower distribution system--by  
24 that, I mean the loads, the Unit Two specific loads  
25 that come off the Unit Two buses--have not been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 verified independent of one another.

2 An example would be a, a, a Component  
3 Cooling System pump, two alpha and two bravo. Their  
4 functions have not been, with them, have not been  
5 determined to be independent yet because those were  
6 not in service for a startup of, as far as an ESF for  
7 Unit Two, for Unit One startup.

8 So we need to do that test to satisfy the  
9 Regulatory Guide. We still need to complete that for  
10 Unit Two startup, no question whatsoever. Looking at  
11 that, we can go ahead, and, those, those systems have  
12 been disconnected from Unit One, and we can go ahead  
13 and connect those to the buses and perform  
14 independence tests one bus at a time, two alpha and  
15 two bravo, to go ahead and verify the load  
16 independence of those, of those subsystems coming off  
17 those electrical boards.

18 And what we're doing is taking credit, you  
19 know, relying on the testing that was done in Unit One  
20 for the actual electrical distribution load  
21 independence. Can we go to the next slide?

22 What that would do for us is verify, is  
23 take credit for Unit One testing, but we will in fact  
24 verify independence between the Unit Two load groups,  
25 alpha and bravo. We'll fully, fully demonstrate that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, being able to do that, that allows us  
2 to move it out of the Unit One outage, because we will  
3 not, in order to accomplish this test, we will not  
4 effect the Unit One shutdown boards, one alpha, one  
5 bravo. We will not de-energize those boards, we will  
6 not touch those boards.

7           There are some common systems that we'll  
8 be involved in that we need to look carefully at, for  
9 example the Auxiliary Building Gas Treatment System  
10 for, which is common between two units. It is f-ed  
11 from Unit Two boards, so I'll have to take appropriate  
12 precautions there in LCO space when we test those.

13           Some other common systems that, main  
14 control and ventilation, which we will actuate, but  
15 the power feeds for it are off the Unit One buses.  
16 Some other systems are spent fuel pool cooling, which  
17 is quite diverse in its power feeds, with an alpha and  
18 a bravo pump and a swing pump.

19           And also the Emergency Gas Treatment  
20 System, which is, has some common filters and fans  
21 between the two units, but it's electrical power  
22 sources are off the Unit One buses. So, we have some  
23 common systems we'll have to pay particular attention  
24 to.

25           Earlier, I mentioned that the test is, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 first three sections, the manual safety injection and  
2 loss of off-site power, and the loss of off-site power  
3 coincident with safety injection, is, is very similar  
4 to the Unit one testing and it be done on a refueling  
5 basis.

6 The significant difference between the  
7 startup test and that test, the surveillance testing,  
8 is in fact, we will perform full flow ECCS flow to the  
9 reactor vessel during the preoperational test, which  
10 is intended to verify maximum horsepower of the pumps  
11 on the diesels, in that condition.

12 We will repeat the test for future  
13 baseline with the pumps on recirc, which is normally  
14 done during the refueling surveillance frequency. The  
15 other ones we'll do is, we will transfer the ESF flow  
16 from the diesels back to off-site power.

17 Again, those diesels will be the two alpha  
18 and two bravo diesels. The last piece, the load  
19 independence test, is a one time test. It's only  
20 performed once, unless there's a significant  
21 modification done to the plant.

22 Again, the, it's set up, the test is set  
23 up with the core bar removed. I said we have full flow  
24 to the vessel on Unit Two. We've, we've estimated  
25 about four days per train to do the test, which is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 well within the LCO time with the diesels.

2 We are discussing, currently our PRA folks  
3 looking at the risk perspective of the test online  
4 with Unit One. Initial feedback, I do not have a  
5 number to provide to you, but the initial feedback is  
6 that it's a very manageable number related to risk,  
7 risk profile for Unit One.

8 The--I'm sorry.

9 CHAIR RAY: Tell me some more about that. I  
10 mean, I guess I would tend to think of this as a  
11 deterministic conclusion rather than something you'd  
12 base on a PRA.

13 MR. OLSEN: Well, in looking at and  
14 protecting, the reason we will looked at the PRA is in  
15 the, in looking at protecting Unit One. The Unit Two  
16 piece is totally separate from that, but--

17 CHAIR RAY: No, I know, but what, I guess,  
18 what is the risk that you're weighing when you're  
19 doing that?

20 MR. OLSEN: Well, we're going to have one  
21 shutdown board de-energized for a brief period, the  
22 Unit Two shutdown board, and it's diesel inoperable  
23 for a brief period during the performance of the test.

24 MR. BAJESTANI: It is within allowable tech  
25 spec limit--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: Yes, that's what I would think-

2 -

3 MR. BAJESTANI: Yes. But still, we wanted  
4 to really go back and look at it, just make sure  
5 there's nothing else that we're missing as well as  
6 impact. But it is within allowable tech spec. That's  
7 really what matters.

8 MR. OLSEN: Yes, yes, it is.

9 CHAIR RAY: That's what I was thinking, is,  
10 well--

11 MR. BAJESTANI: Yes.

12 MR. OLSEN: Okay.

13 CHAIR RAY: What's the--

14 MR. OLSEN: Yes. I see your point.

15 CHAIR RAY: --what are you looking at, it's  
16 really--

17 MR. OLSEN: That's what's modeled in the  
18 PRA--

19 MR. BAJESTANI: You're right--

20 MR. OLSEN: --takes credit for the fact  
21 that's within the tech specs.

22 CHAIR RAY: By the way, as long as I  
23 interrupted, are these slides going to be on the  
24 record?

25 MR. BAJESTANI: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. OLSEN: Yes.

2 CHAIR RAY: Because I don't have the--

3 MR. BAJESTANI: They are not on the hard  
4 copy, by the way.

5 MR. OLSEN: Right, they're not in the hard  
6 copy, these were backup slides and they're on the disk  
7 I gave you.

8 CHAIR RAY: Okay, well. Go ahead.

9 MR. OLSEN: So, we reviewed this, this  
10 approach with the staff back in August 3<sup>rd</sup>. In  
11 September, we submitted a detailed writeup on our  
12 proposed approach to satisfy Reg Guide 1.41. That's  
13 with your staff now. We're anxious to engage in  
14 conversations with them on any detailed questions they  
15 may have in satisfying that Reg Guide.

16 Any other questions on safeguards testing?  
17 Okay.

18 CHAIR RAY: Anything?

19 MEMBER RYAN: No.

20 CHAIR RAY: Okay.

21 MR. OLSEN: Okay. Thank you. Back to page  
22 seven, then, just the last comment is the essential  
23 raw cooling water system, which is a common system  
24 between Unit One and Two. We will be doing flow  
25 balancing of that system with Unit One's refueling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 outage.

2 This does have significant impact to tech  
3 specs and, and impact Unit One. So we have that slated  
4 to be done during the Unit One refuel outage, and  
5 preparations are being finished up with construction  
6 completion and all the prerequisite procedures to  
7 accomplish that.

8 CHAIR RAY: Okay.

9 MR. OLSEN: That's the end of my  
10 presentation, unless you have any questions.

11 CHAIR RAY: No, I think that's fine.

12 MR. BAJESTANI: The next topic, what some  
13 of the special topics that you guys have specifically  
14 asked, that we're furnishing.

15 MR. SCHLESSEL: Good morning. Jerry  
16 Schlessel, TVA construction manager. The refurbishment  
17 program falls under my purview. The refurbishment  
18 program includes equipment that are safety related,  
19 both active and passive. Refurbishment program goes  
20 through a process of steps, including identification,  
21 which we use our Master Equipment List to ensure that  
22 we've captured all the components, classification,  
23 that's where we determine if we're replacing piece  
24 parts, whole devices. A functional test, or the  
25 startup test, if the equipment meets our requirements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Next comes inspection and evaluation,  
2 those are technical evaluations. In the passive  
3 program, Ken Welch will give you the details for how  
4 that's accomplished. And then, refurbishment or  
5 replacement, that's actually the performance of the  
6 work. And finally, component and system testing.

7           Required outcome of the program, we,  
8 original, processing, design, and equipment vendor  
9 specifications. Current status of the program, safety  
10 related valves, all types, 34% complete. That includes  
11 AOVs, manual valves, MOVs, check valves, relief  
12 valves, et cetera.

13           Large safety related pumps, 30%. Our  
14 safety related and quality related motors were 40%  
15 complete. Any questions with regard to the program and  
16 the current status?

17           MEMBER SIEBER: When you do the  
18 refurbishment of a valve, exactly what is it that you  
19 do to, just change the packet?

20           MR. SCHLESSEL: Okay--

21           MEMBER SIEBER: Set the clearances?

22           MR. SCHLESSEL: For a valve, we've got  
23 classifications that make us, make the determination  
24 of what we'll do. If they're in a high pressure, high  
25 temperature system, radiation carrying system, or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 items inside the polar crane wall, those get the  
2 packing, gasket replacement.

3 Any, any organic material that might be in  
4 the valves will all be replaced, the valve will be  
5 then put back together. If it doesn't meet those  
6 criteria, we'll do a functional test--check with the  
7 operator, if there's any degradation determined from  
8 the operator's functional check, we'll go into those  
9 valves.

10 MEMBER SIEBER: On the severe duty valves,  
11 what you're doing is changing the soft materials?

12 MR. SCHLESSEL: That's correct.

13 MR. BAJESTANI: Anything that's--

14 MEMBER SIEBER: Metal parts you leave as  
15 is?

16 MR. SCHLESSEL: They're left as is. When  
17 they're apart, if anything's noticed, those will,  
18 corrected at that point. Ken in the passive program is  
19 notified, he makes selections to go in, look at those.  
20 If there's degradations in them, we'll address those  
21 as, as fit.

22 MEMBER SIEBER: And what do you do with  
23 pumps, just packing plans?

24 MR. SCHLESSEL: Pumps are completely torn  
25 down. Most of the pumps are sent back to the vendors.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There are a few of them that were rebuilt on site,  
2 procedurally, go through the vendor manual, take them  
3 down, replace all the same organic parts that could  
4 age and put them back together. And there are  
5 measurements there.

6 MEMBER SIEBER: Then you have the motors,  
7 what do you do? High pot them, or--

8 MR. SCHLESSEL: Yes, they're all, they're  
9 all, the VLF testing, vapor testing. All those large  
10 motors were sent off site.

11 MEMBER SIEBER: Okay.

12 MR. SCHLESSEL: And to vendors to  
13 refurbish.

14 MEMBER SIEBER: You send them off site to  
15 do that? You can't do that on site?

16 MR. SCHLESSEL: To get a good quality  
17 product, we're sending them all off site.

18 MR. BAJESTANI: And also, keep in mind  
19 that, again, for quality refurbishment, really, on  
20 the, going after any material that's susceptible to  
21 aging, we replace it.

22 MEMBER SIEBER: Right--

23 MR. BAJESTANI: At the same time, Watts Bar  
24 Unit Two, a lot of the equipment, like valves, they  
25 were missing, you know, either by Unit One or Sequoyah

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Unit One or Two. So we were actually replacing 4,500  
2 valves.

3 MEMBER SIEBER: Yes, I noted that when we  
4 walked through the plant--

5 MR. BAJESTANI: Right--

6 MEMBER SIEBER: --that you were--

7 MR. BAJESTANI: --replacement.

8 MEMBER SIEBER: --that, if I were to  
9 characterize this in my own mind, I would call this  
10 more, more of a, akin to a preventative maintenance  
11 program as opposed to wholesale replacements.

12 MR. SCHLESSEL: That's correct, but no--

13 MEMBER SIEBER: Okay.

14 MR. SCHLESSEL: --that was a large quantity  
15 of replacement, a large quantity.

16 MEMBER RYAN: What percentage would you say  
17 have been replaced rather than refurbished?

18 MR. SCHLESSEL: From a valve standpoint?

19 MEMBER SIEBER: Pick one item.

20 MEMBER RYAN: Not going to hold you to a  
21 half, three quarters, ten percent?

22 MR. SCHLESSEL: After 4,500 you're going to  
23 be close to half.

24 MEMBER RYAN: That's interesting.

25 MR. SCHLESSEL: I'll make sure I get that--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: That is not an urgent number  
2 than I need--

3 MR. BAJESTANI: We do know that we're going  
4 to replace 4,500 because we have ordered and received  
5 a lot of these, 4,500 valves we have ordered, we have  
6 a purchase order. Half of them are received, actually  
7 installed some of them. But we know we're going to  
8 replace about 4,500 valves.

9 MEMBER RYAN: And I'm sure you've addressed  
10 this question, forgive me for asking if it's a dumb  
11 one, but when you have refurbished parts, you know,  
12 and then you've got new parts going into old casings  
13 and things like that, have you--has that been a  
14 problem, or have you addressed that?

15 MR. SCHLESSEL: We really haven't had any  
16 issues there. You know, you order the material, you  
17 check your fits, you reassemble the test valve,  
18 identify if anything's--

19 MEMBER RYAN: So the functional testing in  
20 place after assembly--

21 MR. SCHLESSEL: That's correct.

22 MEMBER RYAN: --you'll know if you had a--

23 MR. BAJESTANI: I just want make sure we  
24 expand on that. There are times that we go in and we  
25 look for some specific part replacement and we find

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that it's obsolete, and we go back to engineering and  
2 we get a whole replacement, basically, because--

3 MEMBER RYAN: So, so you really got to--

4 MR. BAJESTANI: Yes.

5 MEMBER RYAN: -re-engineer the replacement-

6 -

7 MR. BAJESTANI: Exactly. Re-engineer the  
8 replacement.

9 MEMBER RYAN: That's a formal step.

10 MR. BAJESTANI: That's right.

11 MEMBER RYAN: How about this whole issue,  
12 we've seen in the press a lot lately, of  
13 counterfeiting, and bad metals, and metallurgy, have  
14 you run into that, or?

15 MR. BAJESTANI: Well, what--let me, let me  
16 explain what we did. Right at the beginning of the  
17 project, we understood that some of the issues as far  
18 as fraudulent, you know, materials--

19 MEMBER RYAN: Valves and all that, right.

20 MR. BAJESTANI: Yes. So what we did, first  
21 of all, we actually took all those and put them in our  
22 process, specifically like for QC inspections, looked  
23 for certain things, like breakers, you know, this,  
24 that.

25 The other thing that we did, we actually

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 right at the beginning of the program, we went ahead  
2 and basically for every vendor that we had, we put a  
3 shop surveillance. We have done over 500 shop  
4 surveillance that, that, we have gone to different  
5 vendor.

6 Actually, look at right here, application  
7 looking at their, Appendix B program and so on and so  
8 forth, and we have found problem. There is list of  
9 issues that we came up, but that, because what we did  
10 is actually the beginning of a good product, you know,  
11 we finding the problem, and we still finding issues  
12 even on the received inspection.

13 But, a lot of this surveillance that we  
14 did has helped us to get to really identify all this  
15 problem up front.

16 MEMBER RYAN: So it sounds like you feel  
17 like you're ahead of the curve on these issues that  
18 come up when you're--

19 MR. BAJESTANI: Yes.

20 MEMBER RYAN: --your refabrication program?

21 MR. BAJESTANI: Well, because of the  
22 industry, we decided right up front to do this  
23 structure events, you know, so, we sending people to  
24 specifically to every vendor, looking at process,  
25 procedures, and look at actually the fabrication.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: And as you said, that's an  
2 ongoing activity?

3 MR. BAJESTANI: Ongoing activity.

4 MEMBER RYAN: All right.

5 MR. BAJESTANI: Thank you.

6 MEMBER BONACA: The question I have is, you  
7 rely those on the, on the layout, very, have you  
8 performed that assessment of the, of the effectiveness  
9 of the layout?

10 MR. BAJESTANI: Ken is, Ken is going to  
11 address that on the passive refurbishment in a minute.

12 MEMBER BONACA: Because, I mean, I'm sure  
13 that that's a tie to decisions on which valve we are  
14 going to maintain and how you're going to do that, so,  
15 again.

16 MR. SCHLESSEL: With that, if there's no  
17 other questions, I'll turn it over to Ken to talk  
18 about the passive refurbishment program.

19 MR. WELCH: And that is really a very good  
20 lead in for this discussion, because we want to talk  
21 just briefly--excuse me, my name is Ken Welch and I'm  
22 the lead for the passive refurbishment program.

23 As I said, that's a good lead in for this  
24 discussion about the passive component refurbishment  
25 project because really what prompted this program is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 concerns about not having an adequate layout program.  
2 That's really what prompted this whole program to  
3 exist.

4 So, what we are doing in the passive  
5 program, which is a smaller but very important part of  
6 refurbishment in general, is we are focusing on  
7 passive components in the plan. We have a procedure  
8 which defines what's a passive component and what's an  
9 active, but a very simplistic definition is to say if  
10 it doesn't have moving parts, it's considered a  
11 passive component.

12 MEMBER SIEBER: Is it guaranteed that a  
13 given part will either fall into the passive or the  
14 active component, or is there another group out there  
15 that's--

16 MR. WELCH: No, there's, there's--

17 MEMBER SIEBER: --not in any program?

18 MR. WELCH: There's really only those two  
19 groupings. And what we did was basically out of our  
20 master equipment list, we dumped every equipment  
21 description we have into a big database and segregated  
22 those and called each one either a passive or a active  
23 component.

24 MEMBER SIEBER: Now, does that include  
25 components that don't have mark numbers, like pipe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hangers and--

2 MR. WELCH: That is a part of it, and that  
3 was part of the challenge early on in this program, is  
4 we recognized that there were things, and a good  
5 example of that is if you get a skid mounted pump--

6 MEMBER SIEBER: Right--

7 MR. WELCH: They're making things on there  
8 that don't necessarily have a mark number and those  
9 have to be identified by review of vendor manuals and  
10 by walkdown in the field. And pipe, of course, is a  
11 prime example of something that doesn't have a mark  
12 number and that's one of the things we spend most of  
13 our time on.

14 MEMBER SIEBER: Right, it's sort of a, it's  
15 interesting to note that if you decide to count all  
16 the valves in the plant and categorize them by size,  
17 you end up missing all the skid mounted valves.

18 MR. BAJESTANI: That's right.

19 MR. WELCH: That's exactly right, yes.

20 MEMBER SIEBER: Now, as they come as a  
21 package, typically, they don't have mark numbers.

22 MR. BAJESTANI: That's right.

23 MR. WELCH: And that has been one of our  
24 challenges early on, but we recognize that, that that  
25 was going to be a lot of what we were looking at in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the passive program, is things that do not have unique  
2 identifiers in our system.

3 MEMBER SIEBER: You probably don't have  
4 much skid mounted equipment, right?

5 MR. WELCH: We have--

6 MR. SCHLESSEL: The BOP side has quite a  
7 bit.

8 MEMBER SIEBER: Oh, really?

9 MR. SCHLESSEL: On the balance--

10 MEMBER SIEBER: I can think of a half a  
11 dozen, but more than that, it would be a stretch  
12 unless it's in the chemistry area.

13 MR. SCHLESSEL: Yes.

14 MEMBER BONACA: You will have to go to a  
15 license renewal, I'm sure, at some point, so, have you  
16 considered the benefits of looking at the definition  
17 of passive components versus active, coming from  
18 license renewal? That would help.

19 MR. CROUCH: Back when we wrote the  
20 procedure for the passive refurb--

21 MEMBER BONACA: Yes.

22 MR. CROUCH: --we went to the Generic Aging  
23 Lessons Learned to pull out the various failure  
24 mechanisms, and, and--so we based it upon the license  
25 renewal process, even though it's not called license

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 renewal.

2 MEMBER BONACA: Yes, not as such, I mean.

3 MR. BAJESTANI: But, some of the elements,  
4 we actually took it from--

5 MEMBER BONACA: It gives you a way of  
6 thinking, see the thinking of the stuff--

7 MR. CROUCH: Yes.

8 MEMBER BONACA: I mean--

9 MR. CROUCH: That's exactly the reason we  
10 did it.

11 MEMBER BONACA: Okay.

12 MR. WELCH: So, the Passive Refurbishment  
13 Program is, basically, is focused on original  
14 equipments. We're focused on things that were  
15 original, originally installed in the plant, not being  
16 modified, not being replaced under some modification.  
17 We're looking, focused on pre-service degradation,  
18 that's what we're looking--we're looking for corrosion  
19 in pipes, we're looking for that kind of problem with  
20 existing equipment.

21 We are integrated with the plant's  
22 schedule, which means we do our inspections generally  
23 along with other work that's going on in the system  
24 and I'll give you an illustration of that in a little  
25 bit here. And, in that respect, we're, we're staying

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on schedule with the plant construction.

2 Things we look at--some of the things that  
3 fall in that category are shown in the bullets there,  
4 like I said, we spent a lot of time looking at pipe,  
5 hangs, orifices, heat exchangers, ducts, electrical  
6 penetrations, mechanical penetrations, electrical  
7 disconnect switches.

8 That's the types of things we're looking  
9 at in our program. And to date, we have not found any,  
10 we haven't had any unexpected findings to date. That's  
11 really all we have, prepared remarks I had for the  
12 passive program, unless there's any further questions  
13 on that.

14 MEMBER SIEBER: How do you integrate Unit  
15 One operating experience with your Passive  
16 Refurbishment Program?

17 MR. WELCH: Well, one thing we've done is  
18 enter, entered--put in our program a plant experience  
19 review, basically, which has the guys in my group  
20 including myself, we basically use the corrective  
21 action plan database, we call it PERs, or Problem  
22 Evaluation Reports.

23 But we've, we've instituted in our program  
24 a formal review of Problem Evaluation Reports in the  
25 plant, so if things come up that might effect our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 program that are not directly reported to us that we  
2 can, we find out about those things through the plant  
3 corrective action database.

4 And I can tell you that, since we work  
5 with the craft, a lot of things like that, we get  
6 directly thrown in. There's some issues that come up,  
7 we get that directly from the craft, but we have--as a  
8 formal program, we've introduced a corrective action  
9 plan review on a regular basis.

10 MEMBER SIEBER: How do you do the  
11 refurbishment, passive refurbishment, system by  
12 system?

13 MR. WELCH: Most of the commodities are  
14 addressed on a system by system basis, that's true.

15 MEMBER SIEBER: So, if you, for example,  
16 did a walk-in study on Unit One, you know, might  
17 break, found a geometry in Unit One that were, could  
18 cause excessive wear to a pipe, that would somehow or  
19 other, reach to Unit Two so you would correct that  
20 geometry?

21 MR. WELCH: That--that's a true statement  
22 but I think probably most of what you're concerned  
23 about would be like a FAC concern--

24 MEMBER SIEBER: Right.

25 MR. WELCH: --and as Masoud already

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 discussed, we've already made the commitment to go  
2 ahead and replace FAC susceptible pipe on Unit Two.

3 MEMBER SIEBER: Yes, well.

4 MR. WELCH: And implement lessons learned  
5 on--from Unit One construction on Unit Two.

6 MEMBER SIEBER: All right. The, the  
7 susceptible--one issue for fact, another one is the  
8 geometry.

9 MR. WELCH: Yes. When we selected the scope  
10 of piping to be replaced in the back, we went into the  
11 Unit One FAC that had been done over the first three  
12 refueling outages.

13 MEMBER SIEBER: Right.

14 MR. WELCH: And by that way, we, we, we  
15 were able to address things that were material related  
16 as well as geometry specific related. There was other  
17 replacements that were later than that, but we decided  
18 that even if it was after the first three outages, it  
19 was so geometric specific that it wouldn't necessarily  
20 exist in Unit Two, and so--

21 MEMBER SIEBER: Yes, but you have to look  
22 to see whether that's the case or not.

23 MR. WELCH: Right.

24 MR. BAJESTANI: And part of our program  
25 was, you know, we go in through the same program that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Unit One went through. Part of our program is actually  
2 for flow accelerated corrosion is, we're all going to  
3 go ahead and look at, we'll go through, we'll actually  
4 have a, a, a--

5 One of our contractors is going to study  
6 basically establishing the baselines so that every,  
7 the elbow, everything that's really susceptible to,  
8 and then we're going to actually do the UT, we're  
9 going to measure, here's the baseline, and then we  
10 monitor it from here on.

11 MEMBER SIEBER: All right. Okay, that  
12 answers my question. Thank you. Appreciate it.

13 MR. WELCH: Okay, if there's no more  
14 discussion on the passive program, then we'll move on  
15 to the next special topic, Bill. The next topic we  
16 want to discuss is buried piping at Watts Bar Unit  
17 Two, and the way I'd like to approach this is, the  
18 first part of this I'd like to discuss the population  
19 of buried piping at the whole site, what exists at the  
20 whole site, and what systems are involved.

21 And then I would like to discuss what's  
22 being added new from completion of Unit Two and then  
23 after that, discuss what programmatically we have in  
24 place at Watts Bar to address all buried piping and  
25 concerns that, that arise from buried pipe.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, starting from the first slide, here,  
2 buried piping of course is a concern for two reasons.  
3 Because it's subject to external corrosion, as you  
4 know, that piping in the powerhouse would not be, and  
5 the other reason is it's just simply not accessible,  
6 you don't see it during a routing system engineer  
7 walkdown. You can't see if there's any degradation  
8 going on with the piping.

9           So, there's two reasons for it to be more  
10 of concern. When we're looking at first discussing  
11 what is Unit Two completion going to bring into the  
12 picture that's not already there, when you look at  
13 safety related buried piping, the answer is, there's  
14 none, that there is no addition safe--another way of  
15 saying that is, all the safety related buried piping  
16 that Unit Two depends on is already in service for  
17 Unit One.

18           We do have, there is safety related, what  
19 I've called "underground piping" that will be new to  
20 the plant when Unit Two is brought online, and that's  
21 piping that basically run through the Unit Two pipe  
22 tunnel to the refueling water storage tank and the  
23 primary water storage tank.

24           There's twenty-four inch refueling water  
25 header, there's a six inch containment spray test

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 return line, and there's primary water suction and  
2 recert lines that go through that tunnel also.

3 MEMBER SIEBER: You just have one tank for  
4 both Units and refueling water?

5 MR. WELCH: No, sir, there's a separate  
6 tank for each Unit.

7 MEMBER SIEBER: Okay, so it's not a, not a  
8 common system?

9 MR. WELCH: No, they're, they're on  
10 opposite sides of the plant, there's--

11 MEMBER SIEBER: You have two refueling  
12 pools?

13 MR. WELCH: No, sir, we just have one pool.

14 MEMBER SIEBER: Okay.

15 MR. WELCH: Just to give you an idea of  
16 what, what you're looking at in the pipe tunnel, and,  
17 and one thing I did want to mention before we left  
18 that last slide, is we do, we do introduce some, some  
19 buried piping with Unit two that's non-safety related  
20 piping, and that, one of the obvious ones there is the  
21 condenser circulating water.

22 We have four large circulator pumps that  
23 supply water to the condenser, that's all new piping,  
24 that's precast concrete piping, so that's new non-  
25 safety related piping. Cooling tower number two's got

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a blowdown line and a desilting line that would not  
2 have been in service up until now. Those will now be  
3 in service.

4 And there's a very short section of  
5 hydrogen supply piping that's basically from right  
6 outside the turbine building and into the turbine  
7 building, and that will be, again, non-safety related  
8 but that is new. So, that's new buried piping for Unit  
9 Two, is what we're talking about there.

10 Now, when I talked about underground  
11 piping, if you go to the next slide, I just want to  
12 give you an idea of what, what we're talking about  
13 when we're talking about that. This is a picture taken  
14 inside our Unit Two pipe tunnel. Remember, our pipe  
15 tunnel is really an extension of the Auxiliary  
16 Building, it's really part of the Auxiliary Building.  
17 It's a wing of the Building, if you will.

18 There's a Unit one--

19 MEMBER SIEBER: Does it have a sump?

20 MR. WELCH: Sorry?

21 MEMBER SIEBER: Does the tunnel have a  
22 sump?

23 MR. WELCH: No, sir, what the tunnel does,  
24 is, it's got, if you were to have leakage in that  
25 tunnel, there are channels on each side of the tunnel-

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -the whole thing runs downhill, back towards the  
2 Auxiliary Building, and at the end of the tunnel,  
3 there's drains that feed into the Aux Building  
4 radwaste system.

5 So, if you were to have any leakage--I'm  
6 sorry--

7 MEMBER RYAN: No, go ahead.

8 MR. WELCH: If you were to have any leakage  
9 in this system, it would show up in the floor drain  
10 collector tank, which is the waste processing system.  
11 That, that's where it ultimately shows up.

12 MEMBER RYAN: The question I was going to  
13 reach for is, this is fairly representative of all  
14 underground piping, this arrangement in this Unit?

15 MR. WELCH: This is--that's right. This is  
16 what I call "underground piping"--

17 MEMBER RYAN: Yes, okay.

18 MR. WELCH: --when I use that term as  
19 opposed to "buried piping", this is what I'm talking  
20 about.

21 MEMBER RYAN: Okay, so, the buried shows up  
22 in your slides here, here and there, is this what  
23 you're talking about?

24 MR. WELCH: Yes, and so I, and this thing  
25 here--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: That's a different--

2 MR. SCHLESSEL: This is underground.

3 MEMBER RYAN: Underground, okay, and--

4 MR. WELCH: This one, this is not called  
5 underground, buried piping, I don't have any pictures  
6 of buried piping.

7 MEMBER RYAN: Well, no, I understand, but  
8 that, that's pipe endured, so--

9 MR. WELCH: That, that's correct, yes.

10 MEMBER RYAN: Very good.

11 MR. BAJESTANI: Well, if I may  
12 differentiate, this is a good example of that from the  
13 CRS. Buried piping means the piping is encountering  
14 the soil.

15 MR. WELCH: That's correct, sir. Yes.

16 MR. BAJESTANI: And underground means in  
17 some kind of--

18 MEMBER RYAN: Tunnel.

19 MR. BAJESTANI: --case or chamber or--

20 MEMBER RYAN: Chamber, or--

21 MR. WELCH: That's correct. It wasn't in  
22 the original presentation, but Bill, if you can go to  
23 our backup slide forty-two--I believe it's number  
24 forty-two on your list. And the reason I want to look  
25 at that is, I mentioned the new safety related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 underground piping, one of them was the twenty-four  
2 inch refueling water storage header.

3 And, and there's a, just a picture of that  
4 that I wanted to show you that I thought might be a  
5 little bit help in illustrating what we're, what we're  
6 doing in the program.

7 MEMBER BONACA: The question I have in the,  
8 page eleven, top of the page, you say no additional  
9 service, but the piping is not in service. This to me  
10 says that you have something like a buried pipe in  
11 there?

12 MR. WELCH: There is--the plant has safety  
13 related buried piping, but the safety related buried  
14 piping in the plant is already in service right now,  
15 supporting Unit One.

16 MEMBER BONACA: I understand now what  
17 you're saying, all right. If you give me an example of  
18 systems, safety related that aren't buried?

19 MR. WELCH: Essential--

20 MR. BAJESTANI: EFCW.

21 MR. WELCH: I have two examples of that,  
22 and I'll be, I can, we can go over it now or it'll be  
23 in the next slide, or--

24 MEMBER BONACA: Oh, okay.

25 MR. WELCH: --coming up very soon, here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 One reason I, and this wasn't in the original  
2 presentation, but one reason I wanted Bill to look at  
3 this is, I mentioned that this is one of the new  
4 safety related headers, and, and this is in the Unit  
5 Tow pipe tunnel.

6 And really I wanted to show this to kind  
7 of illustrate the passive refurbishment program, what  
8 we're doing, so I'm digressing a little bit right here  
9 to talk about the passive refurbishment program. This  
10 particular section of pipe had been blind flanged  
11 because it's part of the secondary containment  
12 boundary.

13 MEMBER RYAN: Right.

14 MR. WELCH: You know, the refuel water  
15 storage tank is a vented tank, so it can't, this pipe  
16 connects directly to that. So we had blind flanged  
17 this to maintain secondary containment in the Aux  
18 building. Part of the construction work for Watts Bar  
19 was to go replace this spool piece.

20 So when we're talking about the passive  
21 refurbishment program, this is what my organization is  
22 doing when construction gets to this point where  
23 they're actually taking that blind flange off, it  
24 gives us an opportunity to go look at that stainless  
25 steel pipe and get an idea of what's the condition of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it after thirty something years.

2 And so, we've integrated ourself into the  
3 plant by basically, we've put prerequisites in their  
4 work packages that says call design engineering when  
5 you get to this step.

6 MEMBER RYAN: So, what processing and tests  
7 do they go through to examine this pipe?

8 MR. WELCH: Well, it will be a visual  
9 inspection, we'll look for corrosion, we'll look for  
10 grease, oil, look for anything like that. If we see  
11 some indication of corrosion, we'll take some UT  
12 measurements. We--if it's stainless steel, we might  
13 take some chemistry swipes and look for chlorides,  
14 fluorides, that sort of thing.

15 But we're looking for pitting, we're  
16 looking for corrosion, that's really what the program  
17 is about, and this kind of illustrates, you know, how  
18 we're getting involved in the plant construction work  
19 and how we're doing the passive refurbishment program,  
20 at least for piping, anyway.

21 MEMBER SIEBER: So that's just at the  
22 accessible end?

23 MR. WELCH: That is correct, and, and, it's  
24 a sampling program for piping, it is a sampling  
25 program, and we've strategically picked where we want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to take samples and it's an opportunistic program  
2 which means when they're doing work in a plant like  
3 this, we're going to go look at it and see what the  
4 condition is and document that.

5 MEMBER SIEBER: Right.

6 MR. WELCH: So that, that's, so I kind of  
7 digressed from buried piping, but that, this was, this  
8 is an example of underground piping but it also  
9 illustrates what we're doing with the Passive  
10 Refurbishment Program.

11 MEMBER RYAN: So the inspection really  
12 starts with a visual inspection and its found  
13 condition and then ramps up or ends there, based on  
14 what's--

15 MR. WELCH: That's correct, dependent on  
16 what the visual indications are.

17 MEMBER RYAN: Yes, okay.

18 MR. CROUCH: And when Ken was selecting his  
19 locations for this, he selected them strategically to  
20 select low points in the systems in places where he  
21 would suspect that problems might have occurred, so  
22 it's a, it's an educated sampling.

23 MEMBER RYAN: Right, and intentionally  
24 biased to find things that might be--

25 MR. WELCH: Yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER RYAN: --problematic.

2 MR. CROUCH: That's right.

3 MEMBER RYAN: Okay. Very good.

4 MR. WELCH: Okay, so. I want to go back to-

5 -

6 CHAIR RAY: Ken used an interesting term a  
7 minute ago, "secondary containment".

8 MR. WELCH: Can I--

9 CHAIR RAY: Maybe that's a--

10 MR. WELCH: I'm a boiling water reactor  
11 background, so maybe, but, Aux Building secondary  
12 containment and closure, the Auxiliary Building--

13 CHAIR RAY: Yes. Do you guys call it that?

14 MR. CROUCH: Yes. Pete, do you want to  
15 explain--

16 MR. BAJESTANI: Pete, actually, was ex-SRO,  
17 basically--

18 MR. OLSEN: Pete Olson, startup manager.  
19 The secondary containment, we affectionately call a  
20 auxiliary--

21 MEMBER SIEBER: Move a little closer to the  
22 MIC--

23 MR. OLSEN: Okay. Pete Olson, startup  
24 manager. The secondary containment, we affectionately  
25 call the Auxiliary Building Secondary Containment and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Closure. It's maintained at a negative pressure  
2 related to atmosphere, with emergency filtration,  
3 ozone gas treatment system for accident conditions.

4 It is common, the Auxiliary Building is  
5 common for both Unit One and Unit Two, so as we do  
6 work on Unit Two, we have to maintain the integrity of  
7 that boundary, and that's what Ken is talking about  
8 here. So, when that piece of pipe was replaced that  
9 was in that slot, we had other actions we had to take  
10 to make sure we maintained the boundary of that, that  
11 enclosure.

12 CHAIR RAY: Interesting. Okay, thank you.

13 MR. BAJESTANI: Actually, just to give you  
14 some--that's one of the barriers we have--I mean, not  
15 barriers, actually--that was one of the real difficult  
16 point that we had for pulling cable, you know, we go  
17 through the penetration, we can just pull the cable  
18 through so many square inches.

19 You know, you have to watch every, because  
20 when we do the secondary containment test, we actually  
21 measured what, what kind of margin we had. So, we used  
22 that basically to pull cable.

23 So we can't pull cable through a big hole,  
24 or--we have to do it one at a time, you know, so. Big,  
25 big construction--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: Consideration.

2 MR. BAJESTANI: -consideration.

3 CHAIR RAY: All right. Well, as part of the  
4 original design, to treat it as a filtered  
5 containment, I guess, won't go into why now, because  
6 that's--but it's interesting. Okay, thank you.

7 MR. WELCH: Okay, Bill, I'm ready to go to  
8 the next slide if you--Now, we've kind of  
9 distinguished between buried and underground piping,  
10 give us some illustrations there, I'd like to talk  
11 about the buried piping program that Watts Bar have.

12 And now, this is a program that we've  
13 instituted that, you know, we call it the BPIP or  
14 Buried Piping Integrity Program. Watts Bar is a member  
15 of the EPRI working group on buried pipe, and we were  
16 involved in the initial development of EPRI program  
17 and our program mirrors the EPRI program.

18 It's already been established at Watts Bar  
19 Unit One and at all the other TVA sites. The program  
20 is there to address external corrosion of buried pipe,  
21 that's the primary concern that it's addressing. There  
22 are other programs that are primarily in place to  
23 address internal corrosion of pipes, so this program  
24 just focuses on external.

25 It does apply to all buried piping,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 whether safety related or not, and it's an  
2 anticipatory program, which means our intent is to  
3 identify where we're likely to have problems, do  
4 inspections, learn from those inspections, and do  
5 proactive repairs.

6 If you'll flip over, this is where your  
7 question came up a few minutes ago about what systems  
8 we're talking about. There's nineteen systems that  
9 fall within the buried piping program, and this is a  
10 list of those systems. Two of those that I've got in  
11 bold there are actually, have safety related portions  
12 or are wholly safety related.

13 Sixty-seven, essential raw cooling water,  
14 that's essentially all safety related piping. Fire  
15 protection, there are safety related portions of that  
16 that are buried. That's really all I have to say about  
17 that.

18 MEMBER SIEBER: Do you have stations where  
19 you need to go, I take it that's floor drains, and--

20 MR. WELCH: Yes, sir.

21 MEMBER SIEBER: --things that are not  
22 radioactive. If you have a pipe break inside a  
23 cubicle, for example, and the floor drain, open  
24 drainage system is malfunctioning, is that going to  
25 make it more sever or have a safety related

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 implication if that drain doesn't work?

2 MR. WELCH: Maybe I'll have Pete, maybe  
3 Pete's got a little bit more training in this--

4 MEMBER SIEBER: --station flooding, for  
5 example--

6 MR. OLSEN: Pete Olson, TVA startup. I  
7 believe your question was, if we had a leak and it  
8 flooded a cubicle, what would be--

9 MEMBER SIEBER: Water from someplace that's  
10 flooding--

11 MR. OLSEN: Yes, in the ESF pump rooms and  
12 lower elevation Auxiliary Building, the ESF pump  
13 rooms, there is flood level indication so we do get in  
14 alarm in the control room to indicate a flood. There's  
15 also a blowout panel in the floor such that if the  
16 water gets up to a certain level, it blows out.

17 And on the bottom of the Auxiliary  
18 Building is what's called the passive sump, which is a  
19 big catacomb room that all this water will fall down  
20 to protect the pumps that are in that cubicle.

21 MEMBER SIEBER: There was an incident many  
22 years ago at Surrey where they had a flooding incident  
23 caused by that, and the drains were inadequate to  
24 remove the water.

25 MR. OLSEN: Yes, I think what's unique with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this station is our passive sump with the blowout  
2 panels in those lower pump rooms.

3 MEMBER SIEBER: Right, I have not heard of  
4 that yet before.

5 MR. OLSEN: Yes. It's different.

6 MEMBER SIEBER: Okay. Thank you.

7 MR. WELCH: Thank you, Pete.

8 MEMBER SIEBER: Do you have any  
9 polyethylene or fiberglass pipe in any of these  
10 categories--

11 MR. WELCH: The potable water system uses  
12 PVC pipe.

13 MEMBER SIEBER: Okay, so, drink bottled  
14 water.

15 MR. WELCH: Okay, are you ready to go on  
16 the--this slide is just to talk about some  
17 installation details for buried piping. In other  
18 words, what, what do we do when we're putting buried  
19 piping in the plant, so that's just a little bit of  
20 background. When we put buried pipe, it's continuously  
21 supported along the bottom quadrant of the pipe,  
22 that's to support the weight of it.

23 When we're back filling a trench, we  
24 backfill it with at least twelve inches of rock free  
25 earth or sand. The idea there is you don't want

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something that's going to destroy the protective  
2 coating because the pipe is coated when we put it in  
3 there.

4 Next bullet is about coating. Steel  
5 piping, we either get it with a cold tar epoxy coating  
6 or we get steel pipe and we wrap it with a coal tar  
7 wrap. Basically what you do is you heat the pipe to  
8 remove moisture from it, that also helps the coal tar  
9 adhere to it.

10 You wrap it with a 50% overlap by our  
11 procedures, that gives you double thickness on the  
12 tape--

13 MEMBER SIEBER: Right.

14 MR. WELCH: --and then when you're done  
15 with that, you do inspection for holidays or defects  
16 in the pipe.

17 MEMBER SIEBER: Your wrap coating is far  
18 superior to the other--

19 MR. WELCH: And that's what we've used,  
20 they're in typical reason replacements, I believe  
21 Tapecoat is the product name that we typically use. So  
22 that's just to give you some idea of what, what we  
23 doing for buried piping. But coating of the pipe is  
24 our primary protection for buried pipe at all the TVA  
25 sites.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The next slide starts to begin to talk  
2 about the program itself. Our program has six major  
3 steps associated with it. That is consistent with the  
4 EPRI guidance, if you're familiar with that document.

5           Steps one and two really are laying the  
6 foundation or putting the infrastructure in place for  
7 the program. Those have been completed at Watts Bar.  
8 Steps three through six are ongoing activities that  
9 we'll do throughout the life of the plant,  
10 essentially.

11           And, Bill, let's go ahead and continue  
12 with the next slide, and we'll begin talking about  
13 each of the steps. Our first step is establishing site  
14 documents, databases. This is the infrastructure for  
15 the program.

16           First thing you've got to do, is you've  
17 got to identify where your buried pipe is. We showed  
18 you the list of nineteen systems. Where that list  
19 comes from is a collaborative effort at the plant.

20           Basically we look at, we start with EPRI  
21 list of commonly buried systems at a site. We've done  
22 interviews with the Buried Piping Program Manager,  
23 interviews with system engineers, and, of course, look  
24 at plant drawings.

25           And that's really the sources for coming

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 up with data to identify what lines are buried. Once  
2 you've done that, we subdivide the lines into smaller  
3 groups which are called segments, and the smallest  
4 group which is called a zone.

5 And, basically, a zone is just a, is a  
6 section of a segment that has a unique physical  
7 characteristic. Let me give you an example. If you  
8 have a straight piece of pipe that's underground and  
9 it goes underneath a road, you would have a zone for  
10 the piece of pipe that approaches the road.

11 You would have a zone for the pipe that's  
12 under the road, and then you would have another zone  
13 for the pipe as it moves away from the zone. And the  
14 reason for that is the zone that's underneath the road  
15 has more susceptibility to failure because it's  
16 located under a road.

17 So, that's kind of the idea of dividing it  
18 up into zones, is the smallest, it's the smallest  
19 segment that has a physical configurations that are  
20 common. Zones are, could be as small as one feet, or,  
21 I think, we don't allow zones to be any bigger than  
22 twenty feet of pipe, so there's thousands of zones  
23 once we got done with this whole thing.

24 MEMBER SIEBER: Have you, at Watts Bar Unit  
25 One, have you had any failures of buried piping in its

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 lifetime, history?

2 MR. WELCH: Yes, sir. We have had some  
3 buried piping issues with, with Watts Bar Unit One.

4 MEMBER SIEBER: Could you briefly tell me  
5 what they were?

6 MR. WELCH: We've had a number of potable  
7 water--that's probably the biggest one we've had, is  
8 potable water in general. Those are PVC pipes.

9 MEMBER SIEBER: Right.

10 MR. WELCH: We have had some failures on  
11 fire protection piping.

12 MEMBER SIEBER: This is cast iron piping?

13 MR. WELCH: Some steel. We have some cast  
14 iron piping but we've had some fail of steel piping as  
15 well.

16 MEMBER SIEBER: That's, that's typically  
17 what a main fire header is, is cast iron, which is  
18 very brittle, and isn't hardly anything you can do to  
19 protect an incipient failure of that. On the other  
20 hand, those systems are built as loops, so you can  
21 isolate the break and still have 98% of your fire  
22 protection system.

23 MR. WELCH: Our typical failures on fire  
24 protection piping, most of those we've had have been  
25 due to microbiologically induced corrosion, or MIC.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Right.

2 MR. WELCH: That, that's been our biggest  
3 contributor to failures in fire protection piping.

4 MEMBER SIEBER: And do you use any chemical  
5 treatment to stop MIC attack? That's another, that's a  
6 big industry problem.

7 MR. WELCH: Yes, sir. Watts Bar uses  
8 continuous sodium hydrochloride--its, the process has  
9 evolved over the years in all of the TVA fleet. Our  
10 practice is to use continuous sodium hydrochloride  
11 treatment for essential raw cooling water and for fire  
12 protection.

13 MEMBER SIEBER: Yes. Typically, MIC is most  
14 severe where you have stagnant water or pockets where  
15 the flow mixing doesn't occur. Is that, in your  
16 experience, and, have you singled out areas like that  
17 to examine for MIC attack?

18 MR. WELCH: I can tell you that it's, TVA  
19 has had issues with MIC in dead legs of piping, so  
20 we've observed that same thing.

21 MEMBER SIEBER: Right.

22 MR. WELCH: Our essential, our buried  
23 headers, we don't have, in the essential raw cooling  
24 water, most of that line is not dead legs. There are  
25 some dead legs that go to the diesel generator

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 buildings. We've not had those, that is all mortar  
2 line pipe we haven't, haven't experienced MIC problems  
3 in those lines.

4 MEMBER SIEBER: Okay. I just have a comment  
5 that's back on slide fifteen, the last word you talk  
6 about, holidays. I interpret that as areas in, where a  
7 pipe that's supposed to be coated has been missed?

8 MR. WELCH: That's, that's right.

9 MEMBER SIEBER: Just so the record is clear  
10 as to what that really means.

11 MR. WELCH: Yes, what I--

12 MEMBER SIEBER: Because that's a common  
13 term.

14 MR. CROUCH: That's a defect in the  
15 coating--

16 MEMBER SIEBER: Right.

17 MR. WELCH: --that's correct. Holidays can  
18 be quite small when they--

19 MEMBER SIEBER: Yes. Some are the fourth of  
20 July, some are not.

21 MR. WELCH: Okay, so we're down to where  
22 we've identified in step one, down to zones. Step two  
23 is once you've identified your zones, which there,  
24 again, there would be thousands of these--

25 MEMBER RYAN: Ken, I'm sorry. You mentioned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cooling water, fire protection water. Were there any  
2 examples where radiological contaminated water was a  
3 problem, leaking?

4 MR. WELCH: Yes, sir, we had one notable  
5 example in 2003, I believe it was--

6 MEMBER RYAN: If you go over it later,  
7 that's fine, but--

8 MR. BAJESTANI: No, we weren't going to  
9 cover that, but go ahead.

10 MR. WELCH: We had, we had one fairly  
11 notable example where we, and we found through routine  
12 tritium monitoring, we saw increased levels of tritium  
13 in monitoring wells. That turned out to be a  
14 combination of things, actually. The primary leak was  
15 a rad waste line, which is common for both Units, and  
16 rad waste lines to carry radioactive materials, and we  
17 had a failure in one of those.

18 That was an external coating failure.  
19 What, what was finally determined when they dug that  
20 up and fixed it was, there appeared to be a tear in,  
21 in the protective coating and the pipe basically had  
22 corrosion from the exterior in.

23 MEMBER RYAN: So it wasn't just tritium, it  
24 was the rad waste line.

25 MR. BAJESTANI: Yes, sir--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. WELCH: That's right, but it was  
2 originally identified by tritium monitoring--there was  
3 some, there was also, part of the, there was actually  
4 two parts to that, particularly. There was a leak  
5 between the fuel transfer canal and the, there's  
6 basically a seismic gap between the shield building  
7 and the Auxiliary Building. It's about a one inch gap,  
8 but it's called the seismic gap.

9 And there was a leak that came from the  
10 fuel transfer canal into the Unit Two, into that  
11 seismic gap in Unit Two, and that ended up in the  
12 drains in the annulus area, which is outside of  
13 containment, and that also got in the groundwater.

14 So, the, the drawing that Bill's put up  
15 there, the blue area in there is areas where we saw  
16 tritium that resulted in the leak in the seismic gap,  
17 which ultimately came from the fuel transfer canal,  
18 and then the green area, the leak was, location was  
19 actually there, near, between the two cooling towers  
20 and migrated both south and west and the green's  
21 showing the path of migration from the rad waste line  
22 leak.

23 MEMBER SIEBER: Is the normal water table  
24 above or below the lowest buried piping that you have?

25 MR. WELCH: Most buried piping is below the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 water table.

2 MEMBER RYAN: Yes. The water table in this  
3 part of the world is pretty close to the surface.

4 MEMBER SIEBER: Right, and I recall that  
5 the chemistry, the soil chemistry, was not real  
6 aggressive there. Do you happen to know what the  
7 numbers were for--

8 MR. WELCH: I don't have the numbers, I, I,  
9 one thing I was going to discuss but only in  
10 qualitative terms is, is soil chemistry and how we've  
11 analyzed that on a site-wide basis.

12 MEMBER SIEBER: Sounds like you should wear  
13 boots when you walk around your site.

14 MR. WELCH: Yes.

15 MEMBER RYAN: So, you, I'm sure you fixed  
16 the leaks and identified them fixed and all that. Now,  
17 what happened in terms of pump backage, do anything  
18 alone those lines, or are you just watching the plume  
19 at this point, or?

20 MR. WELCH: Basically the plume is being  
21 monitored under our groundwater protection program,  
22 and--

23 MEMBER RYAN: Roughly, what's the range of  
24 tritium concentrations? Just out of curiosity.

25 MR. WELCH: I can--I don't have those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 numbers at my fingertips. I can tell you that our  
2 acceptance criteria and our sampling is 20,000  
3 picocuries per liter.

4 MEMBER RYAN: Right, that's the groundwater  
5 standard. So, you're below that, you know that?

6 MR. WELCH: Yes, it's below that and then  
7 generally trending down. I can't tell you--

8 MEMBER RYAN: Below that and trending down?

9 MR. WELCH: Yes.

10 MEMBER RYAN: That's close enough--

11 MR. WELCH: I can't tell you--

12 MR. BAJESTANI: It's trending down.

13 MR. WELCH: I can't tell you the specific  
14 numbers.

15 MR. BAJESTANI: Do you have the numbers?

16 MR. CROUCH: Pat just handed me a page from  
17 the SECI evaluation report, and it lists the pH, the  
18 chloride, and the sulfates for both river water and  
19 the well water. And, so, you, you, the river water,  
20 the pH was like, 8.15 to 5.5, or 8.15, and the well  
21 water was 7.13. So, slightly more acidic.

22 Chlorides, the river water was 7.88 PPM,  
23 and the well water was 6.9, and the sulfates was 16.9  
24 versus 74 PPM.

25 MEMBER SIEBER: So, the well, well water is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 slightly acid as opposed to everything else that it's  
2 based--that's unusual.

3 MEMBER RYAN: Okay. To go back to the  
4 tritium concentration, the highest values you're  
5 seeing in the plume areas, 10,000 picocuries per liter  
6 or less, is that right?

7 MR. WELCH: Well, again, I don't have those  
8 numbers at my fingertips. I am familiar with our  
9 procedure, and I know our acceptance criteria is  
10 20,000 picocuries per liter, so, we're below that  
11 number and the feedback I've gotten from chemistry is  
12 that, that, they, they sample on about every six month  
13 basis, and that those wells are trending downward and  
14 it's below that acceptance criteria. So that's the  
15 only qualitative I can give you.

16 MEMBER RYAN: Great. Close enough. Thank  
17 you.

18 MEMBER SIEBER: Can we have your backup  
19 slides?

20 MR. CROUCH: Sure. I believe that they've  
21 got them up--you don't have them now?

22 MEMBER SIEBER: I'd like to get a set.

23 MR. CROUCH: Because we didn't know which  
24 backup slides we used, we didn't put them in the  
25 package.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: You might as well just give  
2 them all to me, if you have them.

3 MR. WELCH: Yes, he's got them all.

4 MEMBER RYAN: So, just to close out the  
5 story on groundwater protection, is a seismic barrier  
6 on this Unit, have you looked at any form of reaching  
7 issues for the new Unit, the restart?

8 MR. WELCH: Well, the, the leak was  
9 actually on Unit Two--

10 MEMBER RYAN: That's right, yes it was--

11 MR. WELCH: --because the fuel transfer  
12 canal, basically, you have a fuel transfer tube on  
13 Unit Two, and you have a tube on Unit One, but the  
14 canal is common to both, and where we were having the  
15 leak was on the Unit Two tube.

16 And so, where, the way that was fixed was  
17 that tube was basically cut off and flanged at the  
18 time--

19 MEMBER RYAN: Yes.

20 MR. WELCH: --now, there is construction  
21 work going on even as we speak to restore that tube to  
22 it's original design--

23 MEMBER RYAN: Right, so--

24 MR. WELCH: --so it'll have to address that  
25 leakage through that gap, and so that's being done

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through our, through our construction process right  
2 now.

3 MEMBER RYAN: So far so good on the Unit  
4 One side?

5 MR. WELCH: I can't speak to the results of  
6 any leak testing they've done on that.

7 MEMBER RYAN: Well, the Groundwater  
8 Protection Program is on that side too, I'm sure.

9 MR. WELCH: That, that, that's true. I'm  
10 sorry. I thought you were talking about the  
11 ramification--

12 MEMBER RYAN: Oh, no, no. I'm just saying  
13 that you haven't seen any of the leaks--

14 MR. WELCH: That's true, that's true.  
15 That's a true statement, yes.

16 MEMBER RYAN: Thank you.

17 MR. WELCH: Okay, going back to talking--  
18 we're talking about step two on the buried Piping  
19 program, which is where we've identified all our  
20 zones, which is the smallest Unit of Piping that we're  
21 going to evaluate for risk. The next step in this, and  
22 remember, the whole direction we're going with this  
23 program is we want to develop a proactive inspection  
24 plan that looks at pipe that's the highest risk  
25 sensitive and that's where we focus our efforts first.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, once we've identified all the zones,  
2 we risk-rank those zones. Basically for every zone of  
3 Piping, we apply a susceptibility factor, which  
4 there's a lot of different things that go into that,  
5 shown on the chart there. And susceptibility is just  
6 what's the likelihood that the physical conditions are  
7 going to result in pipe leak for this location.

8           And then a consequence factor, which is,  
9 means, what does that mean, is that, what bad thing  
10 happens if you have a pipe leak. So, susceptibility  
11 factors, just the physical configuration is a big part  
12 of that. I mentioned being under a road, that's a risk  
13 factor for a leak.

14           Being under a railroad, if there's a T  
15 that's underground, that's a factor. If it changes  
16 elevation, if you go into or out of a building, that's  
17 a risk factor. So all the, those are things where you  
18 can apply some, you'll apply a factor that says you  
19 are more or less likely to have a leak in this pipe.

20           And then, other things that go into that  
21 cathodic protection, obviously. What the pipe's made  
22 out of, whether the pipe's coated or not, which ours  
23 are, by typical practice for steel pipe. But one other  
24 thing that does figure into that is the age of the  
25 coating.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           If it was coated and the pipe was buried a  
2 long time ago, then that's a, considered a risk  
3 factor, that the coating's got some age on it. Is the  
4 fluid inside it, is it a corrosive fluid? Is it a hot  
5 fluid? That's a consideration. Do you have a history  
6 of pressure transience in this line? That's a  
7 consideration.

8           And probably the two highest  
9 considerations for susceptibility are the last two,  
10 what's the characteristics of the soil around it, is  
11 it corrosive? And, just, what's your operating  
12 history, and that, that makes sense that that would be  
13 one of your heaviest weighting factors, is what's been  
14 your history.

15           And then the consequences. Is there an  
16 environmental concern if this leaks? Is it fuel oil,  
17 for example? Is it something that has tritium in it?  
18 You know, those are things that would be consequence  
19 factors. Is it going to be a threat to power  
20 production? That kind of concern is brought in when  
21 you're talking about, for example, turbine lube oil.

22           You know, if you lose a turbine lube oil  
23 line, would you be having to take the turbine offline.  
24 Is that a potential. Are the costs of repair--

25           MEMBER SIEBER: If you have the part--or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would you have the part?

2 MR. WELCH: That's correct, yes. That's  
3 right. Cost of repair is a considered consequence, and  
4 frankly, that's a concern for just about any buried  
5 piping repair. And finally, but not least, nuclear  
6 safety--is it a safety related header, and would you  
7 have a loss of a nuclear safety function.

8 So, all these things--

9 MEMBER SIEBER: This slide is at the top of  
10 your list.

11 MR. WELCH: I put them backwards, didn't I?

12 MEMBER SIEBER: Yes.

13 MR. WELCH: Yes.

14 MEMBER SIEBER: Let me ask--

15 COURT REPORTER: Mr. Sieber, can you move  
16 closer to the mike, please?

17 MEMBER SIEBER: Yes. Let me ask you a  
18 question that is, doesn't occur at all plants, a  
19 situation that doesn't occur at all plants, but it  
20 does at some. If you leave a turbine spindle or  
21 replace your steam generators or something of that  
22 nature, does it come by rail, does it come by truck,  
23 does it come by barge?

24 MR. BAJESTANI: Well--

25 MEMBER SIEBER: If so, does it have to--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BAJESTANI: Barge.

2 MEMBER SIEBER: Barge? Okay. Does it have  
3 to move across any of these buried pipes?

4 MR. WELCH: It would almost certainly have  
5 to cross some buried pipes, yes.

6 MEMBER SIEBER: And what do you do to, to--

7 MR. BAJESTANI: We actually, just, just to  
8 give you example, we replace all three low pressure  
9 turbines.

10 MEMBER SIEBER: Okay.

11 MR. BAJESTANI: We brought them through, by  
12 barge, came actually from Germany. Finally, got to  
13 Watts Bar, and then, what we have, actually, we look  
14 at the low path, we look at how we're going to get  
15 there. We take that drawing, we get it to engineering,  
16 they sit down, take a look at every piping, where we  
17 need to put plates, where we need to do--what do we  
18 need to do to get--

19 MEMBER SIEBER: You can build a, you can  
20 build--

21 MR. BAJESTANI: Exactly.

22 MEMBER SIEBER: --little bridges across,  
23 and you can use vehicles with multiple axles to  
24 distribute the weight, but you have to know where  
25 these lines are, because--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BAJESTANI: Exactly. Exactly.

2 MEMBER SIEBER: These things can do a lot  
3 of damage.

4 MR. BAJESTANI: Exactly. That's really why,  
5 any time we bring any heavy loads, we go through this  
6 engineering evaluation, and we put a lot of, you know,  
7 like I said, for the low pressure turbines that we  
8 brought, we actually end up putting a lot of plates.

9 MEMBER SIEBER: Thank you.

10 MR. WELCH: Okay, so, step two of  
11 establishing risk factors and, again, that's been  
12 completed for Watts Bar One. We're actually, have a  
13 contractor who's doing that for the new Unit Two  
14 buried piping right at this moment. What do you do  
15 with that information?

16 As I mentioned, in step three, what you're  
17 ultimately trying to get to is informed inspections,  
18 proactive inspections of underground pipe. The figure  
19 on the left, figure one, is just a graphical depiction  
20 of risk, and it's just plotting your susceptibility  
21 factors on the y-axis and your consequence factors on  
22 the x-axis, and you would just put those numbers on  
23 there and it would give you an idea of where your  
24 largest risk pipe zones are.

25 Taking that one step further is the graph

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 on the right, and what we've done on that graph, is  
2 we've, we've plotted on the x-axis risk, which is the  
3 product of susceptibility times consequence. So, what  
4 our strategy is for determining our inspection plan is  
5 to get that total risk number, put that on this chart,  
6 and put it against where, geographically, is this zone  
7 of pipe located.

8 Is it in a highly corrosive environment?  
9 Is it in a corrosive environment, or a mildly  
10 corrosive environment? And where that information came  
11 from was, in 2009, TVA commissioned a study of pipe  
12 corrosion at Watts Bar and part of what that study did  
13 was look at the surrounding area around the plant and  
14 it divided it into nineteen geographical sites, is  
15 what they called it.

16 And, basically, went to each of those  
17 sites and did a series of soil resistivity tests and  
18 soil chemistry tests and based on those tests,  
19 assigned each site to one of these three categories,  
20 either highly corrosive, corrosive, or mildly  
21 corrosive.

22 And there was some in each grouping. So,  
23 what you would do here, is you would take your zone,  
24 you'd, you know the risk number, now you know where it  
25 is located in the plant, and you know what kind of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 corrosive environment is. That puts it one of these  
2 four groups for inspection priority, with number one  
3 obviously being the highest priority.

4 Now, what we've laid out here is  
5 basically, groups one and two are groups that you're  
6 going to do proactive inspections on. You're going to  
7 go out and you're going to dig up piping just for the  
8 purpose of taking measurements that will inform your  
9 program.

10 Groups three and four, those would be the  
11 lower risk ones. Those ones you would do basically on  
12 an opportunistic basis. If you had to dig up that pipe  
13 for some other reason, if you had some other work  
14 going on in the area, then you would take information  
15 that would feed the program but that would not be done  
16 on a proactive basis.

17 MEMBER RYAN: How often do you catch pipe  
18 in that way, where you just ad hoc, you happen to be  
19 there--

20 MR. WELCH: This--

21 MEMBER RYAN: --do you get those once a  
22 month? Once a year?

23 MR. WELCH: It's, I would say it's probably  
24 more in the once a year category because it's usually  
25 addressing some kind of failure. You're usually out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there trying to fix some other kind of failure.

2 MEMBER RYAN: Just an off the wall  
3 question. Everything we've talked about so far is  
4 outside the pipe sort of testing and observation. Do  
5 you have anything that crawls in a pipe?

6 MR. WELCH: No. We have not done any kind  
7 of pipe crawl, we've not tried to any robotic type  
8 internal inspections to date.

9 One comment about this chart, and that's  
10 in red at the bottom, is that we do give special  
11 priority to anything that contains radioactive  
12 materials. And what that means is basically we're  
13 going to put them in either group one or two, which is  
14 the proactive inspection categories.

15 So, for, as far as inspections, now we've  
16 determined what's our highest priorities, what, this  
17 is kind of where we are right now, TVA, all the sites  
18 are currently developing ground--or, buried pipe  
19 inspection plans based on the data that they have  
20 derived up until the previous slide.

21 And that, basically, will put together  
22 what are the pipe segments, what are the pipe zones  
23 that we want to go look at. What kind of inspection  
24 techniques are we going to use, is that going to be  
25 excavation UT, is it going to be guided wave, is it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to be pipe to soil potential measurements?

2 Those are the kind of things we're looking  
3 at right now. And then, that plan also establishes a  
4 schedule, a schedule for when we're going to do pipe  
5 inspections.

6 MEMBER SIEBER: NEI has a working group now  
7 on tritium and releases from nuclear power plants. Are  
8 you part of that? Do you participate in it, or follow  
9 it?

10 MR. WELCH: I don't know the answer to  
11 that.

12 MR. BAJESTANI: I don't know that either,  
13 we've got to check on that. I'm sure, I don't know  
14 that for a fact.

15 MEMBER SIEBER: Okay. Seems like you're  
16 doing all the right things, but there is, I think  
17 there is an industry group out there that's doing  
18 that. Because this is, occurred other places.

19 MR. BAJESTANI: We'll find out.

20 MR. WELCH: We'll find out.

21 MR. BAJESTANI: We'll find out and get back  
22 with you.

23 MEMBER SIEBER: Okay.

24 MR. WELCH: As far as actual implementation  
25 of our plans, we've actually done--Oh, I'm sorry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: No--and, by the way, I  
2 mean, staff is issuing a Revision to GALL that has a  
3 significant focus on, of buried piping. So, we will  
4 review it now, I don't know how far they've gone, but  
5 they certainly are addressing it there too, so.

6 MR. WELCH: Okay.

7 MEMBER BONACA: This seems to be quite  
8 aggressive program.

9 MR. WELCH: Yes, sir, like I said, it's  
10 consistent with the EPRI efforts and I believe the  
11 revisions to the GALL you're talking about are  
12 following those industry efforts.

13 So, as far as implementation, we have done  
14 some preliminary guided wave testing, full  
15 implementation of the inspection plan we've committed  
16 in our program to begin those by June of 2012, and as  
17 far as condition assessment, and really, this is step  
18 four of it, was doing a fitness for service  
19 assessments for piping that has radioactive materials.

20 We've committed to have that completed by  
21 June of 2013, so that would be for systems that  
22 contain, normally contain radioactive materials. Bill,  
23 if you want to flip over to the next one.

24 Steps five and six, these are steps that  
25 are going to be ongoing throughout the life of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plant. Step five is identifying repair options for  
2 degraded pipe. Typically, when we've had leaks on  
3 underground piping, what we've done is simply dig up,  
4 isolate, and replace that segment, but there are a lot  
5 of other options for it.

6 We discussed earlier that there have been  
7 some operating experience at Watts Bar with varied  
8 piping leaks. I mentioned fire protection has had a  
9 number of those. The majority of those have been MIC  
10 induced and we, and the ones that have been external  
11 corrosion, which is what this is concerned with, those  
12 ones have been basically the result of a flaw in the  
13 protective coating.

14 And then, finally, step six, which is  
15 prevention and mitigation. The one other thing we're  
16 doing which we've already discussed somewhat is the  
17 groundwater prevention program. I've got a little but  
18 more information on that on the next page.

19 This is primarily a monitoring plan. It  
20 specifies the, it specifies the frequency and  
21 locations that we'll do groundwater monitoring. It  
22 specifies the procedures for doing it, and the  
23 acceptance criteria and what type of trending we do.  
24 And again, that's focused a lot on tritium.

25 One other thing was, we just, we also did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 an engineering assessment of which systems in the  
2 plant are most likely to be a contributor to  
3 groundwater leakage, and we've identified leak  
4 detection methods for all those.

5 MEMBER RYAN: Have you considered any  
6 strategies that might eliminate leak pathways  
7 altogether?

8 MR. WELCH: The idea of the risk assessment  
9 was to identify what our leak pathways were and use  
10 that as an input to design modifications, maintenance  
11 work, outage planning. So, the idea is, is to make it  
12 as a tool to understand that you're dealing with a  
13 system that is, got a, has a higher potential for  
14 groundwater leakage. We haven't used it specifically  
15 to modify systems--

16 MEMBER RYAN: The basic strategy is, got to  
17 have an underground piping, you have, you know,  
18 aboveground piping and ten collection points at  
19 various, you know, parts in the process to make it  
20 easy. Have you looked at eliminating--

21 MR. WELCH: And frankly, that has, and in  
22 some cases that has been our course of action, usually  
23 as a corrective action to a leak.

24 MEMBER RYAN: Yes.

25 MR. WELCH: We got a diesel fuel oil fill

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 line right now that we developed a leak on, and part  
2 of our, we're processing a modification right now,  
3 we're basically going to route that above ground, so  
4 that would be a case where we're doing that. We're  
5 just basically getting rid of an underground pipe  
6 where we don't need it.

7 MEMBER SIEBER: Have any of your studies  
8 led to a conclusion by you that you need cathodic  
9 protection or need to change cathodic protection on  
10 piping?

11 MR. WELCH: No, sir, not to date. The  
12 primary method for protecting the pipe is the coating,  
13 and, and, so that is the TVA primary method. We do not  
14 employ cathodic protection at this time. It's, it's,  
15 it's--it's, we do not employ it right now. It is an  
16 option that we could look at in the future, but it's  
17 a, it's a future option right now.

18 MEMBER SIEBER: Okay.

19 MR. WELCH: Our conclusion is basically  
20 the, it's our program is what's going to ensure  
21 reliable operation of systems that have varied piping.  
22 We are sticking with the current industry initiatives  
23 as we discussed.

24 We already have a plan in place for doing  
25 inspections, and for fitness for service assessments,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and we've committed for radioactive systems to have  
2 that completed by June of 2013. The other learning  
3 from our operating experience is, is buried piping  
4 leaks have not caused system operability or loss of  
5 function at our plant.

6 They've been, typically, pinhole leaks,  
7 which, admittedly, is not desirable, but has not  
8 caused the loss of function for a system. And we feel  
9 like the program gives us the process and procedures  
10 to maintain reliable operation of the pipe for the  
11 life of the plant.

12 MR. BAJESTANI: Steve?

13 MR. HILMES: Hello, my name is Steven  
14 Hilmes. I'm the electrical and I&C design manager for  
15 the Watts Bar Two project. Going to discuss buried  
16 cable.

17 First of all, let me say that Watts Bar  
18 doesn't have any direct buried cable. It's for process  
19 systems, they're all buried in, in duct bank type  
20 setups. Additionally, Unit Two is not adding any  
21 underground cable.

22 As far as the cable that is, is there,  
23 it's essentially for safety related, it's cable that  
24 is installed between the diesel building and the Aux  
25 Building and from the Aux Building to the intake

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pumping station.

2 All the safety related cables are routed  
3 through duct banks, and they are all--and they are all  
4 in service for Unit One operation and have been since  
5 startup. There is a, a small section of instrument,  
6 instrument cable that runs through the refueling water  
7 storage tank for Unit Two. However, it is actually ran  
8 in that tunnel that he was showing earlier.

9 Going to the, to the duct banks. Watts Bar  
10 fortunately, during the construction period, it was  
11 realized that we needed to do something to prevent  
12 submergence of cables in, in our duct banks. So what  
13 we did is, we installed sump pumps in all of the man,  
14 the manholes.

15 And these, in the safety related manholes,  
16 there are also level alarms and pump run time meters.  
17 Okay, the alarms are local and, the operators rounds  
18 check them, and, to ensure they're not submerged. And  
19 we also have a P.M. in place that verifies all that  
20 equipment is operating properly on a six-month  
21 frequency.

22 Okay. It's--going to the next slide, yes.  
23 It's part of the issues in the industry with cross  
24 link polyethylene cable and the treating effects, TVA  
25 has been very aggressive at attacking this. I believe

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're one of the first to implement a testing program.  
2 We do medium, we do, we use VLF testing, which is  
3 called Very Low Frequency testing, on any of the  
4 medium voltage varied cables.

5 We have specifications that give  
6 acceptance criteria for the cables. As an example, I'm  
7 showing you the one for cross link polyethylene here.  
8 Our, our testing categorizes the cable from the  
9 testing as whether it's good, and no signs of  
10 degradation, aged cable.

11 If it hits the aged category, we actually  
12 accelerate the testing to a one year frequency and if  
13 it falls below our degraded replacement category,  
14 obviously we replace that cable. From the standpoint  
15 of Watts Bar, and as I said, fortunately, we put in a  
16 sump system very early, in Two, sump pump system very  
17 early in the construction phase.

18 So, as, as far as testing, so far what we  
19 have done is we have completed the testing on our ERCW  
20 cables. Those, we consider the highest risk because of  
21 the amount of time that they are energized.

22 The testing for those cables has shown  
23 that they essentially have like-new signatures to  
24 them. There is no degradation. The trail-off curves  
25 for the voltage levels did not change their flat

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 curve. Very good shape.

2 For the diesel generators, we have those  
3 slighted in future outages. Those are less susceptible  
4 just because the fact that they are not energized all  
5 the time. So, essentially, everything that we have  
6 tested so far has resulted in signatures that would  
7 indicate that there's degradation of these cables.  
8 Again, our sump system has been effective.

9 In addition to the safety related cable,  
10 there is also four non-safety cables going out to the  
11 condenser circ water pumps. Those were also tested,  
12 they showed no degradation. We are also doing VLF  
13 testing for aboveground medium voltage cables and, as  
14 of this time, we have not seen any issues on any of  
15 those cables, either.

16 So, to summarize, underground cables at  
17 Watts Bar have not been submerged for long periods of  
18 time, unlike many utilities. We do have an aggressive  
19 testing program for the medium voltage cables across  
20 lengths that are susceptible to treating and we're not  
21 seeing any degradation due to it.

22 Overall, we believe our cables are, are in  
23 good shape and are reliable for future operations. Any  
24 questions?

25 MEMBER RYAN: And I'm guessing you have an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ongoing program similar to what you've been through so  
2 far for both units?

3 MR. HILMES: Yes. It's, it's on a five year  
4 frequency unless we have an issue with one of the  
5 cables, then we will go into a more aggressive  
6 program.

7 MEMBER SIEBER: Yes, I noticed that the  
8 more aggressive phases, annual examinations, how do  
9 you do that with equipment that's continuously in  
10 service?

11 MR. HILMES: Well, our ERCW is, cables, we  
12 have four square pumps so we can swap them out.

13 MEMBER SIEBER: So that's the way you--do  
14 you have any situations where you, you can't do  
15 testings because cable is already in service?

16 MR. HILMES: The diesel generators are in  
17 the outages right now for the first go-around--

18 MEMBER SIEBER: Eighteen months.

19 MR. HILMES: Yes.

20 MEMBER SIEBER: Okay. I think you have all  
21 the elements of a good program.

22 MR. HILMES: Any other questions?

23 MR. BAJESTANI: Okay. In summary, again, as  
24 far as the refurbishment program, we do have a solid,  
25 inclusive program for both active and passive

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 component. A lot of replacement and a lot of  
2 refurbishment.

3 We are using both internal and external  
4 operating experience. Internally, we have a lot of  
5 experience, especially when we finish the Watts Bar  
6 Unit One. We using all those lessons learned to help  
7 us to do the right thing, and Watts Bar Unit Two,  
8 also.

9 Our goal is to have the highest operating  
10 capacity for, when we, come out of, when we close the  
11 breaker on Unit Two, and, that's really what we,  
12 that's the goal, and as you heard about the  
13 refurbishment program, very solid, solid program. Any  
14 questions?

15 MEMBER BONACA: I have a question. On your  
16 page eighteen--first of all, I believe that you have a  
17 solid program, that you've shown to us. But I had a  
18 question just for information. Page eighteen, you have  
19 consequence factors. And I would have thought that,  
20 among them, you would have also public impact.

21 MR. BAJESTANI: Public impact?

22 MEMBER BONACA: I believe there have got to  
23 be implications, I mean, certain sites are more  
24 vulnerable than others. The other issue is the long-  
25 term cost, and what I'm talking about is the cost of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remediation during, when you retire the plant, if you  
2 have contamination in the ground--

3 MR. BAJESTANI: Sure.

4 MEMBER BONACA: --we've seen at some sites  
5 where the cost associated was huge, and, you know,  
6 when you're operating the plant, you don't think about  
7 that, but, there, at some point, you have to pay for  
8 it. Just have a look.

9 MR. BAJESTANI: No, very good point. I  
10 appreciate that. Good feedback, and we'll make sure  
11 that we incorporate that.

12 CHAIR RAY: Well, I, I, I echo my  
13 colleagues comments about, in fact, your own, Masoud,  
14 about the program is solid. I think that although in  
15 fact you have Unit One operating causes some  
16 complications, it also provides a lot of reassurance  
17 that if we were sitting here talking about Bellefont  
18 One and Two, it would be subject to a lot more  
19 inquiry, I think.

20 So--but we're not. And I have a lot of  
21 compliments I could say but I won't about what you  
22 guys are doing. I think it's, it's good that, mainly  
23 before I've had you addressed, which is to not get,  
24 become a prisoner of Unit One's operating schedule.

25 And as long as that's the case, I think

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you'll make the right decisions. We'll hear from the  
2 staff after break. We'll take a break now until 10:30.  
3 Thank you.

4 (Whereupon, the above-entitled matter  
5 under investigation when off the record at 10:08 a.m.  
6 and resumed at 10:28 a.m.)

7 CHAIR RAY: Back on the record. We'll now  
8 hear from the staff on Watts Bar Unit Two. Pat?

9 MR. MILANO: Okay, good. Again, my name is  
10 Pat Milano. I'm licensing product manager for Watts  
11 Bar Unit Two with the Office of Nuclear Reactor  
12 Regulation.

13 Before I get started into the portion of  
14 the actual presentation, I'd like to address something  
15 that Mr. Ryan brought up earlier.

16 When you, you had asked TVA some questions  
17 with regard to what we, what we on our staff call  
18 licensing basis preservation, where you're asking  
19 about whether these modifications, whether they're  
20 looking for impacts on, on other, on other systems or  
21 components that have already been designed and  
22 installed.

23 MEMBER RYAN: Right.

24 MR. MILANO: Early on in the process, we  
25 worked with TVA in ensuring that they develop a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 program to cover just that and, and also that program  
2 was reviewed by the staff and accepted. And the only  
3 thing I'd like to mention on that is the fact that, as  
4 part of that program, TVA and its primary contractor,  
5 Bechtel, had put together a, put these, put these  
6 elements into their general design procedures, which  
7 require the design engineer and the other staffs to  
8 review specific things which address, address those.

9 And in particular, also address what  
10 impacts that may have on the, since the two units are,  
11 the design of both units are supposed to be, try to  
12 be, maintained consistent, that there could be some  
13 things that, that, in the design of Unit Two, they  
14 find that could impact the design on Unit One.

15 And all that's in this program, which has  
16 been accepted by the staff. And, I just wanted to  
17 reiterate that--

18 MEMBER RYAN: No, I appreciate that  
19 clarification. That's, that puts it formally in the  
20 licensee's hands, and also formally in your inspection  
21 program, so. Yes.

22 MR. MILANO: That's correct. Okay.

23 MEMBER RYAN: Thank you very much.

24 MR. MILANO: As you're well aware, the  
25 history of construction licensing of Watts Bar has

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 been somewhat unique. And we cover most of those  
2 details in the last two presentations that we made to  
3 this Subcommittee.

4 Thus, I'd only like to, with regard to the  
5 operating license application, I'd like to repeat  
6 that, that the application currently before the staff  
7 was originally submitted by TVA in 1976 and in March  
8 of 2009, TVA updated its application to specifically  
9 support licensing of Unit Two.

10 The staff noticed this in the Federal  
11 Register and offered an additional opportunity for  
12 hearing. There was a request for a hearing and two  
13 contentions were admitted. Subsequently, TVA submitted  
14 information that sort of filled the issue raised in  
15 one of the contentions, and the parties to the hearing  
16 have agreed that no further action is needed on that  
17 contention.

18 Thus, when it does go to hearing, there  
19 will be only one contention remains, and it's in the  
20 area of having to deal with aquatic studies, and it's  
21 an environmental.

22 MEMBER RYAN: What, what is the issue with  
23 aquatic studies?

24 MR. MILANO: The, the petitioners had  
25 indicated that, that the, the, the number and the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 extent of the aquatic studies on the river were not  
2 sufficient on the part of TVA. And, in this regard,  
3 TVA has, had agreed to conduct further studies over  
4 the course of a year.

5 And in those, and in that case, from what  
6 the staff is current aware, most of it, most of the  
7 data has been collected and TVA is, is, they do, they  
8 do a review quarterly, and most of that, so, again,  
9 the studies have been, the data has been collected,  
10 the studies are still underway.

11 MEMBER RYAN: Okay.

12 MR. MILANO: Also, as you're aware, the  
13 Commission directed the staff to use the current  
14 licensing basis for Watts Bar Unit One as the  
15 reference basis for licensing review of Unit two. And  
16 now I'd like to highlight some of the activities that  
17 have taken place since our last meeting with the  
18 Subcommittee. Next slide.

19 We've already talked about the--or, we've  
20 already heard TVA talk about the refurbishment program  
21 for Watts Bar that was initially, that was initiated  
22 to identify and correct and degradation to the plant  
23 caused by the delay in reactivating construction, and  
24 also the stopping of preservation and maintenance  
25 activities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Because most of Watts Bar Unit Two safety  
2 related piping and safety related, excuse me--and  
3 quality related equipment was installed during  
4 original construction, TVA developed the program to  
5 ensure that the equipment design specifications would  
6 be met. Excuse me.

7           As you heard from TVA, the program  
8 performs inspections, evaluations, does refurbishment,  
9 replacement, and system testing to ensure that the  
10 plant will continue to meet its original design  
11 specifications.

12           The safety related systems, structures,  
13 and components would be inspected and evaluated for  
14 pre-service degradation in accordance with the  
15 requirements of the program and to ensure that it  
16 continues to meet the design specification and vendor  
17 functional specifications.

18           In this regard, the staff--the staff's  
19 review focused on the basic program elements of, of  
20 looking at the identification of the passive and  
21 active components or commodities, the materials and  
22 their environments, the potential degradation  
23 mechanisms, susceptibility, and then finally  
24 inspection methods that could be employed to address  
25 or quantify any degradation that took place.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           It was primarily an engineering review on  
2 the part of the staff. However, the systems branches  
3 were also brought in to help with systems related  
4 insights that would, that would aid the technical, or  
5 the engineering-technical specialists in, in  
6 evaluating the program.

7           Finally, the TVA's procedures and  
8 implementation were, the review of that was taken on  
9 by the Region two staff and Mr. Haag will discuss that  
10 later.

11           The, with regard to the refurbishment  
12 program, the staff concluded that the, the scope of  
13 the program was comprehensive and that, that TVA had  
14 identified adequate and appropriate evaluation  
15 criteria, which was based on design and procurement  
16 specifications and the specifics of which would be  
17 enumerated in the implementing procedures.

18           The staff also found that the scope of,  
19 and, of the refurbishment was adequate, and we also  
20 validated the types of degradation mechanisms, the  
21 environments, and the susceptibilities that TVA had  
22 presented in, in the course of its program and also  
23 verified, we also reviewed and accepted the type of  
24 verification of the condition, whether it be by  
25 inspection testing or evaluation that would be taking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 place against the acceptance criteria.

2 MEMBER BONACA: The question that I had  
3 was, for the collection, Unit Two is identical to Unit  
4 One, from a licensing standpoint.

5 MR. MILANO: Pretty much so, yes.

6 MEMBER BONACA: Okay. But Unit One must  
7 have gone through a number of design changes.

8 MR. MILANO: That's correct.

9 MEMBER BONACA: Okay. So are you reflecting  
10 the design changes in Unit Two? Are they reflected?

11 MR. MILANO: Yes we are, and that's why we,  
12 I, that's why we call it reviewing against the  
13 reference of the current licensing basis for Unit One.  
14 It is not the licensing basis as it existed in 1996  
15 when they received the full power license.

16 TVA's--actually, that's, that's been the,  
17 that has been the majority of the staff's review effort  
18 in, over the last fifteen years. TVA has made a number  
19 of changes that have been reflected either by  
20 amendments or, or 50.59 reviews and modifications.

21 And we are specifically looking at those,  
22 those changes against what was originally licensed for  
23 Unit One. So, the answer to your question, yes.

24 MEMBER BONACA: Yes. Everything is being  
25 incorporated into the, okay, thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MILANO: In our last presentation, we  
2 noted that TVA had submitted a Unit Two specific FSAR,  
3 Final Safety Analysis Report, as part of it's updated  
4 application. This basically took the, what was the,  
5 originally, the Unit One and Two FSAR that was used  
6 when Unit One was licensed and made, now, a specific  
7 Unit Two FSAR.

8 The actual changes to the Watts Bar Two  
9 application have been coming in as amendments to the  
10 FSAR since April of 2009. However, the first several  
11 amendments contained a relatively small amount of  
12 work. As the major workload that began with Amendment  
13 95 in, last November, and 97, that came in in January  
14 of this year.

15 Later amendments from 98 through what's  
16 currently 100, and 101 is on its way, have generally  
17 incorporated items that have been brought up during  
18 the staff's review or identified, or TVA identified  
19 issues that have come up during the course of  
20 discussions with the staff.

21 With regard to the staff's current  
22 schedule for review, the review of most of the area is  
23 covered by the SER, and the preparation of the SER  
24 inputs will be completed in early 2011. The staff is  
25 currently preparing Supplement 22 to the safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 evaluation report, and expects to have that published  
2 in December or early January of next year.

3 CHAIR RAY: Would you remind me how you  
4 guys look at the objective of having Unit Two as  
5 identical to Unit One as possible? In the context in  
6 which you're talking about now, which is amending the  
7 licensing basis for Unit Two?

8 MR. MILANO: What we did was, initially,  
9 TVA and the staff independently looked at, it's called  
10 regulatory framework. We looked at what was, what was  
11 done in the 80's and 90's, early 90's, to, to review  
12 the Watts Bar Unit One and Two and, subsequently, just  
13 Unit One.

14 And, and what, what issues had been  
15 evaluated and accepted that were, that applied to Unit  
16 Two, and what items were not fully evaluated for Unit  
17 two. And that became, that became the initial starting  
18 point as to what was reviewed or not reviewed.

19 After that, TVA went through and looked  
20 at, at all the changes that had been made to the  
21 licensing basis after the operation, after Unit One  
22 became in operation. And, and were reflected in the  
23 updated safety analysis report amendments that have  
24 come in.

25 And, currently TVA's at Revision eight of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the updated safety analysis report. What TVA--and,  
2 what, in these, the amendments that are taking place  
3 to the Unit Two FSAR have reflected the changes that  
4 have been made that, and identified on Unit One, and  
5 now are being, and now are being reviewed for Unit  
6 Two.

7 Not sure if I answered your question--

8 CHAIR RAY: No, not exactly. I guess I'm  
9 really trying to ask, do you share the goal, as  
10 worthy, to try, as best all of us can, to make Unit  
11 Two like Unit One?

12 MR. RAGHAVAN: May I answer this?

13 MR. MILANO: Sure.

14 MR. RAGHAVAN: Rags Raghavan, I'm project  
15 manager at the, for the Watts Bar. Basically the  
16 objective is not to say, let's make the Unit Two  
17 identical to Unit One, but keep it, preferentially, to  
18 keep it the same so that, you know, from the operator  
19 licensing and the fragility point of view, it's better  
20 to have both licensing basis the same.

21 But if there is something, new information  
22 that comes up, it's better to do something in Unit  
23 Two. Those kinds of modifications are in fact taking  
24 place, and then at future time the Unit One will also  
25 be brought up to the same thing as the Unit Two.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So, it's not that we go and just say,  
2 regardless of what happens, we'll keep exactly same as  
3 the Unit One, but--

4           CHAIR RAY: Well, of course, I would expect  
5 that, but, I mean, you see some value in doing that  
6 where it doesn't require us to compromise any position  
7 that we've taken before. You know, I think about the  
8 little discussion we had with a member of the public  
9 on instrumentation, for example, at the site. Okay, go  
10 ahead.

11           MR. RAGHAVAN: Did I answer that question?  
12 Did I answer your question, sir?

13           CHAIR RAY: Yes, I think so. Yes, I  
14 wouldn't expect you to say, you know, we'll do  
15 something wrong on Unit Two just because it makes it  
16 like Unit One, but, you know.

17           MEMBER BONACA: Just to complete a train of  
18 thought, now, what about the PRA and the maintenance  
19 Rule? Now, is the PRA going to be the same, or is it  
20 going to be reflecting any differences in there are,  
21 or--

22           MR. MILANO: TVA has, as you, as you saw in  
23 one of the earlier slides that was discussing their  
24 enhancements, they have done a Regulatory Guide 1.200  
25 compliant PRA. That was for the, that was for both

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 units.

2 That PRA was submitted to the staff in  
3 support of it's review for the, the independent plan  
4 examination program. And indeed that has been, that  
5 has been reviewed. We--the staff focused predominantly  
6 on the elements having to do with a, with assurance  
7 that TVA and its contractors had done a thorough peer  
8 review of the development.

9 And we have, we have not issued our safety  
10 evaluation yet of on the IPE or the IPEEE, but those,  
11 those should be taking place before the end of the  
12 year.

13 MEMBER BONACA: Yes. Why I was asking that  
14 was mostly because of maintenance Rule implication. I  
15 mean, is it, the basis going to be the same, or, or, I  
16 was trying to understand how you were going to--

17 MR. MILANO: No, no. The basis, the  
18 specific basis for the maintenance Rule in those  
19 actions were, are, yes, are the same for both Units.

20 MEMBER BONACA: Okay. Right.

21 MR. MILANO: Lastly, I'd like to mention  
22 that there, you know, there are some challenges to the  
23 completion of the project, and talk to them a little  
24 bit more later, but they fall in the areas of  
25 instrumentation. The Fire Protection Report and the,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Final Environmental Statement for the operating  
2 license.

3 Last year, we spent, we spent some time  
4 describing the history of the staff's oversight of  
5 TVA's nuclear performance plan, which was prepared in  
6 response to an NRC demand for information in 1985  
7 pursuant to 10 CFR 50.54(f).

8 In that letter, the staff requested  
9 information about TVA's actions to resolve NRC  
10 concerns about it's nuclear program, and TVA response  
11 was in the form of a nuclear performance plan which  
12 includes, which was, which included both corporate  
13 activities and, and sight specific activities.

14 Regarding Watts Bar, the, it's performance  
15 plan incorporated a set of twenty-nine corrective  
16 actions and special programs. The NRC staff reviewed  
17 these programs, and were documented in reports, NUREG  
18 1232 and also in the safety evaluation report, NUREG  
19 0847.

20 Implementation, however, only occurred at  
21 Unit One because of TVA's decision at the time to  
22 suspend or defer construction on Unit Two. And  
23 although TVA has informed us that it would implement  
24 most of the corrective actions as approved for Unit  
25 Two, some, some items were changed for Unit Two based

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1 on insights from Unit One and also to incorporate more  
2 efficient approaches.

3 The staff has completed its review of  
4 these program changes and, and found them to be  
5 acceptable, and the inspection staff will, will be  
6 assessing the implementation of those corrective  
7 actions.

8 As, as we indicated in Supplement One to  
9 the safety evaluation report--Supplement Twenty-one--  
10 there were a number of items of generic communications  
11 that the staff stated it would be reviewing to  
12 determine whether the safety issues were resolved or  
13 if additional corrective actions would be needed.

14 In this regard, the staff also noted that  
15 the expected actions that remained open for Unit Two  
16 from each of the generic communication items and  
17 expected staff actions that are currently open.

18 The staff found that most, that the, most  
19 of the items were resolved at the time of licensing of  
20 Unit One. Most of these pre-1995 items that remain  
21 open are waiting for submission, or were waiting for  
22 submission, of the Unit Two technical specifications  
23 and, or the applicable FSAR sections, which have now  
24 been received.

25 So, in that regard, the, there's no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 specific review of the pre-1995 generic communications  
2 there being done as the staff does, conducts its  
3 normal business of reviewing the information in the  
4 FSAR. On the post-1995 items, the staff, the staff  
5 reviewed each of those, each of the twenty-five that,  
6 that were applicable to Watts Bar Unit Two.

7 And, currently, two remain open for staff  
8 review. These are related to the, the containment  
9 sump, the GSI 190, 191 issues, and also for the, that  
10 ECCS gas binding and venting issue.

11 And, lastly, the acceptability of  
12 implementation will again be inspected by the Region.  
13 Application for a facility whose construction or  
14 operation may be determined by the Commission to have  
15 a significant impact on the environment has to be  
16 accompanied by an, an--excuse me, an environmental  
17 report, required under subpart A of part fifty-one.

18 And a final environmental statement was  
19 prepared by the staff in 1978 to support operation of  
20 the, both Units, and because of the delay in  
21 licensing, Unit One, a Supplement was prepared in 1994  
22 to assess the changes that occurred from the, from  
23 1978 until licensing and was made into, as a  
24 Supplement to the Final Environmental Statement for,  
25 for the operating license.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And, similarly, the staff, TVA has  
2 supplemented its environmental impact statement to  
3 support operation of Unit Two. That information was  
4 provided in late 2008, early 2009, and has been, and  
5 the review by the staff has been underway.

6           There were some issues early on with  
7 regard to, need to Supplement some of the information.  
8 That was in the area of a supplemental condenser  
9 cooling system that TVA had, had not described in its  
10 EIS and also, there was an issue with regard to the,  
11 the severe accident mitigation alternatives that's  
12 required under the NEPA requirements.

13           In that regard, early on, TVA had, TVA had  
14 done it's SAMA analysis with regard to its original  
15 PRA. And subsequently, with the issuance of the Reg  
16 Guide 1.200 PRA, TVA has done a sensitivity assessment  
17 of all those changes to see if they remained the same,  
18 whether there, there were some other SAMA, SAMA's,  
19 some alternatives that would rise to the level of  
20 that, the cost-benefit would make them appropriate for  
21 implementation.

22           So, these issues caused the staff, caused  
23 some delays in, in the staff and completing the  
24 staff's review of the Environmental Impact Statement.  
25 And with that, we now expect to issue the draft

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Supplement for public comment for, in November of this  
2 year.

3 MEMBER RYAN: Are there any other  
4 regulatory changes between the initial impact  
5 statement and the current one that you had also  
6 addressed? You mentioned NEPA, was there anything else  
7 that crept in?

8 MR. MILANO: No, there weren't. No.

9 MEMBER RYAN: Okay. Thank you.

10 MR. MILANO: With regard to the other  
11 programs that are required by, by 10 CFR 50.34, just  
12 mention a brief, a brief summary of the status of each  
13 of those, you know. In section 13.3 on emergency  
14 planning of the FSAR, TVA stated that the, the  
15 radiological emergency plan provided protection for  
16 TVA personnel for public health and safety in the  
17 event of a radiological emergency resulting from an  
18 accident at Watts Bar.

19 Excuse me. The TVA's core nuclear REP  
20 contains site specific activity at, excuse me,  
21 appendices for each of the Units. In 1993, TVA  
22 withdrew the Watts Bar portion of the REP and  
23 resubmitted it only for Unit One.

24 Thus, in, and that was part of the dilemma  
25 now that the staff had in this area, and the staff had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to do a, another review, and also, FEMA had to do it's  
2 review of offsite. Looking now as a, as a site, a site  
3 REP, and, rather than a Unit specific REP.

4 And, that review is, is pretty much done  
5 by the staff. It has not been completed. We have  
6 received an interim finding of reasonable assurance  
7 for the offsite effectiveness by FEMA and we're hoping  
8 shortly to, to get that finalized.

9 With regard to the physical security  
10 plans, the, this similarly, as the, as the  
11 radiological emergency plan, the security plan for  
12 Watts Bar was for Unit One, and now, and now it's  
13 going back to, to a site emergency plan. The staff has  
14 reviewed the plan. However, in order to, in order to  
15 finalize its review, TVA needs to complete the  
16 development of the target sets and submit them to the  
17 staff.

18 And, so, that, we're expecting the  
19 submission of those target sets in November to support  
20 a completion of our review by the end of this year.  
21 With regard to the fire protection program, TVA has,  
22 will be submitting its final fire protection report in  
23 December 2010.

24 This, this, because of the submission at  
25 such a late date, that is the reason for, for the fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 protection program review to be a critical path issue  
2 to the overall review of this. In, in the hopes of  
3 helping to make the review when it gets, the final  
4 review when it gets started in December a little  
5 easier, we, the NRC staff requested a number of items  
6 from TVA which TVA has provided in, in August and  
7 September of last--of this past year.

8 And those are currently under review as  
9 some preliminary information. However, you know, we'll  
10 need the report in December in order to really get  
11 started in completing the review. Yes, sir?

12 MEMBER SIEBER: Is Watts Bar going to be an  
13 NFPA 805 plant, or fuel deterministic--

14 MR. MILANO: Fuel deterministic.

15 MEMBER SIEBER: Okay.

16 MR. MILANO: Finally, the startup test  
17 program, and I believe TVA is, TVA is pretty much  
18 pressed. They have programmed, you know, it is, it is  
19 being submitted in accordance with NRC Regulatory  
20 Guide 1.68 and the reviews of the specific programs as  
21 they come in will take place.

22 As TVA indicated, with regard to the  
23 integrated safeguards test, they, that, they did  
24 provide a proposal to us to modify the testing in  
25 order to eliminate portions that TVA believes were

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 adequately conducted during the Unit One licensing.  
2 That is currently before the staff for review.

3 We've had it for about two weeks now, and  
4 we're, we're only in the initial stages of that review  
5 and I can not speak to, to where that's going to,  
6 where that appears to be coming out.

7 Lastly, I'd like to, you know, mention to  
8 you, there, you know, as I indicated, we have, we have  
9 three critical paths. And the reason why I say three  
10 critical paths is the fact that they, each one of  
11 these items is scheduled to be completed within about  
12 a month of each other.

13 So, it's, it's hard to say which one is  
14 really the true, the true critical path. So I just, I  
15 just estimate each one of these as, they're co-  
16 critical paths. The first being, having to do with our  
17 review of chapter seven, instrumentation section of  
18 the FSAR.

19 And, what's driving that one is the fact  
20 that TVA has elected, as Mr. Raghavan had indicated,  
21 to do some upgrades on, on Unit Two in advance of what  
22 they were going to do for Unit One. And in this case  
23 here, the, the longest, the longest review time item  
24 in that area has to do with their use of the Common Q  
25 platform for post-accident monitoring, that digital

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 platform.

2 And, our review of that is scheduled to be  
3 completed in about April of 2011. Also, also, there  
4 are some non-safety control systems that TVA has  
5 elected to use, digital, you know, a digital control  
6 scheme for, such as, feed water, feed water control  
7 and stuff.

8 So, and the staff, even though its, even  
9 though it's non, it's a non-safety system, the staff  
10 is looking at some aspects of that, specifically for  
11 communications mechanisms to ensure that, you know,  
12 that nothing on the instrument data bus will affect  
13 safety related components and stuff like that.

14 MEMBER SIEBER: The post accident  
15 monitoring, that's also non-safety related, right?

16 MR. MILANO: It's--in--

17 MEMBER SIEBER: It connects to safety  
18 related sensors, but it's non safety related as a  
19 system.

20 MR. MILANO: However, in TVA's, in TVA's  
21 selection and identification on its Q list, they have,  
22 they have defined the post accident monitoring system  
23 as safety related.

24 MEMBER SIEBER: But that's--the regulations  
25 don't require that. Is that correct?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MILANO: That's right.

2 MEMBER SIEBER: That's what I thought.

3 MR. MILANO: It is an indication only  
4 system. It provides no actuation function.

5 MEMBER SIEBER: Right. Okay. Thank you.

6 MR. MILANO: I've already talked about the  
7 fire protection program, and the reason for its, for  
8 its delay. And the staff, the staff, current, schedule  
9 for completion of that is in April or May of next  
10 year. And, finally, the supplement to the final  
11 environmental statement.

12 As indicated, we're going to, trying to  
13 issue the draft for public comment in November and  
14 issue the final, the final Supplement to the final  
15 environmental statement in June, possibly July, time  
16 frame of next year.

17 MEMBER SIEBER: I have another question  
18 about digital instrumentation.

19 MR. MILANO: Yes.

20 MEMBER SIEBER: Some of the common upgrades  
21 for that besides digital feed water control has been  
22 rod position monitoring. A lot of plants have done  
23 that.

24 MR. MILANO: And they--

25 MEMBER SIEBER: --safety related part of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that is the rod bottom lights to make sure that you,  
2 the scram. Do you plan on a digital upgrade in that,  
3 or are you going to stick to the--

4 MR. MILANO: Mr. Hilmes will answer that  
5 question.

6 MR. HILMES: Steve Hilmes--Steve Hilmes,  
7 electrical and I&C manager. Actually, Unit One had  
8 already replaced their rod position indication with a  
9 CERPE system, and we are implementing the same system  
10 on Unit Two.

11 MEMBER SIEBER: What about plant radiation  
12 monitoring system, will that be digital?

13 MR. HILMES: Yes. It will be. Unit Two is--  
14 sorry--Unit One is doing a, the same modifications on  
15 their units, they're a little bit behind us, but yes.  
16 The actual, the monitors that go into the actuation  
17 system, those will remain analog. However, the ones  
18 that are just purely indication are, will be digital.

19 MEMBER SIEBER: The area radiation monitors  
20 exclusive of containment, which I think actuates some  
21 of your engineered safety features.

22 MR. HILMES: The only ones are the purge  
23 exhaust monitor, that's the only one that we're--that  
24 one is an ESF function and it will be analog.

25 MEMBER SIEBER: Okay. I also presume that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your turbine control system is going to be digital?

2 MR. HILMES: No, it will not be.

3 MEMBER SIEBER: It's going to be the old  
4 oil pressure type?

5 MR. HILMES: It, it's a, it's, it's an  
6 analog, yes, EHC type system, AEH, I'm not sure if  
7 you're familiar with the Westinghouse system.

8 MEMBER SIEBER: It's a Westinghouse  
9 turbine?

10 MR. HILMES: Yes, The voltage regulator is  
11 digital. It's being implemented, this coming outage on  
12 Unit one will follow suit along the same lines, and  
13 pretty much all our non-safety process controls are  
14 being implemented as digital, as he said, feed water--

15 MEMBER SIEBER: And then we heard safety  
16 features will still be analog?

17 MR. HILMES: ESF will still be analog. We,  
18 we will be changing, for the miscellaneous ESF  
19 controls like aux feed water, we will be changing  
20 platforms to, versus what Unit One has. It was kind of  
21 a mixed bag on Unit One. We are standardizing with a  
22 Spec 200 system on Unit Two.

23 MEMBER SIEBER: Now, all of your emergency  
24 buses, they will be not digital, but relay actuated,  
25 as the 19Seventies brand--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HILMES: That, that's correct. Our  
2 generator protection relays, however, are digital  
3 relays. But, you know, one also has digital relays.

4 MEMBER SIEBER: Now, the sequence for the  
5 diesels, is that going to be analog, digital, or  
6 hybrid?

7 MR. HILMES: It's analog. It's, it's a time  
8 delay relay type system done in the individual  
9 breakers.

10 MEMBER SIEBER: So you're going to rely on  
11 capacitor discharge for the timing of the sequencing?

12 MR. HILMES: They are, they are Agastad  
13 electronic relays--

14 MEMBER SIEBER: As opposed to digital  
15 counters?

16 MR. HILMES: Yes. Not digital, they're,  
17 they are analog.

18 MEMBER SIEBER: Okay. At Unit One, have you  
19 had any difficulty calibrating the timing of the  
20 Agastad relays?

21 MR. HILMES: We, we had originally had  
22 some, some pneumatic relays which we had to replace  
23 with digital relays. Pretty much, that was done  
24 before, before Unit one started though.

25 MEMBER SIEBER: Okay. You, you replaced

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 pneumatic with digital, or pneumatic with capacitor  
2 discharge?

3 MR. HILMES: I'm sorry with--

4 MEMBER SIEBER: Capacitor discharge.

5 MR. HILMES: With electronic capacitive  
6 discharge type relays. I'm sorry, I misstated that.

7 MEMBER SIEBER: I have a question for our,  
8 for our staff that's unrelated to this that I want to  
9 ask it before I forget it.

10 MEMBER RYAN: Go ahead.

11 MEMBER SIEBER: I went through all my  
12 document lists, and I do, don't appear to have in my  
13 computer memory the latest FSAR for Unit Two. Was the  
14 distributed, and if it wasn't, can I get one?

15 MR. BAJESTANI: The 100 was given to  
16 everybody, yes.

17 MEMBER SIEBER: Okay. Maybe I have it and  
18 didn't find it, but it, it would be simpler if you--if  
19 you look at my filing system it would be simpler if  
20 you could just give it to me.

21 MR. BAJESTANI: It was sent on a CD. I'll  
22 give it to you in a little bit.

23 MEMBER BONACA: You have a filing system?

24 MEMBER SIEBER: Yes, my filing system is  
25 not perfect. It's not bad, I mean. It's all in one

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 place, at least.

2 MR. MILANO: Just, in that regard, unlike  
3 what was done in terms of submissions prior to Unit  
4 One licensing. When Unit One licensing, all those  
5 amendments would be just, you know, a set of pages  
6 that would replace the original FSAR.

7 Since, since we weren't talking about  
8 that, you know, that extent of Revision, what we  
9 decided to do just to make it easier for the technical  
10 staff, so they wouldn't have to thumb through four,  
11 five amendments at the same time trying to find  
12 things.

13 Each, each Amendment that we get into, to  
14 the, to the FSAR come in as a whole FSAR with those  
15 sections highlighted. So, so when you get Amendment  
16 100, you've got the whole FSAR.

17 MEMBER SIEBER: Thank God, otherwise, at my  
18 age, I won't live long enough to be able to put it  
19 together.

20 MR. MILANO: Well, that takes, that takes  
21 care of my staff presentation from the program review  
22 side. Now, I'll turn it over to Mr. Haag, will talk  
23 about the current status of inspection program.

24 MEMBER SIEBER: Thank you.

25 MR. HAAG: Good morning. As Pat mentioned,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 my name is Bob Haag, I'm a Branch chief in Region Two  
2 with oversight responsibility for Watts Bar Two  
3 construction, for inspection staff, dealing with Unit  
4 Two.

5 Just wanted to, a similar, to give you an  
6 update of activities that we've been involved with  
7 from an inspection standpoint, since the last time we  
8 met back in March. I'll go over my slides and the  
9 bullets.

10 The first thing I want to mention is that  
11 we certainly have increased our amount of inspections,  
12 both resident staff and regional inspectors. That's  
13 not, that was not unexpected. We, we recognized as the  
14 amount of situated work was increasing at the site, we  
15 would have to increase our inspection activities. And  
16 that has occurred.

17 For example, we had one week last month  
18 where there were seventeen inspectors on site. Some of  
19 those were in training, but there was a large number  
20 of people. That's certainly not status quo every week,  
21 but it just goes to show you, we, we do have a  
22 presence out there.

23 We've also changed the way we're  
24 documenting out inspection results. We had been just  
25 issuing quarterly inspection reports, and now we're

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doing that but we're also issuing team inspection  
2 reports, just to keep down the large volume of what's  
3 in one quarterly inspection report, and it's been  
4 successful in keeping, keeping them down to a  
5 manageable standpoint.

6 We finished our second Problem  
7 Identification and Resolution inspection back in June.  
8 We follow a similar approach to, to what the operating  
9 sites do for looking at corrective action programs.  
10 This was a two week team inspection, we identified one  
11 square double four violation dealing with criterion  
12 sixteen, corrective action program Appendix B.

13 We had several example of where we felt  
14 TVA had either not identified issue within a, in a  
15 prompt time frame, or the identification really didn't  
16 capture all the issues, so that was a set of examples.

17 And then we also had another set where we  
18 felt like they had intended to take some actions,  
19 their, their PI&R evaluator had, had recognized there  
20 were certain things they wanted to do and they just  
21 failed to capture those.

22 So, again, we identified, we looked at a  
23 large number of documents, I think we looked at over  
24 170, their problem identification reports, and we  
25 identified some problems. I would characterize those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1       though as just areas where we believe need  
2       improvement, but, but overall, we felt their program  
3       was on track.

4               CHAIR RAY: Have they responded to those  
5       violations?

6               MR. HAAG: We issued them as a notice of  
7       violation, a notice of non-cited violations so they  
8       don't have to formally respond to us on the docket. We  
9       will look at those as part of our followup to all  
10      violations and make sure they have properly addressed  
11      those in a future inspection.

12              MEMBER SIEBER: Do you--have you found--  
13      have your inspectors operated under a set of  
14      inspection procedures that--

15              MR. HAAG: Yes, they have.

16              MEMBER SIEBER: --has, and has developed.  
17      In the course of all these inspections, which I  
18      believe have been pretty intensive, have you found  
19      either gaps or other areas where all the inspection  
20      procedures that your inspectors use do not actually  
21      match the situation that you're finding at the plant  
22      causing you to either revise, rethink, or modify the  
23      original set of inspection procedures?

24              MR. HAAG: The answer would be yes. Let me  
25      elaborate on that. And I'll--let me step back, and how

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we approach the inspection at Watts Bar Unit Two.

2 MEMBER SIEBER: Okay.

3 MR. HAAG: We have--Agency has established  
4 programs for doing construction inspection, pre-op  
5 startup testing.

6 MEMBER SIEBER: Right.

7 MR. HAAG: Those were done back in the  
8 Seventies and 80's and they were successful. What we  
9 elected to do was for Watts Bar Unit Two was to  
10 maintain those same inspection procedures and not go  
11 through and change them to all our current means of  
12 inspection, philosophies, things like that.

13 We issued a inspection manual chapter  
14 25.17 that takes many of the things that, how we do  
15 business now, and institutionalizes those, and that's  
16 what we're following. But the, the point you brought  
17 up, as far as our old inspection procedures and are  
18 there areas that are not covered by the inspection  
19 program, perfect example would be refurbishment.

20 You know, our inspection program did not  
21 anticipate a long delay, and there for, is there, are  
22 there enhanced inspections you need to do to be able  
23 to address that long delay.

24 MEMBER SIEBER: Yes.

25 MR. HAAG: So, what we did was, and I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to get to that later on, there was a, there was  
2 an inspection procedure, you know, issued, developed  
3 and issued specifically for Watts Bar Two  
4 refurbishment program inspections, and we're  
5 implementing that now.

6 MEMBER SIEBER: Okay.

7 MR. HAAG: The corrective action programs,  
8 the CAPs, and special programs that pat mentioned,  
9 those twenty-nine unique programs that was meant to  
10 address historical issues, the TVA, our inspection  
11 program, inspection procedures don't address those.

12 We have temporary instruction out, but  
13 they're very general in nature so we've had to  
14 customize and develop individual inspection plans--

15 MEMBER SIEBER: Okay.

16 MR. HAAG: --that, that would really lay  
17 our what we want the inspectors to do, sample size,  
18 and, that's how we're using, bridging those type of  
19 gaps.

20 MEMBER SIEBER: Okay. Now, the work that  
21 you've done to sort of customize the inspection manual  
22 and your inspection procedures to match Watts Bar,  
23 will they be useful in developing new inspection  
24 procedures or new units that are beginning  
25 construction right now? Region Two is responsible for--

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 -

2 MR. HAAG: Yes.

3 MEMBER SIEBER: --all the construction  
4 activity, so, that comes with important, another  
5 issue.

6 MR. HAAG: I believe they would be looked  
7 at, but for those examples I just laid out, I don't  
8 believe it would be applicable. A refurbishment--

9 MEMBER SIEBER: Well, refurbishment  
10 obviously--

11 MR. HAAG: --for refurbishment, the CAPS  
12 and SPS--we are--

13 MEMBER SIEBER: That might be in a couple  
14 of instances, but not across the board, you're right.

15 MR. HAAG: We did recognize that Watts Bar  
16 Two, our inspection would give us some opportunities  
17 to maybe pilot some of the new regulatory processes  
18 that will be envisioned for part fifty-two, and we  
19 stated that, as appropriate, we would be doing that.

20 MEMBER SIEBER: Okay.

21 MR. HAAG: And we haven't taken on a  
22 process wholesale and said we're going to pilot it,  
23 but, for example, PI&R. I would say that, that is an  
24 example of where we're taking the methodology that had  
25 been used, has been used over the last ten, five, ten

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 years for operating sites, trying to customize it for  
2 construction site application.

3 MEMBER SIEBER: Yes.

4 MR. HAAG: And then, during inspections for  
5 the Part Fifty-Two plants. Hopefully, they'll use  
6 lessons learned that we have as far as how you have to  
7 make that change.

8 MEMBER SIEBER: Do you, when you look out  
9 into the future, do you see the development of  
10 construction and inspection procedures and engineering  
11 inspection procedures for Part Fifty-Two plants as a  
12 big job, or a modest job?

13 MR. HAAG: It's, it's a huge job. I mean,  
14 staff in Region Two, and the NRO staff has, a large  
15 part of their effort has been in developing  
16 infrastructure. You know, the programs, the  
17 procedures, and how we're going to inspect.

18 MEMBER SIEBER: So, do you believe the  
19 agency is aware of the size of this job? Because, in,  
20 my view of it is that it's a big job, there's a lot of  
21 things that are different now than they were when  
22 construction, the last construction boom was going on.

23 As far as resource allocation is  
24 concerned, to actually get the work done. Do you think  
25 that, do you think that's been properly communicated

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 so that the commissioners and the executives are fully  
2 aware of it?

3 MR. HAAG: At least from my perspective. I  
4 mean, I'm in the construction organization in Region  
5 Two for inspection. I'm focused on Watts Bar Two. I  
6 hear the interactions and the activities they have at  
7 Part Fifty-Two and I can tell you that they are  
8 significant.

9 There's a huge staff down there who are  
10 both developing the programs, the processes, and how  
11 they want to do business. And I know that, you know,  
12 they have routine briefings, so, from my perspective,  
13 that is getting communicated, but, you know, certainly  
14 NRO and Region Two people who are dealing with Part  
15 Fifty-Two would be the experts there.

16 MEMBER SIEBER: Yes, it's been two years  
17 since we've been down to Region Two and it was  
18 discussed at that time that, as time goes on, I see  
19 the, the, at least as I see the elements of the scope  
20 firm up a little bit, it seems to me like there's a  
21 lot of work to do.

22 MR. HAAG: Yes, you're right. There is.

23 MEMBER SIEBER: Okay. Thank you.

24 MR. HAAG: Okay. The next point I want to  
25 mention was our mid cycle review. Again, we followed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the ROP process in setting up how we wanted to assess  
2 performance, particularly construction performance, by  
3 TVA on Watts Bar Unit Two.

4 So, we've completed the mid-cycle review  
5 that was held back in July of this year, and overall  
6 we felt like the construction programs and activities  
7 were being properly implemented. There were no trigger  
8 points, as we've defined in the program, that would  
9 cause us to elevate our inspections.

10 We have--we used traditional enforcement,  
11 that would be analogous to, in the ROP, you have color  
12 findings. And we didn't have any escalated enforcement  
13 to cause us to enhance our inspections above and  
14 beyond what had already been laid out. So it's pretty  
15 much the outcome of our mid-cycle review.

16 In preparation for the Mid-Cycle Review,  
17 we looked at the past twelve months, both inspection,  
18 findings, issues that we've identified, inspection  
19 effort. And I wanted to point out there, was that,  
20 during that past twelve month review, we looked at  
21 number of inspection hours related to Watts Bar Two  
22 and we were surprised to see that we were right at the  
23 10 FTE allocation.

24 I think that's good news and it's also a  
25 reflection of what's to come. Good news in that we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 aren't using resources that have been given us as far  
2 as our inspection Watts Bar Two, recognizing, you  
3 know, the increase inspection effort, certainly going  
4 to happen over the next year or so.

5 Having said that, I feel confident that we  
6 have enough inspector assigned to the Region. I  
7 mentioned the last time I was here that we've taken  
8 all of our inspection activities and we've assigned an  
9 inspection order, so everyone understands their scope  
10 of work.

11 Clearly, our expectations to the  
12 individual inspectors are, you know, you need to map  
13 out what work you need to do, and if there's problems  
14 in not being able to accomplish that over the next  
15 period of time, you need to let us know.

16 And we hold periodic meetings with the  
17 inspection staff as far as where they're at in  
18 accomplishing their inspections, you know, are there  
19 problems that are arising where they see difficulty,  
20 and I take all that into consideration when I say I  
21 believe we have sufficient resources to complete the  
22 inspection program.

23 We'll know, you know, as we get closer to  
24 completion of construction and our inspections have to  
25 ramp up because we've got a lot of things we want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 look at. We may be borrowing people, we may be having  
2 to increase, certainly, above that 10-FTE burn rate,  
3 but hopefully it's going to be for short periods of  
4 time.

5 MEMBER SIEBER: Thank you.

6 MR. MILANO: We're fully staffed from the  
7 resident inspection standpoint. We had our third and  
8 fourth resident inspectors come on, on board, back in  
9 March and July of this year. That's our current staff.  
10 We don't anticipate going any higher than that.

11 We just, I just recently selected a new  
12 construction senior resident inspector. Bill Riordan,  
13 our current resident, current senior for construction  
14 is going to be retiring at the end of this year. So,  
15 we've got a new senior in place, and they're doing a  
16 turnover during these three months prior to the end of  
17 the year.

18 And that, the last bullet on this slide  
19 was to recognize an effort that, when we started  
20 looking at the increase of construction inspection and  
21 there have been a few issues coming on, happening with  
22 Unit Two construction work impacting Unit One, we  
23 recognize that we need to ramp up our oversight  
24 efforts on what controls TVA has in place and how  
25 effective those controls are to prevent Unit Two from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 adversely affecting Unit One.

2 We issued a regional Office notice that,  
3 that formally lays out the activities that we're  
4 doing, and they involve both the Unit One and the  
5 resident inspectors with specific activities, whether  
6 its making sure they're communicating on some periodic  
7 frequency, attending meetings with TVA where they're  
8 talking about their controls they have in place, and  
9 actually we implemented some proactive inspections.

10 This would be another area that goes  
11 beyond what our inspection procedures as they  
12 currently exist, we implemented additional things,  
13 again, really to look at the controls to make sure  
14 that TVA has that in, in sight and preventing these  
15 things from happening.

16 Going to the next slide, just some of the  
17 activities we've been doing from an inspection  
18 standpoint. The inspectors that are assigned to the  
19 Unit two welding inspections recognize the importance  
20 of some earlier weld repairs that were being done on  
21 the RC--RCS piping welds.

22 So, they concentrated on those, to make  
23 sure that they understood TVA's plans and what they  
24 were doing in, in their final inspections. So we had a  
25 concerted effort of the regional inspectors with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 expertise in welding and metallurgy look at these weld  
2 repairs.

3 And one in particular was the hot leg  
4 weld. This was the V.C. summer crack location, making  
5 sure that we felt that TVA was complying with the  
6 codes and requirements as far as that, that repair.

7 MEMBER BONACA: Was this, was this a  
8 defective weld?

9 MR. HAAG: This was a defect that they  
10 identified during RT inspection. One of the corrective  
11 action programs they have in place for welding, and  
12 they were, looking back at the quality of welds, and  
13 quality of RTS, and looking for defects.

14 They identified a number of problems with  
15 some of the RTS and had to go back and do some  
16 reshoot--reshooting the RTS and identifying some  
17 flaws. And, this was a repair, because of that effort.

18 MEMBER BONACA: Yes. Just a, I mean, does  
19 this have any generic implications?

20 MR. HAAG: As far as the cause of the flaw,  
21 implications to other welds, I'm not familiar with  
22 that. I know our inspectors are specialists, welding  
23 inspectors in Region Two looked at that, identified it  
24 as an area that we certainly wanted to have oversight  
25 presence on and performed that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SIEBER: Yes. It seemed to me the  
2 summer flaw had to do with the composition of  
3 different materials in the weld, and--

4 MR. HAAG: Yes. And I just mentioned that,  
5 as far as it was the weld location, it was that,  
6 dissimilar, it was part of the--

7 MEMBER SIEBER: Okay.

8 MR. HAAG: --reactor vessel to the RCS  
9 piping, and that's one of the reasons we focused on  
10 that.

11 MEMBER SIEBER: Yes. But you, you, you  
12 can't tell us at this time whether the cause of the  
13 flaw is the same as the summary cause or not?

14 MR. HAAG: I'm not, I'm not making that,  
15 that, that--

16 MEMBER SIEBER: Okay--

17 MR. HAAG: --assertion, no. Other than  
18 just--

19 MEMBER SIEBER: Okay.

20 MR. HAAG: --it was the weld, the RCS weld  
21 in particular.

22 MEMBER SIEBER: Something for us to  
23 research a little bit, because that is an interesting-  
24 -

25 CHAIR RAY: Well, let's stop here and ask

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the Applicant if they want to comment.

2 MEMBER SIEBER: Yes.

3 MEMBER RYAN: Yes.

4 MR. BAJESTANI: This is--

5 CHAIR RAY: Why don't you step to the  
6 microphone, there, Masoud.

7 MR. BAJESTANI: I think Bob mentioned, part  
8 of our CAPs, a special program, one of the program  
9 that actually we have, which is really program that we  
10 had for Watts Bar Unit One was welding program. We had  
11 some deficiencies as far as some of the weld, some of  
12 the RT shots, the densities, so on and so forth.

13 Based on what we did on Unit One, we  
14 picked that program, we actually have about 400 welds,  
15 you know, essentially the extend of condition, there  
16 are 400 welds that we had to go back, do another RT  
17 shots. Part of those RT shots that we did, we found  
18 some more problems, and we are fixing every one of  
19 those. So it's not just isolated to those one or two  
20 specific, there are over 400 that we are looking at.

21 MEMBER SIEBER: And it wasn't necessarily  
22 driven by summer, it was driven by your own  
23 reexamination program.

24 MR. BAJESTANI: Exactly.

25 MEMBER SIEBER: Okay.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: Well. But still, I think the  
2 obvious question is, what's your opinion? Is this,  
3 defined, a problem of some cause, it was, don't know  
4 why, but in the same location as a crack found  
5 elsewhere. Obviously you want to know, is this merely  
6 a coincidence, or is it something systemic.

7 MR. BAJESTANI: Well, again, this goes back  
8 to really what we did part of Unit One, we did the  
9 root cause analysis, we had to beef up our process and  
10 procedures, welding process and procedures.

11 CHAIR RAY: Okay, I understand what caused  
12 you to find it. What I'm asking though is did you  
13 consider whether the cause was the same as the cause  
14 that was attributed at summer?

15 MR. BAJESTANI: I guess I did not look at  
16 it from the summer perspective--

17 CHAIR RAY: It's like a Part Twenty-One  
18 issue--

19 MR. BAJESTANI: Right.

20 CHAIR RAY: --is it something that has  
21 generic implications.

22 MR. BAJESTANI: Right.

23 CHAIR RAY: That, that's the point.

24 MR. BAJESTANI: Yes. We, we need to take a  
25 look at it, but, again, this program is really part of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Unit One.

2 CHAIR RAY: All right.

3 MR. BAJESTANI: Another thing, let me ask  
4 Robert to see if he can expand on that.

5 MR. PHILLIPS: Yes. Robert Phillips, TVA  
6 senior metallurgical engineer. One of the things we  
7 did do in regards to V.C. summer, I think if you go  
8 back and look at the root cause, that one was because  
9 of multiple weld repairs that had occurred in there.

10 And so, it, it, it was also, it had been  
11 in operation and seen service for--at Watts Bar Unit  
12 Two, I was haven't seen any services, but it was at a  
13 dissimilar location. So we went back and we, as a--

14 CHAIR RAY: At a dissimilar location?

15 MR. PHILLIPS: Sir?

16 CHAIR RAY: You said it was at a dissimilar  
17 location, is that what you--

18 MR. PHILLIPS: Yes, a dissimilar--

19 CHAIR RAY: It was at the, the same  
20 location but a dissimilar metal weld, okay. I got it.

21 MR. PHILLIPS: Right, yes, sir. Where you  
22 have Incanel and stainless involved.

23 CHAIR RAY: Yes, I know. Okay. I  
24 understand.

25 MR. PHILLIPS: Certainly, but as Mr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Bajestani had pointed out to you, what we primarily  
2 focused on was the themes that had occurred and we  
3 went back and looked at all the film and checked  
4 densities, and went down to make sure that we complied  
5 with all the rules and regulations on 1974 code.

6 MEMBER BONACA: My question was--my  
7 question was, not question in your action, activities,  
8 you go on back and reviewed and done. The question  
9 that comes in my mind is, is it something that is  
10 specific to the location and the welding complexity  
11 that may be at other plants? Should it be a part  
12 twenty-one?

13 CHAIR RAY: That's why I referred to Part  
14 Twenty-One. Does it have some generic lesson, Jack?

15 MEMBER SIEBER: Yes, I think what I heard  
16 as part of the earlier answer was that you had  
17 concerns about reading radiographs that had to do with  
18 densities, which has to do with the way the film  
19 responds to the exposure.

20 And so, it may not necessarily be an  
21 actual flaw, but you can't tell because the radiograph  
22 plates don't show clearly enough. Is that a correct  
23 explanation of what was, that's what I got out of the  
24 discussion on density.

25 MR. BAJESTANI: That was part of it. Part

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of this 400 RT shots that we hit, we did, is because  
2 of that.

3 MEMBER SIEBER: You couldn't actually read  
4 the radiographs to draw a definitive conclusion, is  
5 that a fair statement? Or was--

6 MR. BAJESTANI: I think it's a combination,  
7 because we did have some issues with the process that  
8 we were looking at, doing actually the weld, so we  
9 have incorporated all this now into the new procedure  
10 that we have. So, I think it's a combination. We can,  
11 we can go back--yes.

12 MEMBER SIEBER: Okay. I think I get--

13 MR. BAJESTANI: But, the question that  
14 comes up is really you're looking at from, from really  
15 Part Twenty-One on this specific weld that we are  
16 doing. I've got to go back and re-look at that.

17 CHAIR RAY: Did you reshoot the weld before  
18 repairing it?

19 MR. BAJESTANI: Yes.

20 CHAIR RAY: Okay. So the earlier radiograph  
21 was just a trigger for you to do something, but we're  
22 still trying to figure out, is there something in what  
23 you ultimately found, however you found it, that  
24 should be recognized as having implications beyond  
25 Watts Bar?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           That's the question that's, the  
2 implication of a Part Twenty-One report is to try and  
3 surface those sort of things so people will be aware  
4 of them. And, I, that's the only reason why you're  
5 asking these questions.

6           It's not to question what you did, but to  
7 figure out if there's some information that ought to  
8 be recognized as having broader implication, that's  
9 all. What's your opinion on that, Masoud?

10           MR. BAJESTANI: I guess, what I'm saying  
11 is, since we went through all this, same issues on  
12 Unit, on Unit One, if there was Part Twenty-One,  
13 specific Part Twenty-One, obviously we issued that,  
14 went through Unit One. But we'll go back, check that  
15 to make sure that that happened.

16           Really, this is a continuation of the  
17 problem identification back in 1985, where we're not  
18 under Part Twenty-One r some sort of non-conformist  
19 report, we'll go back and check that.

20           CHAIR RAY: Only issue is whether there's  
21 something that has applicability beyond you, not what  
22 you did.

23           MR. HAAG: Right.

24           CHAIR RAY: What you did is unexceptional.

25           MR. BAJESTANI: That's right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIR RAY: But the issue is, is there  
2 something that we should recognize as broader  
3 implications, like a particular weakness or  
4 susceptibility or vulnerability of this location,  
5 something like that.

6 MR. BAJESTANI: I'm saying that, I've got  
7 to go back and get this--

8 CHAIR RAY: All right.

9 MR. BAJESTANI: --corrective action that we  
10 put in place and look at it, see if there are some  
11 lessons learned that we need to--

12 CHAIR RAY: I'll leave it to you, because I  
13 assume you'll be responsible and say this is unique to  
14 our situation, or--

15 MR. BAJESTANI: Exactly. Right. We look at  
16 it then get back to you.

17 CHAIR RAY: All right.

18 MR. HAAG: Continuing on with our  
19 inspection activities, I wanted to mention the vendor  
20 that, vendor inspection that was done earlier this  
21 year. One of the things that we struggled with was to  
22 recognize how our inspection program really promotes  
23 vendor inspections, because if you look at it, there's  
24 very little guidance on performing vendor inspections.

25 Back in the Seventies and Eighties, they

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 had a very robust, NRC did very robust inspection,  
2 vendor inspection program, and they were very  
3 proactive in going up, looking at vendors. That  
4 doesn't exist right now, at least as part of the NRR  
5 effort.

6 So, the, the, the Watts Bar WREG asked us  
7 to go back and look at opportunities to do a vendor  
8 inspection, and if there were ones that would be  
9 meaningful. The NRR vendor Branch and the Region Two  
10 inspectors collaborated on coming up with a vendor  
11 inspection of Bechtel.

12 We thought that would be useful in, in  
13 looking at their oversight, Bechtel's oversight of  
14 procurement activities, vendor supply and services for  
15 Watts Bar Two projects. So, that was done early this  
16 year.

17 MEMBER SIEBER: Do you find greater use  
18 these days of commercial dedication as opposed to  
19 Appendix B vendor qualifications for materials and  
20 components that are being purchased?

21 MR. HAAG: I mean, I can give you an answer  
22 from what we've been inspecting--

23 MEMBER SIEBER: Right.

24 MR. HAAG: --and what we're looking at,  
25 certainly TVA would be the best, you know, we still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need a response to that.

2 MEMBER SIEBER: Maybe each of you could  
3 address that.

4 MR. BAJESTANI: I'm sorry, we didn't hear  
5 the question.

6 MEMBER SIEBER: Question is, in today's  
7 vendor climate, do you find fewer vendors qualified  
8 under Appendix B to supply qualified components that  
9 there were, like, twenty years ago, and because of  
10 that, must you employ commercial dedication more often  
11 to new components that you're purchasing for  
12 installation at your plant? And, if so, what do you do  
13 to do a commercial dedication?

14 MR. BAJESTANI: Okay. The, the, the answer  
15 to your first question, there are less number vendors  
16 that we have now versus--

17 MEMBER SIEBER: Right.

18 MR. BAJESTANI: --early eighty, for sure.  
19 That's, we are experiencing that, when you want to go  
20 to, ASME section three valve, essentially, we got  
21 couple of vendors that we have to go to, two, three of  
22 them, that's it, so it is a little bit.

23 Now, the commercial dedication, on the  
24 instrument, on the electronic part of it, we have had  
25 Steve to talk about what we are doing, actually.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. HILMES: Most of our site related  
2 instrumentation is being purchased from, you know,  
3 either Foxboro or Westinghouse, who have an Appendix B  
4 programs.

5 MEMBER SIEBER: Okay.

6 MR. HILMES: What we, I had noted is,  
7 Westinghouse relies a lot on commercial grade  
8 dedication of subcomponents or software, things along  
9 those lines. That's being reviewed, actually it's one  
10 of the activities--

11 MEMBER RYAN: Could you speak up just a  
12 little, please?

13 MR. HILMES: That's one of the primary  
14 activities we've been going through with NRR is their  
15 commercial grade programs, and reviews of those.  
16 Foxboro is less reliant on it.

17 But we have some subcomponents, some  
18 components out in the field that we use third-party  
19 vendors. And, you know, who dedicate the products for  
20 us, I don't think we've had major challenges along  
21 those lines.

22 MEMBER SIEBER: Yes, well, they're--I guess  
23 in the latest proposed regulatory staff guide that's  
24 about to be published, subcomponents like circuit  
25 cards and so forth, which, testing program that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 verifies the outputs are okay, can somehow or other be  
2 qualified and considered as safety grade if it meets a  
3 parameter of attributes into which that fits.

4 That, to my knowledge, has not been  
5 extended to mechanical to straight electrical  
6 components beyond the I&C field. Is that basically  
7 correct?

8 MR. HAAG: I am not familiar with that.

9 MEMBER SIEBER: Okay. Well, a lot of that  
10 is still under development, and I guess we have to  
11 wait for--there is sort of a little bit of a cloudy  
12 area there, and I don't think there's a vulnerable--a,  
13 a physical vulnerability associated with it, but,  
14 because most of the stuff has now been earned, so.

15 There is, I think there is an issue when  
16 Appendix B qualified suppliers, the number of them  
17 drops off, it makes it much more difficult to--

18 MR. BAJESTANI: That's absolutely true.

19 MEMBER SIEBER: Okay.

20 MR. HAAG: And our inspection program does  
21 have us look at procurement activities, both from a  
22 program standpoint, do we have a program in place, and  
23 implementation of any of our individual inspection  
24 procedures or instrumentation would go up there and  
25 look at, on a sampling basis, how are they procuring

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 instruments, how are they storing instruments, how are  
2 they doing receipt inspection.

3 MEMBER SIEBER: Right.

4 MR. HAAG: And that kind of leads us into  
5 my, my next bullet. We have seen some problems with  
6 material procurement and storage. Isolated cases where  
7 either all the procurement requirements, design  
8 requirements, weren't in, inputted into the  
9 procurement requirements, and therefore when they get  
10 something from a vendor, questioning whether it's, the  
11 quality is there.

12 We've identified some examples there, and  
13 we've also identified some problems with the storage.  
14 So we've increased our efforts there in looking at  
15 TVA's corrective actions.

16 MEMBER SIEBER: Okay.

17 MR. HAAG: The independent design  
18 verification program inspection, IDVP, we're well  
19 underway as far as our planning and determining what  
20 we want to do for that effort. That was one of the  
21 things that we had done, either IDVPs or integrated  
22 design inspections back in the Eighties.

23 But, questioning how we want to do that  
24 for Watts Bar Unit Two was really something we needed  
25 to look at as far as the uniqueness of this program

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and how we're taking many of the Unit One designs and  
2 making them applicable to Unit Two.

3 And, and, also the fact that now there's  
4 going to be faced with moving that operation, now,  
5 there's particular areas that we want to focus on  
6 doing our operation from design standpoint.

7 So, if we came up with, and also  
8 recognizing that TVA's initiative, as Masoud was  
9 talking about, as far as their independent assessment,  
10 their engineering effort, be able to take that and  
11 review the results of that, do some independent  
12 verification to be able to have some assurance that  
13 the outcome that they're going to reach in that  
14 inspection, whether we trust that or we think there's  
15 additional need.

16 So we've, we've come up with a plan, we  
17 briefed, the last WREG meeting, we briefed them as far  
18 as our, our position going forward. We got  
19 acknowledgment to move in that direction. NRR is  
20 writing an inspection procedure that takes parts of  
21 the existing guidance and kind of customizes it for  
22 Watts Bar Unit Two.

23 We have a team leader who's been selected  
24 for that effort. We're engaging NRR in coming up with  
25 a contractor support inspectors, recognizing that NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has very few inspectors with the detailed design  
2 background that you really need for this type of  
3 inspection.

4 So, we're going to be using contract  
5 inspectors, similar to the CDBIs that are being done  
6 on the operating site. Our plans are to perform a two-  
7 week inspection, either in January, February, where  
8 we've got the team leaders actually observing TVA's  
9 efforts this week, so we'll be able to see that  
10 firsthand.

11 We'll review their report, which will be  
12 issued in, probably sometime in November, factor in  
13 how we want to go about doing our inspection in that  
14 area. And then, preparations for preoperational  
15 testing.

16 That's certainly something that we have  
17 understood and recognized we need to prepare for.  
18 While our focus has been on construction inspections  
19 and trying to get those accomplished, we don't want to  
20 let this get too far ahead where we're not prepared  
21 for preop testing.

22 My sense is though, for us, to really get  
23 into the inspection of the preop testing, it's not  
24 going to take place until sometime next year. They may  
25 be doing some preop testing later this year, it's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 going to be on non-safety systems and we're not going  
2 to spend much time looking at those.

3 One other thing that we're looking at as  
4 far as the transition for oversight responsibilities  
5 for Watts Bar Two going from a construction staff  
6 having oversight responsibilities to the operations  
7 staff, the Division of Reactor Projects, and how we're  
8 going to phase that in, what are the milestones that  
9 we're going to use for the handoff, as far as lead  
10 responsibilities.

11 And, we're, we've got a plan, we're  
12 briefing senior management in the Region as far as how  
13 we're going to accomplish that. Going onto  
14 refurbishment activities, I think, mentioned earlier,  
15 we talked about that inspection procedure, 37002, was  
16 issued specifically for our inspection of  
17 refurbishment.

18 We actually had one of our senior  
19 inspectors draft that report, or draft that inspection  
20 procedure, and incorporated many of the things that we  
21 felt were important both in looking at scoping and  
22 making sure that TVA has incorporated the right, the  
23 right SSCS into the program and then looking at the  
24 actual activities, making sure they're, they're  
25 accomplishing those, as the procedures require.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           So we've got an active role in developing  
2 that inspection procedure, and its broken down really  
3 into two major parts. The first part would be scoping,  
4 you know, Pat mentioned earlier, they have a program,  
5 the program guidance kind of is overarching, defines  
6 how they want to look at degradation mechanisms and  
7 apply those to SSCS.

8           What we did, from our scoping standpoint,  
9 we did a sampling of several systems and making sure  
10 they have all the components, all the systems, all the  
11 passive items within their, within their, they've  
12 identified them, and they have plans to do something  
13 with them.

14           That was part of our scoping inspection,  
15 that was a team inspection that we did back in June,  
16 and for the most part we felt like they have the right  
17 component systems and structures identified as far as  
18 wanting to do something, you know, they've got plans  
19 to do something.

20           So, the next step would be the  
21 implementation, and we've broken that down into  
22 passive, active components and we've got sample size  
23 for the different mechanical, electrical I&C systems,  
24 several area.

25           And that's continuing on, as far as our

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 inspection of implementation and, you know, they've  
2 gotten identified as they want to work on, you know,  
3 are they properly implementing their program  
4 requirements, do we think they're, you know, diligent,  
5 are they really getting this equipment back to this  
6 design state where it needs to be to support licensing  
7 of the plant.

8 And again, that's ongoing and I anticipate  
9 we'll be doing that through the majority of next year.  
10 One of the things that we had build into the  
11 inspection procedures that, our sample size, we want  
12 to make a smart sample size, obviously.

13 We can't look at the thousands of  
14 components they're doing from a refurbishment  
15 standpoint, so, are we smart in doing our selection,  
16 and we're both focusing on, PRA risk perspective into  
17 that sample, and also the degradation mechanisms.  
18 What, what's the potential damage that some of these  
19 degradation mechanisms can cause on the equipment?

20 And one other thing that we factored into  
21 our sample selection is the vulnerability of the  
22 activity to be successful or not successful. And, let  
23 me give you an example of that.

24 When we looked at, they talked about  
25 refurbishing pumps, one of the things we wanted to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 focus on were the pumps that are going to be  
2 refurbished on-site by the Bechtel craft versus pumps  
3 they're sending back to the original manufacturer for  
4 refurbishment.

5 We certainly feel like there's more of a  
6 vulnerability, that they may not be getting it right  
7 on the ones they're doing on site, so we're spending  
8 our oversight focusing, advising oversight for this  
9 type of activities.

10 Pumps are just one example, there are  
11 other examples of where, again, trying to make a smart  
12 sample selection because of just the number of  
13 activities that are ongoing, we certainly can't look  
14 at all of those.

15 That's pretty much it for refurbishing,  
16 any questions on either that program or our inspection  
17 efforts?

18 MEMBER RYAN: No.

19 CHAIR RAY: Okay. Seems straightforward.

20 MR. HAAG: Thank you.

21 MR. MILANO: Next slide. I would like to  
22 conclude the staff's presentation just recapping some  
23 of the, some of the items. You know, the staff's, the  
24 staff's review is continuing, and with however we have  
25 experienced some delays, we initially hope to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 completed with all our reviews by the end of this  
2 year.

3 And as we indicated with this critical  
4 path items, some of the items are going to proceed  
5 into, into early 2011 before we can complete them. The  
6 milestones for 2011 is, again, to complete most of the  
7 technical cues by the first quarter of next year.

8 The safety evaluation report and the final  
9 environmental statement for the operating license  
10 currently plan to be complete in June of 2011. At  
11 that, after that time, we will then be looking to come  
12 to the ACRS full Committee for it's review and  
13 decision recommendation.

14 And, also, concurrently, there will be,  
15 the Atomic Safety and Licensing Board will be  
16 conducting it's hearing in, and hopefully providing  
17 it's decision to the Commission. The regional staff  
18 with, probably with assistance from the headquarters  
19 offices, will be conducting an operational readiness  
20 assessment in the fall of 2011.

21 And, likewise, also, there will be  
22 certifications on both the part of, of TVA and also  
23 the regional staff, certifying that the plant has been  
24 built and inspected and complies with, with the, or  
25 with the design requirements. Next page.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           As I initially indicated, our last item  
2 that we wanted to cover today was an expectation for  
3 our interactions with the Subcommittee over the course  
4 of, specifically, the next, the next meeting in  
5 February. But, but generally, for the three meetings  
6 that we plan to have next year with this Committee.

7           Again, we currently have been working with  
8 your staff and we have initially identified  
9 Subcommittee meetings for February, May, and July of  
10 next year. In the sequence of the, the sequence of the  
11 reviews--based on this sequence of our reviews, we  
12 hope that in the, in the February 2011 time period,  
13 that when we come before you, most of the mechanical  
14 and electrical systems will be ready for, ready for  
15 presenting the staff's findings in those areas.

16           In May, we'll, we'll, current, we believe  
17 we'll be talking predominantly on that critical path  
18 items, you know, particular, the instrumentation area,  
19 fire protection, and, and possible other, other items  
20 that may, may end up being a little bit longer lead in  
21 terms of completion on the part of the staff.

22           And, leaving the July 2011 Subcommittee  
23 meeting to handle followup items, items that may come  
24 up on, especially in light of, let's say, the May  
25 Subcommittee meeting. And, finally, I'm going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mention that in the February Subcommittee meeting we--  
2 when I say most of the electrical mechanical systems,  
3 what I'm saying is, is we're going to be coming in to  
4 talk to you with, and the exceptions will be chapter  
5 seven, the instrumentation, chapter fourteen, conduct  
6 of operation, and chapter fifteen, dealing with the,  
7 transience and accidents.

8 Those, those will be, we'll be talking to  
9 you in May on. And, with that, that concludes the  
10 staff's presentation.

11 MEMBER RYAN: Great.

12 CHAIR RAY: Any further questions for  
13 staff?

14 MEMBER RYAN: No, sir.

15 CHAIR RAY: All right. We have on the  
16 agenda a provision to inquire about any public  
17 comments at this meeting. We have a line open, do we?  
18 No, we don't. All right, are there any--then, present  
19 with us here, that, members of the public?

20 Okay, hearing none, and we bring this  
21 meeting to a close. We don't anticipate, and I assume  
22 you're not expecting, a letter from the Committee at  
23 this point. It seems like we're very current with  
24 what's going on.

25 I think we've shared with everybody what

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be on our mind at this point in time, and I  
2 don't foresee at this point anything that requires  
3 more than the kind of review that you've outlined.  
4 Okay?

5 MR. MILANO: Thank you.

6 MEMBER BONACA: May I ask just a question--

7 CHAIR RAY: Yes, Mario--

8 MEMBER BONACA: You have a significant  
9 experience in restarting a plant, with Browns Ferry  
10 One. How do you bring that expertise to start this  
11 plant?

12 CHAIR RAY: It's a good question that they  
13 addressed at length in our visit at the site, but you  
14 weren't there, so--

15 MEMBER BONACA: I wasn't there, no.

16 CHAIR RAY: --so I'll ask Masoud to  
17 summarize again.

18 MR. BAJESTANI: Okay. We have a lot of  
19 lessons learned from Brown's Ferry. Some of the, I'm  
20 just going to point out two or three things that,  
21 really, it was significant and what are we doing about  
22 it.

23 One was, on the balance of plant, the  
24 construction completed late. We really didn't have  
25 enough run time on secondary site. So, what we did, on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Watts Bar, we came in and put that plan in place so we  
2 make sure the secondary site is in place early enough  
3 that we can run and get some run time, that we can fix  
4 all the problems.

5 As a matter of fact, we are on schedule to  
6 have the turbine and turning gear in October. And, as  
7 Pete mentioned, we are retesting some of the secondary  
8 site, like CCW pumps and the oil system and so on and  
9 so forth. So, that was one of the major lessons  
10 learned.

11 The other thing that we learned, was a lot  
12 of, we lost a lot of our startup engineers, which they  
13 were contractors, actually, when we needed them, at  
14 the end of the project. So, what we decided to do, is  
15 we go ahead and hire some TVA engineers to run some of  
16 the startup.

17 So, Pete, actually, which he is our  
18 startup manager, hired twenty-five TVA engineers to  
19 run some of those tests, and they're actually running  
20 some of those tests. We had some specific construction  
21 lessons learned, like the compression fitting and  
22 instrument sensing lines, and so on and so forth, that  
23 would pick those.

24 We brought them here, we put in a specific  
25 Unit procedure, we provided training for the craft,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 how we missed it at Browns Ferry, what caused, you  
2 know, what are some of the training that we need to  
3 do.

4 So, we brought home all those lessons, we  
5 put them either in our process or procedures, or we  
6 trained the craft to a specific requirements to make  
7 sure we don't have some similar type of problems.

8 MEMBER BONACA: Thank you.

9 CHAIR RAY: Anything else? All right,  
10 hearing nothing, we will adjourn.

11 (Whereupon, the above-entitled matter  
12 under investigation was taken off the record at 11:55  
13 a.m.)

14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



*ACRS Subcommittee Meeting Regarding  
Watts Bar Nuclear Plant Unit 2  
Status of Licensing and Inspection  
Docket No. 50-391*

*October 6, 2010*

## Agenda

- Action Items from Last Meeting
- Current Status of Project
  - TVA
    - Engineering and Construction
    - Refurbishment Program
  - NRC
    - Licensing
    - Construction Inspection
- Expectation for Next Meeting

## **Action Items from Last Meeting**

- Pre-service condition and refurbishment
- Aging of buried pipe and cable
- Safe Conduct of Integrated Safeguards Test
- Watts Bar Reactivation Assessment Group

## **Reactivation Assessment Group**

- Revised charter to delete voting criteria
- Meetings
  - September 2009, and January, May, and September 2010
  - Held meeting with TVA on January 12, 2010
- WRAG Action Item List being tracked, resolved, and documented for closure

A large, stylized graphic of an atomic symbol, consisting of a central sphere and three intersecting elliptical orbits, is positioned on the left side of the slide. The top portion of the slide has a blue background, and a horizontal orange band runs across the middle. The title text is centered in the blue area.

*NRR Presentation of  
Status of Licensing  
Activities*

## **Status of Operating License Application**

- Safety, environmental, and program reviews continue
- Critical path items and project milestones identified
- Staff Review Status
  - Resolution of open items in safety evaluation report
  - Generic communication items
  - Corrective action program plans
  - Programs – security, emergency preparedness, fire protection, anti-trust, quality assurance
  - Technical Specifications

## **TVA Refurbishment Program**

- Program Elements
  - Passive and active components
  - Material and environment
  - Degradation mechanisms
  - Susceptibility
  - Inspection methods
- Engineering review with system insights
- Procedures and Implementation

## TVA Refurbishment Program

- Staff Assessments
  - Scope of Program is comprehensive
  - Adequate/appropriate evaluation criteria identified
    - Based on design and procurement specifications
    - Specifics enumerated in implementing procedures
  - Scope of refurbishment and replacement adequate
  - Validation of degradation mechanisms, environmental contribution, and susceptibility
  - Verification of condition by inspection, test, and evaluation

## **Safety Evaluation Report Topics**

- TVA amendments to FSAR received (A92 to A100+)
- Staff review in progress
  - Supplements to original SER
  - Unit 1 current licensing basis (USAR) – reference for Unit 2
  - Most reviews complete in early 2011
  - Project challenges

## **Corrective Action Programs**

- Developed in 1985 in response to NRC letter regarding identified construction deficiencies
- 29 Corrective Action and Special Programs
- Staff completed program reviews
- Inspection of implementation in progress

## Generic Communications

- Approach to review
  - Reviews completed during licensing of Unit 1 (pre-1995)
  - Pre-1995 items reviewed with applicable SER sections
  - Items issued after 1995 separately reviewed
- Status of generic communications in SSER 21
  - Post-1995 items - Review completed – 23 of 25
  - Pre 1995 Items

## **Final Environmental Statement**

- NUREG-0498, Final Environmental Statement (December 1978)
  - Supplemented in 1994 for Unit 1 operation
- TVA Final Supplemental EIS, February 2008 and January 2009
- Status of review
  - September 2009, notice of intent to prepare supplement to FES-OL for Unit 2 and conduct a scoping meeting
  - October 2009, public meeting near the site regarding environmental scoping process and to obtain comments
  - Expect to publish Draft Supplement for Unit 2 in November

## **Status of Program Reviews**

- Radiological Emergency Plan
  - Interim FEMA finding on off-site planning
  - Staff input on onsite planning prepared
- Physical Security Plans
  - Staff input on plan prepared
  - Awaiting TVA completion of target sets
- Fire Protection Program
  - Final Fire Protection Report due in December 2010
- Startup Test Program

## Critical Path Items

- FSAR Chapter 7 – Instrumentation
  - Common Q – post-accident monitoring – digital upgrade
  - Non-safety control systems – digital upgrades
- Fire Protection Program
- Supplement to Final Environmental Statement



*Region II Presentation  
of Status of  
Construction  
Inspection Activities*

## Inspection Activities

- Resident and regional inspections increasing
- Completed second PI&R team inspection
- Performed 2010 Mid-Cycle review
  - construction programs and activities properly implemented
  - no significant performance issues were identified
- RII staff hours at burn rate of allocated 10 FTE/ year
- Four construction resident inspectors assigned
- Guidance issued for U1 and U2 resident inspectors to inspect construction activities to ensure Unit 1 not adversely impacted

## **Inspection Activities (Cont.)**

- Inspected repairs of RCS piping welds including a hot leg inconel/SS weld (V C Summer crack location)
- Vendor inspection – Bechtel oversight of vendors supplying services for WBN2 construction
- Focusing on material procurement and storage – several violations identified in this area
- Planning for Independent Design Verification Program (IDVP) inspection
- Preparing for system preoperational testing (IMC 2513)

## **Refurbishment Activities**

- Inspection guidance provided by IP 37002
- Scoping team inspection - verified appropriate SSCs included in the program; passive and active items reviewed
- Ongoing review of implementation activities including inspections, rebuilds, and replacements
- Samples selected based on risk significance and potential damage from degradation mechanism

A large, stylized graphic of an atomic symbol, consisting of a central sphere and three elliptical orbits, is positioned on the left side of the page. The graphic is rendered in shades of blue and white, with the central sphere being a light blue and the orbits being white with blue outlines. The graphic is partially obscured by the blue background at the top and the orange bar at the bottom.

# *Watts Bar Unit 2 Activities*

## **Conclusion**

- Staff review continuing, with some delays
- Milestones for 2011
  - Complete most technical review by 1<sup>st</sup> quarter
  - SER and FES-OL complete by June 2011
  - ACRS review and decision
  - Conduct hearing and ASLB provide decision
  - Operational readiness assessment in Fall 2011
  - Certification of as-built construction

## Schedule

- **ACRS Subcommittee Meetings**
  - February, May, and July 2011
- **Sequence of reviews before ACRS**
  - Feb 2011 – Most mechanical/electrical systems
  - May 2011 – Critical path and long-lead items
  - Jul 2011 – Follow-up issues
- **Next SC Meeting**
  - SER Sections except 7, 14, and 15




# TENNESSEE VALLEY AUTHORITY WATTS BAR NUCLEAR PLANT UNIT 2



**Advisory Committee on Reactor  
Safeguards**

**October 6, 2010**



# Agenda

---


- **Construction Completion Status** — Masoud Bajestani  
Pete Olson
- **Special Topics**
  - **Refurbishment** — Jerry Schlessel  
Ken Welch
  - **Buried Piping** - Ken Welch/Robert Phillips
  - **Buried Cable** — Steve Hilmes
- **Questions**

# WBN2 Project Completion Status



| FY 2007 |   |   |   |   | FY 2008 |   |   |   |   | FY 2009 |   |   |   |   | FY 2010 |   |   |   |   | FY 2011 |   |   |   |   | FY 2012 |   |   |   |   | FY 2013 |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |   |
|---------|---|---|---|---|---------|---|---|---|---|---------|---|---|---|---|---------|---|---|---|---|---------|---|---|---|---|---------|---|---|---|---|---------|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|---|
| O       | N | D | J | F | M       | A | M | J | J | A       | S | O | N | D | J       | F | M | A | M | J       | J | A | S | O | N       | D | J | F | M | A       | M | J | J | A | S | O | N | D | J | F | M | A | M | J | J | A | S | O | N | D | J | F | M | A | M | J | J | A | S | O | N | D | J | F | M | A | M | J | J | A | S | O | N | D | J | F | M | A | M | J | J | A | S |

DSEP



# WBN2 Construction Completion Status

---



## Engineering

- Overall Progress – 88% complete
  - Design Modifications – ~ 98% complete
  - Calculations – ~ 88% complete
  - Programs – ~ 79% complete
- Focus Areas
  - Field Support
  - Program Completions
  - Open Item Closure
- Independent Design Verification Program
  - Residual Heat Removal and Component Cooling Systems
  - Experienced Team – Eight Engineers with >25 years experience each
  - Findings

# WBN2 Construction Completion Status



## Improvement Initiatives:

- Replace All 8 ERCW Pumps to Improve Flow Margin
- Mitigating Multiple Spurious Shorts
- Reduction of Appendix R Operator Manual Actions
- Replacement of Piping Susceptible to Flow Accelerated Corrosion (FAC)
- Ice Condenser Glycol Chiller Replacement
- Double 500 kV Breaker Arrangement in Switchyard
- Add Zinc Injection System for Reactor Coolant System Passivation
- Add ERCW Strainer Bypass for On-Line Maintenance
- RG 1.200 Compliant PRA
- Retube Main Condenser
- Intake Pumping Station Diver Barrier
- RCS/Pressurizer Weld Mechanical Stress Improvement Process (MSIP)
- Additional Offsite Power Source
- Split Pin Replacement Prior to Operation
- Reduction of Pipe Support Snubbers
- Improvements to Containment Sump Performance
- Replacement of SR Limitorque Motors

# WBN2 Construction Completion Status

---



## Construction

- Overall Progress – >60% complete
- Construction Focus Areas
  - Cable Pull
  - Hangers
  - Sense and Sample Lines
  - Refurbishment Activities
- Critical Path
  - Bulk Work
  - Four Major Systems (Safety Injection, Chemical Volume Control, Essential Raw Cooling Water, Component Cooling)
  - Ice Condenser Ice Loading
- On Track to Complete Construction Activities to Support Current Fuel Load Schedule of April 2012

# WBN2 Construction Completion Status

---



## Start-up Testing

- Overall Progress
  - Nine (9) Systems Turned Over to Start-up Test Organization

Raw Cooling Water, Condenser Cooling Water, Annunciators, Foxboro Control System, Turbine/Generator Lube Oil, Turbine Drains, Seal Oil, EHC, Control Air

- First Pre-operational test scheduled for early fall (Condenser Circulating Water System in November 2010)
- Integrated Safeguards Test – Perform with Unit 1 on-line after Hot Functional Tests
- Essential Raw Cooling Water – Flow balance during Unit 1 outage Spring 2011

# Special Topics

# Refurbishment Program

---

- Equipment Scope
  - Safety Related
  - Active / Passive
- Refurbishment Program Process Steps
  - Identification
  - Classification
  - Inspection/Evaluation
  - Refurbishment/Replacement
  - Component/System Testing
- Required Outcome
  - Plant meets original licensing, design and equipment vendor specifications

# Refurbishment Program

---

## Active Refurbishment Program Status

- Safety Related Valves (all types) – 34% Complete
- Large Safety Related Pumps – 30% Complete
- Large Safety Related Motors – 40% Complete

## Passive Refurbishment Program Status

- Program in progress and on schedule
- Attributes Evaluated
  - Pipes, tanks, orifice, Heat Exchangers, Traps
  - Duct
  - Instrument Sensing lines
  - Electrical Penetrations, Disconnects and Terminal Blocks
  - No Unexpected Findings To Date

# Buried Piping

---

- No additional safety-related *buried* piping is placed in service by Unit 2 completion.
- Unit 2 safety-related *underground* piping is routed through the Unit 2 pipe tunnel to the Refueling Water Storage Tank or Primary Water Storage Tank.
  - 24" Refueling Water Storage Tank header and 6" Containment Spray test line.
  - 6" Primary Water Makeup pump suction and 3" Primary Water Makeup pump recirculation lines.
  - **Not in direct contact with soil. Entire length of piping is accessible.**
- Unit 2 non-safety-related buried piping being placed in service:
  - Condenser Circulating Water pump supply and discharge lines, cooling tower #2 blowdown and desilting lines.
  - Generator Hydrogen supply from turbine building secondary control cabinet to turbine building.

# Unit 2 Pipe Tunnel



# Buried Piping

---

- Integrity and reliable operation of all plant buried piping is ensured by Buried Piping Integrity Program (BPIP).
  - The objective of the BPIP is to provide a comprehensive program to reduce the probability and consequences of buried piping failure.
  - Program based on EPRI Report 1016456 "Recommendations for an Effective Program to Control the Degradation of Buried Pipe", December 2008.
  - BPIP established for WBN-1 and all TVA nuclear plants
  - The program addresses external (OD) corrosion and/or degradation of buried piping; it is not intended to address internal (ID) corrosion.
  - The program applies to safety-related and non-safety-related piping systems.
  - Anticipatory Program – Replace piping before an issue exists.



# Systems with Buried Piping

| <u>System #</u> | <u>System name</u>  |  | <u>System #</u> | <u>System name</u>                                      |
|-----------------|---|--|-----------------|---|
| 014             | Condensate Demineralizer                                  |  | 032             | Control Air   |
| 015             | Steam Generator Blowdown                                  |  | 033             | Service Air   |
| 018             | Fuel Oil  |  | 035             | Generator Hydrogen Cooling                              |
| 020             | Central Lubricating Oil                                   |  | 036             | Secondary Chemical Feed                                 |
| 024             | Raw Cooling Water   |  | 039             | Carbon Dioxide  |
| 025             | Raw Service Water   |  | 040             | Station Drainage  |
| <b>026</b>      | <b>High Pressure Fire Protection<br/>(safety related)</b> |  | 059             | Demineralized Water                                     |
| 027             | Condenser Circulating Water                               |  | <b>067</b>      | <b>Essential Raw Cooling Water<br/>(safety-related)</b> |
| 028             | Treated Water   |  | 077             | Waste Disposal  |
| 029             | Potable Water   |  |                 |   |

# Buried Piping

---

## Installation

- Buried pipe is bedded to provide a continuous and uniform earth bearing from trench bottom to bottom quadrant of pipe.
- Trenches are backfilled with rock-free earth or sand compacted to a minimum depth of 12" over top of pipe.
- Steel pipe is either coal tar epoxy coated or spiral wrapped using coal-tar protective coating in tape form. Spiral wrap is overlapped more than half-width of the tape to provide a minimum of double thickness of tape.
- Pipe is heated to remove moisture prior to wrapping.
- Prior to backfilling, externally-coated pipe is inspected for holidays.

# Buried Piping

---

The Buried Pipe Integrity Program (BPIP) is implemented in six steps:

## **Steps 1 and 2 establish the program.**

1. Establishing site documents/databases.
2. Risk ranking of in-scope pipe segments.

## **Steps 3 thru 6 ensure adequacy of the piping.**

3. Inspections of in-scope piping systems.
4. Fitness-for-service evaluations of inspection results.
5. Identification of repair options for degraded piping.
6. Prevention and mitigation measures for reducing risk of failure.

**Steps 3 thru 6 are ongoing throughout the life of the plant.**

# Buried Piping

---

## Step 1 - Establish site documents/databases

- Identify buried lines (any piping branch which has at least one section of buried pipe).
- Divide lines into segments and zones:
  - Segment: A contiguous section of line within the same system containing the same fluid under all operating conditions.
  - Zone: A portion of the larger segment that has been reduced into smaller sections for the purpose of evaluating a specific pipe external physical configuration or installation situation.

# Buried Piping

---

## Step 2 - Risk Ranking of Pipe Segments

- Each zone is assessed for total risk factor.
- Risk Factor = Susceptibility Factor x Consequence factor
- Susceptibility Factors:
  - Physical configuration.
  - Cathodic protection.
  - Pipe material.
  - Pipe coating.
  - Internal fluid.
  - Pressure transients.
  - Soil and fill characteristics.
  - Past history.
- Consequence factors:
  - Environmental hazards.
  - Threats to power production.
  - Cost of repair.
  - Nuclear safety impacts.

# Buried Pipe

## Step 3 - Inspections of in-scope piping systems.

|                   | No Consequence | Low Consequence | Medium Consequence | High Consequence |
|-------------------|----------------|-----------------|--------------------|------------------|
| High Likelihood   |                |                 |                    |                  |
| Medium Likelihood |                |                 |                    |                  |
| Low Likelihood    |                |                 |                    |                  |

Figure 1 - Example of a 3x4 Risk Matrix

|                              | Low Risk Ranking | Medium Risk Ranking | High Risk Ranking |
|------------------------------|------------------|---------------------|-------------------|
| Highly Corrosive Environment | <b>GROUP 2</b>   | <b>GROUP 1</b>      | <b>GROUP 1</b>    |
| Corrosive Environment        | <b>GROUP 3</b>   | <b>GROUP 2</b>      | <b>GROUP 1</b>    |
| Mildly Corrosive Environment | <b>GROUP 4</b>   | <b>GROUP 3</b>      | <b>GROUP 2</b>    |

Figure 2 - Inspection Selection Matrix

The “**GROUPS**” identified in Figure 2 are defined as:

- **GROUP 1** - Buried piping segments and/or zones in this category should have priority, and the inspection plan should address this buried piping first.
- **GROUP 2** - Buried piping segments and/or zones in this category should have secondary priority, and the inspection plan should address this buried piping second, unless engineering judgment changes the priority.
- **GROUP 3** - Monitor and record surface conditions of buried piping systems when excavations or repairs are made.
- **GROUP 4** - Monitor and record surface conditions of buried piping systems when excavations or repairs are made. This category has less priority than GROUP 3.

**Special emphasis is given to buried piping that contains radioactive materials. These will automatically be placed in Group 1 or 2.**

# Buried Piping

---

## Step 4 – Inspection

Each TVA site is developing an inspection plan for each site to provide reasonable assurance of integrity of buried piping. The inspection plan includes the following key attributes:

- 1. Identification of piping segments and/or zones to be inspected.
- 2. Potential inspection techniques such as Guided Wave technology.
- 3. Inspection schedule for buried piping segments and/or zones based on risk ranking.
- 4. Assessment of cathodic protection, if applicable.

## Plan Implementation

- Preliminary inspections using Guided Wave testing were completed in June, 2009.
- Full implementation of Inspection Plan scheduled start no later than **June, 2012**.
- The condition assessment of buried piping containing radioactive materials scheduled completion by **June, 2013**.

# Buried Piping

---

## Steps 5 and 6 (On-Going Throughout Life Of Plant)

- Step 5 - Identification of repair options for degraded piping.
  - WBN Operating Experience
  - Piping Repair/Replacement
  - To date there has not been any occurrences of major failure (loss of safety related system function).
  - No impact on system operability or function
- Step 6 - Prevention and mitigation measures for reducing risk of failure.
  - Groundwater Protection Program

# Buried Piping

---

## TVA Groundwater Protection Program

- The purpose of this program is to minimize the potential for inadvertent releases to the environment from plant activities.
- Provides for a site risk assessment for groundwater protection:
  - Identifies each system/component that involves licensed material and has a credible mechanism for licensed material to reach ground water.
  - Identifies the leak detection mechanism for any system/component noted above.
  - Each site's risk assessment is available for review and use by applicable engineering, maintenance planning and other site personnel as a routine "ground water risk tool" for new designs, changes, or modifications, preventive maintenance work and outage management planning.
- GWPP Monitoring Plan including the following constituents:
  - Monitoring locations
  - Sampling frequencies
  - Sampling protocols and/or procedures
  - Analytical protocols and/or procedures including sensitivity limits

# Buried Piping

---

## Buried Pipe Conclusions

- The piping system will maintain reliable operation.
- WBN Unit 2 is currently following the industry initiatives for buried piping, which is assessing the conditions, performing risk ranking models and replacing pipe as required.
- The TVA fleet has a plan for inspections and assessments to be completed by June 2013.
- The type failures that could occur will not challenge the operability of the systems and/or their functions.
- To date there has not been any occurrence of major failure (loss of safety related system function).
- WBN has processes and procedures to monitor all safety related piping.

# Buried Cable



- TVA Construction Practice: No Process Cables Are Directly Buried In Soil, Regardless Of Safety Class.
- No Additional Buried Or Underground Safety-Related Power Cable Added By Unit 2
- Safety-Related Power Cables At WBN That Are Routed Underground Include:
  - Cables from the Diesel Generator building to the Auxiliary building
  - Cables from the Auxiliary building to the intake pumping station
- All the Safety-Related cables above are routed thru duct banks, and all are currently in service to support Unit 1 operation.
- Safety-Related signal cables from Refueling Water Storage Tank level transmitters to the Aux building are routed thru divisional conduit in the Refueling Water Storage Tank pipe tunnel, and are not considered to be buried cables.

## Duct Banks

- Sump pumps have been installed in all underground duct bank manholes.
- Safety-related duct banks have local level alarms and pump run time meters.
- Routine operator rounds monitor alarms to ensure prompt identification and action to prevent cable submergence.
- Manhole sump pump operation is verified once/6 months under plant preventive maintenance program.

# Buried Cable

## Testing

- Medium voltage underground cables are periodically tested using Very Low Frequency (VLF) dissipation factor testing (also known as  $\tan\delta$ ).
- TVA specifications provide specific acceptance criteria for each insulation type. For example, for Cross Link Polyethylene (XLPE) insulated cables, the criteria is:

| Tan- $\delta$ at $2V_0$ | Differential of Tan- $\delta$ | Assessment               | Testing Frequency              |
|-------------------------|-------------------------------|--------------------------|--------------------------------|
| < 1.2 E-03              | < 0.6 E-03                    | Good                     | Repeat VLF test within 5 years |
| $\geq$ 1.2 E-03         | $\geq$ 0.6 E-03               | Aged                     | Repeat VLF test annually       |
| $\geq$ 2.2 E-03         | $\geq$ 1.0 E-03               | Degraded – replace cable | N/A                            |

- Acceptance criteria for all insulation types conforms to IEEE 400.2.

# Buried Cable

---

## Testing Results

- Very Low Frequency (VLF) testing indicates no degradation of safety-related cables.
- Results of underground cable testing:
  - 20 underground medium-voltage safety-related cables.
  - Tan- $\delta$  testing on all completed in 2008.
  - All test results were satisfactory, and cables remain on a 5-year test interval.
  - 4 non-safety-related cables for Unit 2 Condenser Circulating Water pumps were also tested satisfactorily.

# Buried Cable

---

## Buried Cable Conclusions

- WBN performs periodic testing of medium voltage cables and underground duct banks cables
- The cables will maintain reliable operation.

# Summary

---

- We Have a Solid, Intrusive Program for Both Active and Passive Components
- We Are Utilizing Internal and External Operating Experience and Industry Programs to Guide the Refurbishment Program
- Our Goal Is To Have the Highest Operating Capacity Factor After Commercial Operation of the Unit.

# Watts Bar Unit 2

---



## QUESTIONS