

Official Transcript of Proceedings  
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards  
591st Meeting

Docket Number: (n/a)

Location: Rockville, Maryland

Date: Friday, February 10, 2012

Work Order No.: NRC-1430

Pages 1-93

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
**1323 Rhode Island Avenue, N.W.**  
**Washington, D.C. 20005**  
**(202) 234-4433**

1 UNITED STATES OF AMERICA  
2 NUCLEAR REGULATORY COMMISSION

3 + + + + +

4 591st MEETING

5 ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

6 (ACRS)

7 + + + + +

8 FRIDAY

9 FEBRUARY 10, 2012

10 + + + + +

11 ROCKVILLE, MARYLAND

12 + + + + +

13 The Advisory Committee met at the Nuclear  
14 Regulatory Commission, Two White Flint North, Room  
15 T2B1, 11545 Rockville Pike, at 8:30 a.m., J. Sam  
16 Armijo, Chairman, presiding.

17 COMMITTEE MEMBERS:

18 J. SAM ARMIJO, Chairman

19 JOHN W. STETKAR, Vice Chairman

20 HAROLD B. RAY, Member-at-Large

21 SAID ABDEL-KHALIK, Member

22 SANJOY BANERJEE, Member

23 DENNIS C. BLEY, Member

24 CHARLES H. BROWN, JR. Member

25 DANA A. POWERS, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26

JOY REMPE, Member

MICHAEL T. RYAN, Member

STEPHEN P. SCHULTZ, Member

WILLIAM J. SHACK, Member

JOHN D. SIEBER, Member

GORDON R. SKILLMAN, Member

NRC STAFF PRESENT:

CHRISTINA ANTONESCU, Designated Federal

Official

TOM BERGMAN, NRO/DE

SUSHIL BIRLA, RES/DE

IAN JUNG, NRO/DE/ICE2

STU MAGRUDER, NRO/DARR/APRB

DAN SANTOS, NRO/DE

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

A G E N D A

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

OPENING REMARKS BY THE ACRS CHAIRMAN ..... 4

LICENSING APPROACH FOR REVIEWING  
INSTRUMENTATION AND CONTROL FOR THE  
POWER AND OTHER ADVANCED REACTORS ..... 5

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

## P R O C E E D I N G S

(8:31 a.m.)

CHAIR ARMIJO: Good morning. The meeting will now come to order. This is the second day of the 591<sup>st</sup> meeting of the Advisory Committee on Reactor Safeguards.

During today's meeting the Committee will consider the following; Licensing Approach for Reviewing Instrumentation and Control (I&C) for the mPower and other Advanced Reactors; Future ACRS Activities/Reports of the Planning and Procedures Subcommittee; Reconciliation of ACRS Comments and Recommendations, and Preparation of ACRS Reports.

The meeting is being conducted in accordance with the provisions of the Federal Advisory Committee Act. Ms. Christina Antonescu is the Designated Federal Official for the initial portion of the meeting.

We have received no written comments or requests for time to make oral statements from members of the public regarding today's session.

There will be a phone bridge line. To preclude interruption of the meeting, the phone will be placed in a listen-in mode during the presentations and Committee discussions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 A transcript of portions of the meeting is  
2 being kept, and it is requested that the speakers use  
3 one of the microphones, identify themselves and speak  
4 with sufficient clarity and volume so that they can be  
5 readily heard.

6 And at this point, I think we'll turn it  
7 over to Charles Brown to lead us through this  
8 presentation.

9 MEMBER BROWN: Okay. First of all, I want  
10 to make just a couple of comments to give you a  
11 perspective on what the Staff is doing. They are using  
12 the small modular reactor designs as an opportunity to  
13 look at the process by which they do their overall  
14 reviews. It's kind of a look at the old Standard  
15 Review Plan, here's a way maybe we ought to do this  
16 and take the lessons learned from AP1000 ESBWR, all  
17 the rest, and then try to shift the focus; and I think  
18 you'll see it reflected in a couple of the slides in  
19 here to emphasize fundamental principles of  
20 redundancy, independence, determinism, diversity and  
21 defense-in-depth as fundamental -- an umbrella under  
22 which their reviews are done, as opposed to the what I  
23 call the potpourri of guidance piecemeal, trying to  
24 stitch all -- in other words, here we're going to  
25 review the cam shaft, and we're going to look at the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 carburetor, and then we're going to try to say oh,  
2 yes, we put that together and we get an engine out of  
3 it.

4 So, I think they -- and this is their  
5 initiative to try to do this. They've been very  
6 forthcoming, and I appreciate their diligence at  
7 looking at how we've been doing things for the last  
8 three years and trying to get the focus so that  
9 everybody has a better understanding of these. And  
10 this was their approach at trying to say okay, how do  
11 we take what we've done the last three or four years  
12 and coalesce it into something that gives us a better  
13 overall view and confidence that we're getting what we  
14 want.

15 There are some details. This is a big  
16 picture look at where they're going. They don't want  
17 a letter right now. What they're looking for is just  
18 to inform us -- it's information to inform us of where  
19 they're going. And if anybody's got any particular  
20 comments or thoughts, so they can integrate that in  
21 with their follow-up work. I think there's a schedule  
22 in here also, so I'm not going to go into that.

23 So, with that should I -- am I going to  
24 --- should I turn it over to you first, Tom, and let  
25 you make some introductory remarks?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BERGMAN: Yes, thank you very much.

2 MEMBER BROWN: Okay.

3 MR. BERGMAN: And to be clear, I have  
4 absolutely no I&C background.

5 (Laughter.)

6 MR. BERGMAN: All I know about I&C has been  
7 pretty much taught to me by the people at the head of  
8 the table and some around it. But when I came to the  
9 Division of Engineering -- and by the way, I'm sorry,  
10 my name is Tom Bergman. I'm the Director of the  
11 Division of Engineering in the Office of New Reactors;  
12 is how different the licensing reviews for Digital I&C  
13 were compared to how we reviewed the rest of the  
14 facility. And a challenge to Staff really since I got  
15 there is why are we doing it this way.

16 It wasn't that it wasn't reaching good  
17 safety finding, it was, but the level of detail of the  
18 review and the things they looked at, it wasn't always  
19 clear that you were getting the return on safety given  
20 the investment and time.

21 As we went through those reviews we gained  
22 -- learned a lot, and we think we see some  
23 improvements, so we looked for an initiative to take  
24 the lessons learned and apply it to one of the small  
25 IPWRs, mPower in this case, as a way to potentially

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 come through with a breakthrough on how we review, and  
2 make it more like the rest of the facility.

3 And as Member Brown mentioned, by focusing  
4 on the higher order issues that affect safety like  
5 redundancy, independence, defense-in-depth and  
6 diversity, deterministic behavior, and I do like to  
7 throw in simplicity, although it isn't a regulatory  
8 requirement. It does make the reviews more effective  
9 if the design is not unnecessarily complex.

10 We do believe that this initiative has the  
11 potential to substantially contribute not only to  
12 effectiveness by which I mean a safety finding that's  
13 at least as good as the one we make today, but at  
14 substantially reduced resources in terms of our review  
15 and the effort on the part of the Applicant.

16 So, we've been working hard with all the  
17 stakeholders. The Applicant has to date been very  
18 receptive and supportive, which is important because  
19 this is -- we're trying something new. And I want to  
20 say NRO management up through Mike and Gary have been  
21 completely supportive of the initiative, and we expect  
22 to continue to interact with you heavily on this  
23 aspect of the mPower reviews moving forward.

24 So, with that I'd like to turn it over to  
25 the Staff.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. JUNG: Good morning, Committee members,  
2 and thanks for allowing us to be here and make our  
3 presentation on this topic.

4 Having gone through about five years as a  
5 Branch Chief in I&C in Office of New Reactors, and I'm  
6 very excited actually being able to try something new  
7 that could really provide the opportunity to establish  
8 safety more clearly, and then all the heartburns that  
9 we had on controversies, and schedules, and critical  
10 path, number of hours we spent, some reviews went to  
11 15,000 hours on Chapter 7.

12 So, I think it's -- we are given an  
13 opportunity to really -- I'm very excited but at the  
14 same time it's a very challenging schedule and  
15 resources we have to put on to this initiative. So, I  
16 think there are a lot of low-hanging fruits in some of  
17 the lessons learned. Some of the lessons learned are  
18 still very hard, and some of the issues are still  
19 having interactions with even the Committee in some  
20 cases. But this project is not to solve all the  
21 problems, but at least the ones that we could clearly  
22 apply and make it -- make the whole licensing review  
23 process better.

24 We'd like to achieve as much and along the  
25 way we'd like to get all the stakeholders to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 familiar with this, and provide any suggestions and  
2 comments, and opinions. We're look for that, including  
3 the ACRS down the road. I think we'll probably come  
4 back next round with a draft -- early draft of the  
5 particular guidance we are developing. My staff is  
6 working hard.

7 And with that, along with me is Sushil  
8 Birla, is a distinguished Senior Technical Advisor  
9 from Office of Research for Digital I&C, and Dan  
10 Santos is also Senior Technical Advisor for Division  
11 of Engineering in the Office of New Reactors.

12 With that, simply --

13 MEMBER BROWN: I just want to make -- based  
14 on --

15 MR. JUNG: Yes.

16 MEMBER BROWN: I just want to make one  
17 other observation. There's a whole potpourri of, like  
18 I said, Reg Guides and specific requirements from GDCs  
19 to IEEE-603. This is not meant to throw those out. I  
20 mean, obviously, technical requirements are technical  
21 requirements. The idea is how do you use those from a  
22 top down use as opposed from a bottom up use, and try  
23 to establish that you've got a safe design.

24 And that's part of our discussion that we  
25 had in the informal meeting. I just wanted to make

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 sure you understood that they're not down here to take  
2 all the stuff and throw it out and say we're not going  
3 to -- that's not the point. The point is --

4 CHAIR ARMIJO: The structure of the  
5 Standard Review Plan going to change.

6 MEMBER BROWN: Yes.

7 CHAIR ARMIJO: Okay, to make it more  
8 efficient and get these --

9 MEMBER BROWN: Well, hopefully, it will be  
10 more efficient.

11 CHAIR ARMIJO: Well, I heard that.  
12 Efficiency was an important thing.

13 MR. JUNG: And my presentation will show a  
14 couple of examples where -- how wide the structure the  
15 way it's written is causing a lot of distractions and  
16 inefficiencies. You will probably see that fairly  
17 quickly.

18 Objective is information briefing for the  
19 Committee. Any suggestions and comments during the  
20 meetings that we appreciate, we'll capture those and  
21 we'll consider those. And we are focusing on right now  
22 small modular reactor design called mPower.

23 We are still learning about the design.  
24 It's a pre-application stage and that's the -- timing-  
25 wise, we are given an opportunity. That's why we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 putting some urgency to it. By requirement Staff has  
2 to have a guidance in place prior to the submittal of  
3 the application so the Applicant would be able to use  
4 the guidance to prepare the application.

5 MEMBER BROWN: Can you use an ISG-6, the  
6 stuff we did out of that, and you're following kind of  
7 a little bit of that --

8 MR. JUNG: They're not generally  
9 conceptually the same process.

10 MEMBER BROWN: Okay. All right.

11 MEMBER BLEY: Just for the Committee,  
12 you'll remember this is the first of the design-  
13 specific SRPs for all of these SMRs. I guess we're  
14 going to see other ones in other areas soon. We're  
15 going to see quite a few of these over the next year.

16 MR. JUNG: The answer is yes, and Stu can  
17 leverage it, but we'll just leave it at that. Chapter  
18 7 is going way beyond what originally envisioned by  
19 the Division of Advanced Reactors in rulemaking for  
20 ORO TSRS development. Chapter 7 is going beyond it to  
21 incorporate significant lessons learned.

22 MEMBER SIEBER: Why did you choose mPower  
23 as the model upon which you would make this  
24 development --

25 MR. JUNG: It's a timing issue. That's the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 first one that we'll see coming in --

2 MEMBER SIEBER: Okay.

3 MR. JUNG: -- from a schedule perspective.

4 CHAIR ARMIJO: But this framework isn't  
5 limited to modular reactors. Right? It's a general  
6 framework that could be applied to an AP1000 if it was  
7 -- or not?

8 MEMBER SIEBER: Starting over again.

9 CHAIR ARMIJO: If it was starting over  
10 again would you use this --

11 MR. JUNG: You will see -- the members will  
12 see some of the lessons when you look at it, you're  
13 going to realize yes, these can be applied for all.  
14 And there are some elements that might be structurally  
15 maybe a little different in the sense that the  
16 operating reactors, if their licensing basis is based  
17 on old regulation, like IEEE-279, and Advanced  
18 Reactors would have -- you know, they have no nexus to  
19 it. And we are still working with NRR along the way  
20 how this could really provide efficiency moving  
21 forward.

22 MEMBER STETKAR: I was going to say going  
23 forward, we're sort stuck with the in-process design  
24 certifications right now, but for the future digital  
25 upgrades for operating plants, are you at all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 encouraged that you could weave this approach in for  
2 the reviews of those? Or are you too constrained about  
3 older licensing basis?

4 MR. JUNG: I don't think so. Some of the  
5 fundamental principles that -- design principles  
6 Charlie has been preaching us about last three years,  
7 and those are common engineering practices. Those are  
8 something that we believe it could be easily applied  
9 to operating reactors and new reactors. But in terms  
10 of specific regulations or licensing basis, 1960s  
11 design versus 2000 -- 21<sup>st</sup> century design, obviously,  
12 there's going to be some applicability, as well as the  
13 approach that are different to think through. Some --  
14 I don't think overall the core safety or technical  
15 elements we believe is going to be generally  
16 applicable. So, I think we're going to have to work  
17 through it.

18 This mPower practical initiative, we are  
19 doing it as a sort of -- what we call sort of trial.  
20 We want to actually use it and demonstrate what works,  
21 what needs to be improved.

22 MR. BERGMAN: I think in the interim period  
23 before this was incorporated into say SRP, this would  
24 be looked at more as an alternative way. It would be  
25 available. My impression is for the operating units

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 they're tending to do a few systems, so there may be  
2 advantages to sticking with what's currently in the  
3 SRP. And, in addition, their schedule frequently is  
4 tighter because the upgrade is linked to an upcoming  
5 outage, so having a pathway that's already been  
6 established, the ISG-6 may be their preferred simply  
7 because it's more predictable at this time.

8 MEMBER STETKAR: I was thinking more of a  
9 larger scope, like the Duke Power conversion where  
10 you're not system specific, you're really replacing  
11 the whole protection system.

12 (Simultaneous speaking.)

13 MEMBER BROWN: This would have been --  
14 after the Oconee experience when I first got here, I  
15 was looking forward to an approach like this which  
16 will get us -- I don't see how this would not apply to  
17 the --

18 MEMBER STETKAR: I was just curious, you  
19 know, whether --

20 MEMBER BROWN: -- even though the  
21 licensing basis will -- this is more fundamentals and  
22 principles based, and I don't think it -- what comes  
23 underneath can be former licensing basis. It can be a  
24 more current licensing basis, so that's the point, is  
25 get those fundamentals up at the top level and focus

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on those. Make sure you get enough detail that you  
2 understand what you've got in those five areas, and  
3 you go from there. So, that's --

4 MEMBER STETKAR: I was trying to think in  
5 terms of applicability. I mean, in the license renewal  
6 scope if we're looking at several more years of  
7 operation for the current fleet, I would not  
8 necessarily be surprised if a number of plants were  
9 going to go the approach of large-scale digital  
10 upgrades.

11 MR. BERGMAN: And in the long term we think  
12 -- again, we'd like to actually try it first, but we  
13 believe this approach yields benefits, but those  
14 plants between now and then, again, ISG-6 predictable.  
15 I would expect they may stick with it, but that's  
16 between NRR and individual licensees.

17 MEMBER STETKAR: Okay, thanks.

18 MR. JUNG: Okay, looking those, I'd like to  
19 go over some of the high-level background, and then  
20 I'm going to share with you some of the key lessons,  
21 not all the lessons. We are still compiling, some of  
22 the reviews are still ongoing. And the eventual goal,  
23 what we are trying to achieve and some of the  
24 challenges we have. Any time you have a brand new  
25 initiative, there are some certain challenges. A

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 little bit about status and schedule, and at the end  
2 I'll summarize that. Next slide.

3 As I stated earlier at the beginning,  
4 licensing reviews of I&C has been a significant  
5 challenge from the perspective of safety  
6 demonstration, as well as the schedule and resources  
7 for new reactors. Starting with ESBWR, I've been on  
8 this table several times, along with Harry Jackson's  
9 group on EPR and ABWR South Texas. It was all  
10 challenging, but Staff worked hard, and I think we  
11 eventually made a safety finding. I think lessons  
12 learned back -- you know, looking back some of the  
13 areas now, I don't know why it took that long. I wish  
14 Applicant was forthcoming on safety, clear design  
15 information up front without going through three, four  
16 rounds of RAI, hundreds and hundreds of RAIs trying to  
17 get the information that we need.

18 There are some structural issue that Staff  
19 -- structure of the SRP that really introduced a lot  
20 of time for the Staff, because the way SRP is written  
21 and structured, and it was a challenge for us. So, we  
22 learned a lot of lessons from that. That's the  
23 background of why we are here.

24 In terms of the opportunity, the Office of  
25 New Reactors Division of Advanced Reactors and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Rulemaking will be called DARR in the organization  
2 after this reorganization we had. Has decided to  
3 develop a design-specific review standard for small  
4 modular reactors starting with mPower, new scale  
5 design will have its own, their logic, and  
6 specification beyond that. I'm sure the Staff is still  
7 questioning sometimes, but I think when I talk to Stu  
8 and folks it makes sense. It's a new way of doing it.  
9 Once -- design certification, once you use those tools  
10 that design is standard design and it moves on from  
11 that perspective.

12 Stu is here if you have any questions on  
13 why are we developing that. Stu can answer that. Next  
14 background.

15 (Laughter.)

16 MR. JUNG: The purpose of this presentation  
17 is not to really discuss why DSRS. We are given -- the  
18 Staff is given a tool an opportunity that we're going  
19 to work with that.

20 So, timing-wise right now the schedule  
21 what the Staff heard was that the B&W is planning on  
22 an application, design certification application for  
23 mPower sometime late fiscal year '13, late 13.

24 MR. MAGRUDER: It looks like late calendar  
25 year '13.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JUNG: Late calendar year '13, so--

2 mR. MAGRUDER: Towards the end of '13.

3 MR. JUNG: So, just about two years to go.  
4 So, I think the goal for the Staff is at least six  
5 months prior to their application we'll finalize the  
6 SRS for the Applicant to use. But before that, the  
7 Staff is trying to publish this draft, the SRS work  
8 for public comment, so the Applicant would know much  
9 earlier than that.

10 Of course, for B&W and Northrop Grumman,  
11 who is the vendor for supporting this, they already  
12 know what Staff is thinking about. They are already  
13 supportive of -- they already have certain areas they  
14 already started working on. So, they'll have a lot of  
15 time working with us.

16 MEMBER SIEBER: Will your development  
17 effort in this area impede in any way your review of  
18 the mPower application?

19 MR. JUNG: I don't think so. Right now,  
20 those areas that are critical based on lessons  
21 learned, of course, B&W knows what areas is going to  
22 be important, for example, Staff on methodology, they  
23 already submitted the topic report we are looking at.  
24 They are working on some other areas already. So, I  
25 don't think it's an issue, but they know it's coming.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 They understand it's a lot of challenge.

2 MEMBER SIEBER: And they have agreed to it  
3 already.

4 MR. JUNG: Yes.

5 MEMBER SIEBER: Okay. I think that's  
6 important because it does require additional effort to  
7 do what -- to take the path that you're taking.

8 MR. JUNG: Yes, B&W already has expressed  
9 that potential concern with us, because we are fully  
10 aware of it.

11 MEMBER SIEBER: Okay.

12 MR. JUNG: It is -- at the end, there's  
13 current SRPs always available, so if they're willing  
14 to go with that current -- I think Staff is more  
15 efficient now than before, but we are trying to take  
16 extra step. I think you'll see there are a lot of  
17 low-hanging fruits that is going to help both sides  
18 very quickly.

19 MEMBER SIEBER: Okay, thank you very much.

20 CHAIR ARMIJO: Are there unique challenges  
21 in this that are simply because to apply this  
22 methodology when you have -- you're going to be  
23 operating a number of modules from perhaps a single  
24 control room. Is the I&C structure going to be  
25 different, or you see this as --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. JUNG: I don't think from an I&C  
2 fundamental design principles and fundamental  
3 regulations, IEEE-603 Standard I don't think is going  
4 to be applying, is going to cause any significant  
5 challenges. I think it's more of a staffing issue, and  
6 the control room design itself. I think it's more of  
7 the other disciplines.

8 I know there are some policies just being  
9 discussed and addressed from that perspective, EP  
10 staffing, control room design. But those are beyond  
11 the fundamental design principles with I&C design.

12 CHAIR ARMIJO: Okay.

13 MR. JUNG: I don't think it's going to be  
14 significant challenge, but we are closely tied to  
15 those policy issues.

16 CHAIR ARMIJO: Okay.

17 MEMBER SCHULTZ: Is the major focus here  
18 only to develop this for the I&C technical field, or  
19 are there other technical fields that could benefit  
20 from this in other areas of engineering?

21 MR. JUNG: I think there are -- do you want  
22 to --

23 mR. MAGRUDER: This is Stu Magruder from  
24 Division of Advanced Reactor Rulemaking. I want to  
25 make sure I understand your question. Are you asking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 will there be other areas of the SRP that are updated?

2 MEMBER SCHULTZ: That's correct, that's my  
3 question.

4 MR. MAGRUDER: Yes. And the answer is yes,  
5 we're planning to go through all the chapters of the  
6 SRP, actually. As Ian alluded to earlier, and as  
7 Member Bley mentioned, the direction the Staff got  
8 from the Commission was to look at the SRP and see if  
9 we could do a more risk-informed and integrated review  
10 of these small modular reactor designs. So, we're  
11 going to go through all of the chapters. Some of them  
12 need more revision than others because of the specific  
13 design aspects, and we'll be coming to the Committee  
14 with most of the sections individually in any case.  
15 The plan is by November of this year to publish a  
16 draft revision of the entire SRP. We'll have a draft  
17 mPower design-specific review standard for the  
18 Committee to look at.

19 MEMBER BLEY: By November?

20 MR. MAGRUDER: By November. That's the  
21 goal. And that's predicated on having something out, a  
22 draft about a year before their application is  
23 expected.

24 MEMBER SCHULTZ: Thank you.

25 MR. JUNG: Next slide are the goals. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 think overall goals in a high level from the Staff's  
2 perspective, always safety focus. We would like to  
3 reach a safety finding in a more efficient and  
4 effective manner. And because of the structure issues  
5 that I talked about, and some of the distractions that  
6 came along with the other quality of submittals,  
7 details, I think reaching a safety finding in some  
8 areas took unnecessary longer time. Where at the end  
9 it was a simple Applicant design change or additional  
10 details with the diagrams that really solved the  
11 problem, where people are still trying to -- last  
12 steps trying to figure out.

13 So, let me say I think all the reviews  
14 we've done, at the end we reached the reasonable  
15 assurance finding. But looking back we are trying to  
16 see how we could really reach a safety finding -- the  
17 safety finding should be actually made by the  
18 Applicant themselves. It's a demonstration of that to  
19 the Staff in a clear and concise manner that we can  
20 understand and we can write the safety evaluation.

21 So, we see an opportunity. We make it  
22 clear what steps looking for, what the regulation says  
23 the Applicant has to do so that by the time we look at  
24 the application up front when we do an acceptance  
25 review, we can make a determination, yes, this is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going to be routine safety review. Some of the  
2 applications actually came along, starting with the  
3 ESBWR, for example, acceptance review, Staff rejected  
4 it for Chapter 7. It's not even sufficient review.  
5 And those are the lessons learned we want to -- not to  
6 repeat. All right?

7 So, what it did was eventually -- because  
8 all the other chapters are moving on. Right? Chapter 7  
9 is eventually squeezed to review details that came  
10 along later in a shorter amount of time. What that  
11 does is even the second round submittal was not as  
12 good as even some of the chapters still, so the number  
13 of RAIs had to be significantly increased. That  
14 resulted in eventually use of significant design  
15 acceptance criteria, as well as number of RAIs were in  
16 the hundreds on certain topics. So, those are the  
17 lessons learned.

18 MEMBER BROWN: I wanted to make along that  
19 line, on these initial integrated Digital I&C designs  
20 that we were getting, it was like squeezing blood out  
21 of rocks to get sufficient detail during the licensing  
22 phase of our evaluations to show that we the  
23 fundamental principles of independence, et cetera, et  
24 cetera, determinism, et cetera.

25 So, you want to get the stuff in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 licensing basis. You don't want to have to depend on  
2 inspection to confirm that you've got the  
3 fundamentals, the licensing basis principles fully  
4 defined at the licensing basis time. And then have  
5 the other stuff which can be expressed in the  
6 inspection world and addressed after the licensing,  
7 later in the COL process, be done by those folks  
8 because it's more predictable. But the detail design,  
9 you want to get enough of that that gives you those  
10 overall principles and you don't get trapped with a  
11 DAC in some cases which are kind of squishy, and  
12 you're depending on people four years later to confirm  
13 the --

14 MEMBER BLEY: As I understand it, Charlie,  
15 and you guys help me out, I think you expect them to  
16 come in with a Part 50 license request, which means it  
17 would have to be a complete design. Am I right on  
18 that? No?

19 MEMBER RAY: No, to the contrary.

20 MR. MAGRUDER: Now, there is a potential  
21 Part 50 application out there, but the first thing we  
22 expect to see is actually an application from mPower  
23 for --

24 MEMBER BLEY: That'll be a design --

25 mR. MAGRUDER: -- design certification.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 TVA has talked about potential Part 50 application for  
2 their Clinch River site, but the first step of that  
3 would be a construction permit application which would  
4 not require details.

5 MEMBER BLEY: Right, that's true.

6 MEMBER RAY: The issue Charlie describes is  
7 a natural consequence of the procurement cycle for a  
8 new design. I mean, nobody wants to get out -- you  
9 want to get your license first and then get vendors  
10 committed and that sort of thing. And you want to have  
11 as much flexibility as you can. You don't want to have  
12 to invest in these details that Charlie is looking for  
13 earlier than necessary, so it's a natural tension that  
14 exists.

15 MEMBER BROWN: Absolutely. Harold is right  
16 on the money. I mean, they want the maximum  
17 flexibility and they would like to give you as little  
18 information as they can so that they can do whatever  
19 they want later in their design process, but yet you  
20 can't have -- you want your licensing basis for the  
21 fundamentals locked in place sufficient deal. Not all  
22 little pieces, that's not the point. It's the  
23 fundamental architectures and that's what this is --  
24 my aim is to have, hopefully, they will develop this  
25 in that framework so we get to where we went after

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 multiple meetings trying to get that detail during the  
2 AP1000 ESBWR. That one was really brutal, and a little  
3 bit of that coalesced at AREVA, I think, the ESEEP  
4 one came out somewhat better. There's a little tweak  
5 in there that still -- pardon? Go ahead.

6 MEMBER STETKAR: I was going to say there's  
7 a difference between a real design and not a real  
8 design.

9 MEMBER BROWN: Yes. So, I mean, it's --  
10 this is going to be a little bit of juggling back and  
11 forth to make sure the right balance is maintained  
12 here. But, I mean, in my mind it's -- we want the  
13 licensing detail, but we don't want it to constrain  
14 the guys -- the designers so that they're locked into  
15 some level of intimate detail that's really not  
16 productive, or doesn't add to the fundamentals. So,  
17 how do you do that is going to be interesting.

18 MEMBER SIEBER: Yes. One of the problems,  
19 though, in the I&C, particular Digital I&C area, is  
20 that the devil is really in the details. And that's  
21 why I am uncomfortable with the DAC process without  
22 generalized statements and somebody someplace along  
23 the line has got to dig out those details to determine  
24 whether the architecture really fits the description.  
25 So, the whole process to me is sort of an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 uncomfortable one; notwithstanding the fact that  
2 industries, applicants would like to put off as long  
3 as they can the decision as to what system they'll  
4 buy, what the architecture is, and the inner workings  
5 of the systems I think is just as important as its  
6 fundamental architectural design.

7 MR. JUNG: The Staff understands that.  
8 Later presentation will show on that subject of level  
9 of details and the use of DAC and ITAAC.

10 MEMBER STETKAR: Okay, if that's -- because  
11 I was going to ask. I certainly understand painfully  
12 the incentives for the first bullet on your slide  
13 there. And maybe some of your examples might -- I was  
14 trying to think of what unnecessary information would  
15 be eliminated by this -- you know, your second bullet  
16 says well, eliminate unnecessary information from  
17 being docketed. So maybe if some of your examples --

18 MR. JUNG: We'll cover that.

19 MEMBER STETKAR: Okay, great. Thanks.

20 MR. JUNG: So next few slides I'm going to  
21 go over some of the lessons learned that we had.  
22 Numbers doesn't mean it's really number one, it's  
23 number one, meant it was one of them. We thought it  
24 was very simple to explain, very significant.

25 The structure of the current SRP, there's

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the next couple of slides will show what it means. It  
2 is system-based. It is based on RPS, ESF actuation  
3 system, interlock system, information system from 7.1  
4 through 7.9, and then we have about a dozen Branch  
5 Technical Positions on top of the ISGs. Some of the  
6 members remember ISGs. So, all those are based on very  
7 specific either systems or certain small issues.

8           However, those are based on traditional  
9 SRP structure. If you think about license amendment  
10 for interlocks, then you'll go to 7.6 and elicit all  
11 the regulations, including Quality Assurance and  
12 Qualification. You name it, it's self-sufficient  
13 structure. So, that structure really doesn't fit with  
14 the modern advanced I&C designs for the complete plan  
15 where all these functions are generally very much  
16 integrated, and the members have seen PSMS or PMS for  
17 AP1000. That's the platform architecture, and all  
18 these functions would be performed within the  
19 boundaries of the platform.

20           That's completely different thinking in  
21 I&C that has over the years evolved. Of course, being  
22 digital it brings a lot of different issues, so Staff  
23 generate additional BTPs and ISGs on top of that. So,  
24 the challenge was there are a lot of repetitions of  
25 these regulations in each section of the SRP. And a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 lot of the issues and areas that Staff has to look and  
2 evaluate, it gets repeated. And Chapter 7, very  
3 complex issues, would -- typically, what we do -- what  
4 I would do is assign certain members to 7.0. Why you  
5 don't care of 7.1, why you don't care of 7.3, why  
6 don't you look at 7.4 or 5.

7 So, next slide. So, you people get the  
8 licensing -- the regulatory basis listed in certain  
9 sections. It's just I highlighted only three, but  
10 actually, a lot of them gets repeated about 10 to 20  
11 times in different parts of the SRP. So, individuals  
12 would go and we expect them to look at the SRP, make  
13 sure these regulations are complied with, and then you  
14 tell me how these are met. So, a lot of individuals  
15 --- you know, different Staff member will have to go  
16 and start looking at it. And they soon realize well,  
17 it's in 7.22, so I have to work with the guy. Of  
18 course, there's a contractor in some cases. The  
19 contractor will have to figure that out.

20 So, some of the regulations like GDC-1 for  
21 which is very vague. I think overall is a good  
22 regulation, yet there's not a lot of Staff guidance on  
23 it, and people will talk, and they write an SER. Oh,  
24 you're writing the SER on -- that's going to be  
25 covered here, there, and a lot of these inner workings

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of the Staff. It's really challenging.

2 And, as you can see, a lot of the  
3 regulations are actually written for safety systems,  
4 or safety functional requirements. It's not  
5 necessarily for the -- certain GDCs are written for  
6 I&C at all. It is for reactivity, or one of the  
7 regulations, ECCS systems. Chapter 15 reviews it,  
8 Chapter 6 reviews it, so we have to have a  
9 relationship with them.

10 So, as you can see, the same regulation is  
11 being addressed about 10 to 20 times within Chapter 7.  
12 Along with that you have a contractor, you have  
13 multiple members, and then you have other chapters who  
14 are looking at that as a global -- for example,  
15 Chapter 7 will look at the Quality Assurance. So,  
16 there are different pieces of inner workings, the  
17 interfaces that cause a lot of -- even if we do a  
18 little pointer to it, Applicant changes the format or  
19 something, then everything has to follow through. So,  
20 this fundamental structure inefficiency has really  
21 caused the Staff to spend a lot of unnecessary -- a  
22 lot of time on trying to make sure it is all connected  
23 right, make sure right words are used, conclusions are  
24 consistent.

25 MEMBER SKILLMAN: What consideration have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 you given to the benefit of the existing review  
2 process? What I'm hearing you say over and over again  
3 is that the present process is very cumbersome. It is  
4 dissected in a way that requires multiple different  
5 reviews and can lead to numerous RAIs. But there has  
6 been great safety in the complexity of this review.

7 If you take the reactor trip system, there  
8 is a review reactivity, another for DNB, another for  
9 the net effect of the trip system on auxiliary  
10 systems, on control rod drive control system, so on  
11 and so forth. So, what consideration has been given to  
12 the benefit of the present system of review compared  
13 against the benefit of what you're now proposing?

14 MR. JUNG: Those are system-specific, the  
15 guidance we already have on, for example, OT delta T  
16 equations and things like that. Those existing  
17 guidance would remain as the system-specific section  
18 of the structure. What we are proposing is -- for  
19 those sections we have a set of lessons learned. For  
20 example, Delta T, those are core physics. Some of the  
21 areas we learned that some of the equations have  
22 changed, but our guidance wasn't really highlighted.  
23 Make sure if those equations are changing, make sure  
24 work with Chapter 15 to make sure those equations are  
25 valid and is right equation to meet the regulations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Sometimes those interfaces weren't clear.  
2           We learned that through somehow talking to Chapter 15,  
3           we have this. Did you know about this? Oh, I didn't  
4           know that. So, we're going to have improvements on  
5           those sections separately. But what we are doing is  
6           those sections that are repeated in regulation or  
7           coverage that we know is a genetic safety system  
8           requirement, like independence, independence between  
9           safety and non-safety systems, those are independent  
10          to either reactor systems or interlock system. Those  
11          are genetic interface between all safety and non-  
12          safety system interface. It gets identified, reviewed  
13          and evaluated, and make a determination on safety.

14                 Right now those independent -- as per an  
15          SRP the word "independence" is listed and mentioned  
16          more than 250 times. Some of them are actually  
17          intermixed with the independence of the organization,  
18          or independent V&V requirement. It's spread all over -  
19          - actually, my Staff will have to do word searching on  
20          what do I have to review for independence right now,  
21          and it gets repeated so much times. And some places  
22          there are even sometimes not clearly conflict shown  
23          up.

24                 We're going to combine all them into one  
25          section, physical separation, electric isolation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 communication of function or independence, in one  
2 section identify all those interfaces, make a  
3 determination right there.

4 So, same consideration we have had on very  
5 specific details on system functionality and  
6 requirements, we're going to maintain it and  
7 potentially make it better.

8 MR. SANTOS: Dan Santos, NRO. I just want  
9 to add to what Ian said, and to your question. I think  
10 we're preserving the benefit of the current approach  
11 because we're not throwing away the current guidance.

12 We're simply restructuring that. So, the fact that  
13 we need to make sure we're properly implemented those  
14 functions as derived from the safety analysis and  
15 others, that's going to remain.

16 Actually, I think with the new approach we  
17 can now impose a better what I call peer review,  
18 because even though you see repetition, you really --  
19 you are not really getting that backup or peer review  
20 backup from one guy to the next. I think with a more  
21 systematic approach, then we can assign the  
22 assignments to provide that type of backup or more  
23 peer review from the guys. So, hopefully --

24 MR. JUNG: The benefit of what we are  
25 looking for, you'll see it later on of the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 lessons learned, is the Staff are -- the current SRP  
2 would -- the efficiency we're going to gain from Staff  
3 hours put on more safety, important aspects including  
4 those that are system-specific functionalities. Right  
5 now we are spending so much time on trying to figure  
6 out all the structures, and then a lot of time spent  
7 on process -- programmatic or process-driven elements  
8 like software development process, which multi-year,  
9 thousands of hours on those.

10 The benefit of investment of those areas  
11 versus really looking at the design itself, it can  
12 better focus on interfaces to other systems, because  
13 the benefit of having efficiency would allow the Staff  
14 to really look at inner workings of the systems.  
15 Especially mPower and beyond, we expect there are  
16 going to be areas that we should really look at it  
17 closely. And some of the core physics, for example,  
18 things like that compared to large light water  
19 reactors, we expect to see some changes to something  
20 that we have to write safety classification issue  
21 where -- and even diversity, defense-in-depth type of  
22 things where acceptance criteria is based on offsite  
23 consequences of Chapter -- Part 100.

24 For those criteria that we have we need to  
25 look at it very closely in terms of is these new small

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 modular reactor designs, and some of those criteria  
2 may need to be well understood before we make safety  
3 findings.

4 MEMBER SKILLMAN: My concern is that with  
5 the integration of the systems, platform-based systems  
6 one can envision two or three years from now a  
7 combined RPS, ESAS, control rod drive control system,  
8 and three or four more systems burned on on EPROM and  
9 that becomes the control system for the plant. And now  
10 the focus is on the EPROM as opposed to assuring that  
11 each of the independent functions functions as it's  
12 designed to function to protect the core.

13 So, at least my thought is we need to be  
14 careful here that we don't get so carried away with  
15 efficiency that we fail to focus on what these  
16 independent systems are really there to be independent  
17 for, to protect the core.

18 MR. JUNG: Absolutely.

19 MEMBER BROWN: Hold on. That is one of the  
20 fundamental problems we have with these integrated  
21 systems, because the Reg Guides even allow at one  
22 point. I've forgotten what the last Reg Guide was we  
23 reviewed on this which says well, if you want to put  
24 all this stuff under one big controller, you've got to  
25 tell us how you're going to maintain all these other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 features. Personally, I didn't even like to hear the  
2 word everything under one controller, because the  
3 temptation is to do exactly that. So, the purpose --  
4 let me finish real quick. Okay? Is to do exactly what  
5 you're talking about. How do you make sure you haven't  
6 lost the independence, the diversity, the defense-in-  
7 depth, the redundancy, and the diversity in the manner  
8 of integrating these systems into what does that  
9 platform look like? And that is a major concern to  
10 make sure we don't lose sight of those fundamentals.

11 Right now you have to dig through a rat's  
12 nest of pieces trying to stitch that together, as  
13 opposed to getting it right up front, show us how  
14 you're going to do that and meet those. And then  
15 we'll say okay, now you apply all the other criteria  
16 that we have in terms of that framework or that  
17 architecture that you've developed. So, that is a very  
18 real concern and one of the reasons for trying to get  
19 this up front now to get these principle design  
20 approach as opposed to I'm going to give you a bunch  
21 of little criteria and design requirements, and then  
22 we'll hope it meets these other things afterwards.  
23 And it didn't in some cases is what we found, so it's  
24 a good question.

25 MEMBER SKILLMAN: Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           MEMBER BROWN: We do need to keep moving  
2 here.

3           MEMBER STETKAR: I was just going to  
4 interject. I wholeheartedly support the notion that  
5 each of the specific safety functions must be  
6 preserved, but we do have an awful lot of painful  
7 experience from the past, and not just in Digital I&C,  
8 but throughout the safety review process of focusing  
9 emphasis on a specific individual piece that we can  
10 carve out. That does not give us an integrated safety  
11 review, because everybody focuses on a specific box  
12 without the context of how that box is integrated with  
13 the rest of the plant. And that extends out to things  
14 like cooling water systems. That's why it's not --  
15 so, that's another reason that I think that kind of a  
16 broader umbrella approach, especially within these  
17 integrated control protection systems makes a lot of  
18 sense, while still preserving those individual safety  
19 functions.

20           MR. JUNG: Thanks for the comment. Okay,  
21 key lessons number two. Some of them are interrelated  
22 so we already delved into number two. As you know,  
23 Chapter 7 SRP itself is about close to 500 pages long  
24 and very voluminous. Putting that onto somebody new  
25 coming in, this is your tool for review. Reading

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 through it takes about a couple of months, so very  
2 highly technical conversation, regulations and all  
3 that. One of the reason it's voluminous is because  
4 there's a lot of repetitions.

5           Anyway, the -- Charlie mentioned a couple  
6 of times, some of the safety significant elements are  
7 -- going in Staff will start looking at 7.1, or  
8 whatever section they have. The traditional  
9 structure, these are little background introduction  
10 and then regulations are listed, start reviewing  
11 those. A lot of times start with GDC-1 or 50.55(a)(1)  
12 in some cases. That doesn't really get you what you  
13 have to really focus on, so some of the safety-  
14 significant elements, looking back clearly  
15 independence was so critical to us. And it took a lot  
16 of time and a lot of RAIs, but it wasn't -- the  
17 current -- Staff guidance really highlights that the  
18 answers. If you had a lot of experience probably you  
19 can figure that out, but if you are new reviewers,  
20 then probably it was probably hard. Diversity,  
21 defense-in-depth, you have to look all the way through  
22 50.7-19, all the main chapters of the SRP would have  
23 mentioned about two dozen times. You have to go to  
24 50.7-19, and then we developed ISG-2, even though we  
25 still learned the lessons. We had an interaction with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 HRS not too long ago. We had still unclear aspects. We  
2 are still developing it.

3 So, all this distraction of you have to do  
4 all the different things before you get to the really  
5 safety-significant ones. What happen -- what could  
6 happen is difficult if some safety-significant issue  
7 might be identified nine months into your review. RAIs  
8 goes out. Of course, a lot of people unhappy, why are  
9 you raising that issue?

10 But there are some examples we wish we had  
11 those issues identified up front. Applicant knows what  
12 to submit, what to demonstrate, acceptance review goes  
13 through, no problem. So, a lot of these distractions,  
14 especially we spend so much time on a lot of  
15 programmatic elements, quality assurance of software,  
16 quality development process. A lot of those elements -  
17 - some of them are even like a discussion on the  
18 validity of even in some cases use of DAC. We spent so  
19 much time on while the other reviews are still waiting  
20 to be done.

21 So, we like to make some certain decisions  
22 that which one needs to be addressed up front. Okay,  
23 what is the significance, so we like to make -- these  
24 more safety-significant elements are highlighted in  
25 our new guidance up front. Those are identified and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 addressed. That's one of the lessons learned we have  
2 is we've got to make more important elements  
3 highlighted, emphasized in our guidance.

4 MEMBER BLEY: Have you actually started  
5 writing the guidance?

6 MR. SANTOS: Yes. I just want to add that  
7 what you're seeing here with the regulations is just  
8 the tip of the iceberg. In I&C it explodes when you  
9 start bringing in the Reg Guides. The IEEE standards  
10 that have multiple daughters. Our current guidance is  
11 very flexible, meaning it gives an Applicant in some  
12 cases three, four methods of how to read the  
13 regulation. And in some cases there's hybrid proposal,  
14 so for our reviewer it's very confusing. So, for DSRS  
15 this effort, we want to be -- create what I call a  
16 self-contained Chapter 7, where it brings all the  
17 things you need. Okay? And when there are multiple  
18 situations offer one proposed guidance that meets the  
19 regulation. They can deviate, but provide a more  
20 concise set of guidance, more closely associated with  
21 the context of the technology that's being presented.  
22 I think that would be a tremendous amount of savings  
23 and clarity there, so I just want to -- that goes --

24 MR. JUNG: It's related to that. I&C  
25 technology, as you know, the industry practice will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 continue to evolve. The software --

2 MEMBER BROWN: Be careful.

3 MR. JUNG: What I'm saying is -- what I'm  
4 trying to get at is Staff guidance is developed to  
5 provide -- we develop the Regulatory Guides or even  
6 SRP, we start mentioning certain standards. Those --  
7 a lot of standards are industry practices for the  
8 designers or implementors. Something that we learned  
9 that as you introduce, as you start endorsing certain  
10 standards that's reaching the level of detail of what  
11 necessary, what we need as a regulator to be able to  
12 review and approve it. Suddenly, you introduce the  
13 level of the detail, the criteria expectation of the  
14 regulatory perspective reaches all the way down to the  
15 floor of the individual offices of the designers. The  
16 burden gets shifted to the NRC to have the confidence  
17 that they are actually doing it right. That's  
18 tremendously burdensome to the Staff. The IEEE  
19 standards goes out to certain -- the independent  
20 organization. Their independence is good for  
21 independent V&V. By the time you get to certain  
22 criteria that in some cases we end up reaching at  
23 their actually education level, and things like that,  
24 it's really burdensome for the Staff.

25 So, those are some areas, the burden of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what Applicant and designer has to do. What we need,  
2 what kind of clear commitments and things that can  
3 stand over time whether new revision of IEEE standards  
4 or something comes along. We will still stand NRC's  
5 fundamental position on what it is. That line is not  
6 clearly drawn right now. So, if my Staff choose to go  
7 really verify that, the burden is significant. That's  
8 where a lot of people struggle with as the guidance  
9 has gradually expanded as we endorse a lot of the  
10 industry practices.

11 Right now I think you might have mentioned  
12 the IEEE standards that we have either endorsed and  
13 expected to use. I think gets to thousands of pages in  
14 addition to 500-page in SRP. That doesn't capture  
15 hundreds of pages of Reg Guides, which endorses  
16 another set of IEEE standards.

17 I think it's something that the Agency  
18 should look carefully. It's something that -- what's  
19 not working? Well, industry is supposed to do all  
20 that. Is it something NRC Staff needs to really go out  
21 that much detail in licensing stage for something that  
22 may not be built in 30 years down the road. It's  
23 something that we need to look carefully on, what is  
24 the licensing level of details. That's something we  
25 are struggling with, but certain decision is probably

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 hardest, and is good for my Staff because no decision,  
2 they'll struggle. So, that's something we are working  
3 on.

4 (Off the record comments.)

5 MR. SANTOS: For the sake of time, we're  
6 going to --

7 MEMBER BROWN: Don't skip number 12.

8 MEMBER SIEBER: Oh, you want 12?

9 MEMBER BROWN: Oh, yes. I don't care what  
10 you do. You've just got to put it up there. You don't  
11 have to talk about it, just --

12 MR. JUNG: We have mentioned already.

13 MEMBER BROWN: I know. I don't care. I want  
14 to make sure we drive that home.

15 MR. JUNG: For Charlie's sake, I practiced  
16 this slide the most last two days.

17 (Laughter.)

18 MR. JUNG: Okay. Staff agrees with the  
19 ACRS, especially with Charlie, that the current Staff  
20 guidance is not well structured to demonstrate how  
21 they conform to the fundamental design principles it  
22 has related to -- I'm going to repeat this;  
23 redundancy, independence, deterministic behavior,  
24 diversity, as well as simplicity.

25 MEMBER STETKAR: I think Ian's intent was

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to convey the notion that it's burned in so deeply  
2 that it goes without saying.

3 (Laughter.)

4 MEMBER BROWN: I would like to say that, or  
5 think that. But I -- no, hold on for a minute. That's  
6 why the emphasis on architecture focus which is  
7 technology independent needs to be captured under this  
8 umbrella of how we approach the licensing basis.

9 It's got to be technology independent  
10 because it is, and that has not been the focus as it  
11 was recognized very -- first when I got here -- for  
12 those new members the ESBWR I&C design, I sat in on a  
13 meeting July of 2008. They gave us one sheet, a big  
14 box which showed boxes of here's a protection system,  
15 here's a SFAS system, here's a this. That was it. And  
16 then they had a listing in the DCD of every Reg Guide,  
17 every GDC which said we will conform to every one of  
18 these. You can approve this now.

19 I mean, it was an absolute abomination,  
20 and it took two and a half years, and a change of I  
21 think their I&C Director to finally come through and  
22 deliver a pretty well thought out architecture  
23 definition which showed that they -- with a few tweaks  
24 after we questioned them, came out okay.

25 How do we get that approach, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 architecture approach within this framework? It  
2 significantly simplifies the Staff's job in their  
3 presentations and ability to convey to us that they've  
4 done the complete review that's satisfactory for the  
5 licensing basis, and applies a structure underneath to  
6 make sure that all the check boxes get checked, but  
7 don't have the check boxes be the primary focus. So,  
8 that's why I wanted him to do -- you can go on to  
9 slide 14 now.

10 MEMBER STETKAR: Don't skip 13.

11 MEMBER BROWN: John wants 13.

12 (Laughter.)

13 MEMBER STETKAR: I just want to ask. I  
14 don't want to get into detail but just flash it up  
15 here. At a high level -- and this is what I don't  
16 know. Have you started discussions with the SMR  
17 vendors regarding the general topic of DAC, and the  
18 strong incentives for minimizing, if not eliminating  
19 DAC?

20 MR. JUNG: Yes. I just want to make sure,  
21 the Commission has provide DAC as an available tool;  
22 however, in the discipline of I&C given the current  
23 state of technology and the proposed implementations  
24 the Staff feels very strong that there is no real need  
25 for the Applicants to exercise that option. And we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have already started communicating that.

2 MEMBER STETKAR: I certainly hope that that  
3 continues, because that --

4 MR. JUNG: Yes.

5 MEMBER STETKAR: Okay, thanks. Now, you can  
6 go forward.

7 MEMBER BROWN: Thank you, John. That's a  
8 very, very good point.

9 MR. JUNG: With the notion that I have to  
10 echo that this has to be understood that making a  
11 safety finding in Chapter 7, if an Applicant can  
12 demonstrate without platform or technology-dependent  
13 variable, we believe they can. We've done it in some  
14 of the newer designs.

15 What we are realizing is it's not  
16 important to have certain vendor label on --  
17 Westinghouse, something, or Common Q something.  
18 What's really important is how would you have an  
19 architecture and the flow of information, separation  
20 and independence that can be demonstrated at a higher  
21 level that will give not only the flexibility for  
22 future design, whatever platform, that can not only  
23 meet. It's actually probably better off, and that's  
24 the fundamental principle that we are applying. That  
25 will give you a clear picture of why we discourage, to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 use the word carefully, discourage the use of DAC for  
2 I&C.

3 I think the Applicant has listened to us.  
4 They're amendable at this point.

5 MR. SANTOS: One thing we've got to watch  
6 very closely is that the lack of completeness of  
7 quality of an application is not an excuse for the use  
8 of DAC. So, we're going to be watching that very  
9 closely.

10 MEMBER BROWN: Yes.

11 MR. JUNG: So, right now I'd like to  
12 highlight there are four elements of this effort.  
13 Right now, we'd like to restructure. It's restructure  
14 without changing any guidance. Once restructure is  
15 done, we're going to incorporate the improvements to  
16 it. Some of the improvements that we are thinking  
17 very hard and working hard is the remaining three  
18 areas.

19 We'd like to have an integrated hazard  
20 analysis approach, meaning the hazards in a global  
21 span of the hazards not on a piece by, and 7.2.1 have  
22 these hazards over there. We would like to cover all  
23 hazards for software, hardware, internal, external,  
24 design-basis, beyond design basis. We always  
25 understood what the regulation governs, or policy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 governs, or what we learned through an operating  
2 experience. We'd like to cover that.

3 And Sushil is here to explain, I believe,  
4 we had developed the user needs to research to help  
5 with us, so she has started working on that. Another  
6 element is related to the topic on the level of detail  
7 to be able to make the safety findings in the  
8 licensing stage that covers also the use of DAC or not  
9 for I&C. We'd like to define that. We'll work with an  
10 Applicant.

11 Also, for --

12 MEMBER BROWN: Are you going to use words  
13 like "architecture" in your final development of these  
14 things? I mean, we've emphasized that in each one of  
15 the other things. And it's a key element to get us up  
16 under these core principles --

17 MR. JUNG: Yes, it's critical. We've got to  
18 define what level, architecture level -- some of the  
19 guidance go all the way down to actually at the very  
20 low level, the nexus to overall safety might be very,  
21 very difficult to reach. When those others actually  
22 takes more time because so low-level on certain small  
23 boxes.

24 MEMBER BROWN: Well, that's why you want  
25 the high-level architecture that we've been trying to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 achieve on the most recent new plant designs.

2 MR. JUNG: Yes. Answers to your question,  
3 yes.

4 MEMBER BROWN: Okay, thanks.

5 MR. JUNG: And, also, software development  
6 process I discussed earlier, which has been typically  
7 a critical path item that took multi-year, thousands  
8 of hours to do it. One of the reason being, Staff  
9 guidance is written in such a way, Staff needs to  
10 delve into very detailed software development process  
11 information, plans, execution of the plans. And  
12 despite the overall QA requirement, despite I&C  
13 software requirements on additional requirements and  
14 independence, guidance on independent V&V, Staff has  
15 guidance expected -- Staff expectation in the guidance  
16 almost makes -- the Staff needs to do on top of all  
17 that, we have to review and approve the process and  
18 process implementation. That's why it was so  
19 difficult.

20 That's one of the reason Applicant's  
21 quality and level of detail, we'll work through  
22 different channel. What we are trying to define is  
23 what Staff can do, what we can handle to provide some  
24 efficiency while providing as good or better safety  
25 coverage in the licensing. So, one of the concepts

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that we developed is the use -- leveraging third-  
2 party, is a unique -- rather than -- it's very simple  
3 to NUPIC audit of the QA, so we rely on NUPIC to  
4 assess the QA.

5 Similar concepts, but we are given  
6 opportunity because Northrop Grumman has gone through  
7 this third -- applied this third-party concept. I'll  
8 explain that very briefly, and Charlie has some  
9 experience in applying this what we call CMMI Concept,  
10 third-party assessment. We'd like to leverage that.  
11 That could potentially put the -- some burden of the  
12 Staff back into the Applicant and third-party  
13 assessor.

14 Restructuring guidance, this is where we  
15 have made a lot of progress. Staff has been working  
16 on restructuring based on some of the lessons learned  
17 that we discussed. We are removing a lot of  
18 repetition, unnecessary repetitions in the guidance,  
19 structuring the guidance into more of integrated  
20 systems. We are looking at the -- removing  
21 repetitions, what we are trying to do is one issue is  
22 reviewed at one place and documented in one place,  
23 rather than putting that to two dozen different places  
24 and somebody has to continuously coordinate that.

25 I talked about independence. For example,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determinism. It'll be discussed in one place, and  
2 it'll be reviewed in one place. It'll be documented in  
3 one place, so when you get to our SER you will see one  
4 section on determinism. And you'll have details and  
5 basis for why determinism has been clearly addressed  
6 by the Applicant.

7           Next one I have to repeat that, Charlie,  
8 right? So --

9           MEMBER BROWN: You did fine.

10           MR. JUNG: Restructuring of the guidance to  
11 be consistent with the fundamental design principles.  
12 I don't want to repeat that, unless you --

13           MEMBER BROWN: That's fine.

14           (Simultaneous speaking.)

15           MEMBER SKILLMAN: A question to Charlie. Is  
16 the definition of determinism widely held and  
17 understood?

18           MEMBER BROWN: Deterministic processing is  
19 what we talk about in this circumstance. In other  
20 words, once you take data from a detector it goes  
21 straight through to the end and nothing stops the  
22 process. In other words, you've got a 50 millisecond  
23 cycle where every function is processed, every  
24 function is processed. In other words, you don't stop  
25 halfway through and say with an executive over there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 say oh, gee, I want to go over here and do a little  
2 self-test while I'm going a protection function.

3 That's kind of allowed if you look at it.  
4 You don't want that. Or if you have an interrupt-  
5 driven system where you stop the process to go get  
6 data as opposed to bringing it all in where the normal  
7 cycle just picks up data and then puts in the  
8 appropriate routines, and they're all done in series.

9 There's a number of ways to do that.  
10 There's one that actually is interrupt-driven, and  
11 it's -- we had considerable issue trying to work our  
12 way through that. And, finally, were able to come  
13 through it. They are more complex.

14 So, that's -- what we mean is everything gets done at  
15 once in a one-shot through.

16 MEMBER SKILLMAN: Thank you, Charlie.

17 MR. SANTOS: I just wanted to add that  
18 current guidance covers a lot of elements that can be  
19 categorized as what you do to get deterministic  
20 behavior. But they're scattered, so part of the  
21 effort is just to bring it under the --

22 MEMBER SKILLMAN: Thank you.

23 MR. JUNG: Current Staff guidance has a  
24 definition. I would like to make sure that that's  
25 something that's well understood by everybody, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 well.

2 MEMBER SKILLMAN: Thank you.

3 MR. JUNG: It's not -- these are --  
4 researching of guidance. These are not all of them.

5 MEMBER BROWN: Let me make one other ---  
6 just to make sure one other point. There are a number  
7 of functions that you may perform in a protection mode  
8 that are not fast-changing. Temperature doesn't change  
9 real fast in many circumstances.

10 MEMBER SKILLMAN: Low pressure.

11 MEMBER BROWN: Well, low pressure can  
12 change depending on what the circumstances are.

13 MEMBER SKILLMAN: But it might not  
14 depending on what the scenario --

15 MEMBER BROWN: So, certain temperature  
16 functions you may not want to process in every one  
17 single 50 milliseconds, but what you do is you  
18 structure that 50 milliseconds to be the same cycle.  
19 It's just it does another module as opposed to this  
20 particular one. So, you can skip it a couple of times.  
21 So, you can bypass that and go on. That's -- there are  
22 a number of different ways to do it. I just wanted to  
23 make it clear that slow moving functions don't have to  
24 be done every time. Fast moving functions like rate  
25 protection and other type things, nuclear do have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 be done.

2 MEMBER SKILLMAN: Thank you.

3 MEMBER BROWN: That's the only  
4 clarification.

5 MR. JUNG: Okay. Another element that we  
6 are considering is -- Dan Santos is current Chair of  
7 the Multinational Design Evaluation Program under NEI,  
8 OECD working with other regulators and some of the  
9 vendors to come up with certain common positions in  
10 I&C space. They have developed certain common  
11 positions for regulators to use in a consistent and  
12 harmonized way. We'll consider that.

13 And, of course, is updating latest --  
14 incorporating latest guidance that's been issued.  
15 That's an ongoing process in guidance development,  
16 some of the Reg Guides, or ISGs, and things that's not  
17 in current SRP. Current SRP will incorporate, so that  
18 the latest ones are covered in our DSRS.

19 There are a lot of other lessons learned.  
20 We are still capturing it. That's where some of the  
21 meat is going to come along in terms of defining how  
22 to incorporate some of the lessons learned.

23 MEMBER BROWN: You're talking the  
24 Multinational Design. I've got some -- just to let  
25 everybody know, I've got some inherent biases against

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that because if you look at some of the designs that  
2 have been imported from across the ocean to over here  
3 have had to have significant changes. In other words,  
4 they have more tolerance -- they appear to have more  
5 tolerance for a less redundant, less independent, less  
6 deterministic set of design architectures than we --  
7 let me put it this way, that I am comfortable with.  
8 Hopefully, the Staff is also uncomfortable, but  
9 they've made that effort to try to get them into the  
10 realm of what we are comfortable with, not we as a  
11 Committee, but we as a regulatory body. Did you have  
12 something else?

13 MEMBER STETKAR: I was going to say that  
14 may be changing as those designs migrate -- start to  
15 migrate across borders.

16 MEMBER BROWN: Yes, I'm not --

17 MEMBER STETKAR: Let's just put it that  
18 way.

19 MEMBER BROWN: I'm not saying you don't  
20 coordinate with them and look, but you -- I'm just --

21 CHAIR ARMIJO: Don't spend a lot of time.

22 MEMBER BROWN: Don't spend a lot of time  
23 trying to say gee, they do it over there, so it's got  
24 to be okay, because I don't buy that. And we -- you  
25 shouldn't either unless you can show a very good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 reason why it meets our criteria. That's all.

2 MR. JUNG: Yes, one thing is not captured  
3 here is something that we worked hard on. It's  
4 already paying dividends on this. The removal of non-  
5 applicable regulations and guidance. For example,  
6 IEEE-279 is just not completely applicable to advanced  
7 and new reactors. It's been mentioned more than 200  
8 times and discussed in the current SRP. There's a  
9 whole section on compliance with 279. I think it  
10 removed probably dozens of pages out of the current  
11 SRP by just removing that regulation and discussion  
12 along with that.

13 And then we have discussion of  
14 qualification more than 130 times. Although, Chapter 3  
15 reviews them all too much, and then Chapter 7  
16 continuously discuss qualification. Although we have a  
17 role, qualification of I&C equipment, our EMI, RFI, we  
18 are very sensitive to that. So, our role is to make  
19 sure technically folks have the ownership, and we  
20 provide our technical expertise to make sure that  
21 qualification is sufficient.

22 But what could happen is unless you are  
23 well trained on interfaces people will look at it and  
24 struggle through it at the end of chapter. SER has  
25 already gone through ACRS and was fine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   MEMBER BROWN: Yes, but you can't evaluate  
2 -- I mean, if we see Chapter 3 before we see Chapter  
3 7, which has happened I think more than once, then you  
4 don't know -- we don't know as a Committee, have you  
5 all been factored in, and do the -- are the issues of  
6 interest to us from an I&C standpoint really captured  
7 under that process. And that -- I struggle with that  
8 a little bit because that seems to me the cart is  
9 getting before the horse in that circumstance. I think  
10 I made the cliché properly.

11                   MR. JUNG: Yes. I mean, I think it's just  
12 clearly working with the Chapter 3 folks and the PMs  
13 to make sure what it covered, what's coming, and what  
14 area is still open. In some cases I remember there  
15 are certain qualification issues still open in Chapter  
16 7 and Chapter 3. So, those are the interfaces we want  
17 to make an improvement, clear improvements in our  
18 guidance. When you work on this, make sure Chapter 3  
19 is coordinated. Those interfaces can be another clear  
20 success for our -- okay.

21                   So, the next slide shows a -- it's not  
22 final. We are still brainstorming about it, and we  
23 are still rearranging it, make sure we are still  
24 capturing the right regulations under these columns.  
25 So, this is current status of what we envision. Staff

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is working on, is 7.0 is -- we need some introduction  
2 of how it's laid out. And then 7.1 will focus on the  
3 fundamental design principles under which we'll have -  
4 - under independence we'll list -- we'll have  
5 introduction section, and then areas of review, and  
6 then regulation regarding independence will be  
7 compiled and listed. All the Staff guidance and  
8 acceptance criteria will go right under it.

9           And then once we have that structure,  
10 improvements going to be imposed on it in terms of  
11 based on lessons learned. For example, identification  
12 of all interfaces between safety and non-safety, that  
13 cause a lot of problems because in some upper reviews,  
14 some of the interfaces showed up in a more detailed  
15 diagram three years down the road. We didn't know  
16 there was such an interface, so we're going to ask the  
17 Applicant just identify them all up front. Tell us  
18 why those are good practice as a part of the  
19 independence.

20           MEMBER BROWN: They ought to be able to  
21 identify that as part of the fundamental overarching  
22 architecture that they've put forth.

23           MR. JUNG: Right.

24           MEMBER BROWN: I mean, they ought to be  
25 able to do that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JUNG: Right now it doesn't do that.  
2 The Staff guidance is sort of -- if those are there,  
3 then we do it, but it doesn't tell the Applicant you  
4 have to identify. So, you can see the trap where given  
5 the Applicant, there are different engineers  
6 preparing, so I know I have an independent issue of  
7 interface here, but there might be other engineers not  
8 really thinking of that interface as their issue,  
9 because they're talking about maybe I'm interested in  
10 interlock function. So, not about independence, but  
11 about interlock between CAT non-safety systems. So,  
12 it's a lessons learned. It's ongoing. A couple of  
13 design centers identify those issues really late in  
14 the game, and in some cases they ended up changing the  
15 design at the last minute.

16 That's the structure. If you're going to  
17 preserve and make it better in terms of the system-  
18 specific requirements and guidance.

19 MR. SANTOS: That's what I say, we'll  
20 preserve it.

21 MR. JUNG: Right. And then we'll improve  
22 upon it by adding interfaces and some of the new  
23 things we learn. And then next slide. And then there  
24 --

25 MEMBER BLEY: You'll still be endorsing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 IEEE standards in other things. Right?

2 MR. JUNG: Yes, we're not creating new  
3 guidance --

4 MEMBER BLEY: So, there will still be that  
5 morass, but at least you'll have the ties to it all in  
6 one place.

7 MR. JUNG: Yes.

8 MEMBER BLEY: Because you pretty much have  
9 to.

10 MR. JUNG: Yes, we have to. Endorsing, not  
11 endorsing those are Agency decision as a whole, so  
12 we'll --

13 MEMBER BLEY: And there's federal mandate  
14 that you --

15 MR. JUNG: Yes, but in terms of licensing -  
16 - yes, we'll have to do. But in terms of how to  
17 utilize that more efficient and effective manner in  
18 our licensing stage versus perhaps use the ITAAC  
19 inspection as a verification, that's the balance we  
20 like to have. Right now, a lot of --

21 MEMBER BLEY: There will be guidance on how  
22 they should present stuff?

23 MR. JUNG: Yes.

24 MEMBER BLEY: Organize this stuff so you  
25 can find your way through it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JUNG: Right.

2 MEMBER BROWN: We can read this one. Why  
3 don't you move on?

4 MR. JUNG: Okay.

5 MEMBER BROWN: If nobody has any questions  
6 on it.

7 MR. JUNG: Okay. I'll turn it over to  
8 Sushil here regarding an integrated hazard analysis of  
9 a few slides just to give you what's going on with the  
10 integrated hazard analysis, and what that means and  
11 the background.

12 MR. BIRLA: Thank you, Ian. Good morning. I  
13 am Sushil Birla with the Office of Nuclear Regulatory  
14 Research. I'm a Senior Technical Advisor there  
15 supporting the I&C community and the NRC.

16 The subject of integrated hazard analysis  
17 has been mentioned several times by Ian earlier.  
18 Hazard meaning potential for harm is quite well  
19 understood for external hazards such as fire, flood,  
20 tsunami, and so on. And it's quite well understood for  
21 electronic hardware where techniques exist, mature  
22 techniques exist to analyze for hazard techniques such  
23 as faulty analysis, failure modes and facts analysis.  
24 But when it comes to hazards contributed through  
25 engineering mistakes, defects, the state of knowledge

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is not all that clear.

2 So, the purpose of this activity to  
3 support this integrated approach that Ian has  
4 mentioned is to bring together existing knowledge on  
5 how do you evaluate hazard analysis at the  
6 requirements phase, at the architecture design phase,  
7 coming down to software and so on.

8 The concept of architectural design --  
9 hazard analysis of architectural designs starts from  
10 the plant level I&C architecture. That's where the  
11 relationships with non-safety systems comes in.  
12 Several members have mentioned the question well, what  
13 about multiple SMR units getting together? Well, that  
14 would naturally bring in the effect of that. The  
15 analysis should show that there is no adverse effect.

16 It certainly has the potential for raising  
17 complexity, but the onus is on the Applicant's hazard  
18 analysis to demonstrate that has been properly taken  
19 care of. Then it proceeds down to the I&C safety  
20 system level, and then to the software in the I&C  
21 safety system, so on.

22 The problem is that what are the  
23 architecture specifications that are verifiable that  
24 assure you that the desired system properties, such as  
25 independence are preserved.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Today, the requirements of a high level in  
2 the abstract they have to be flowed down, the right  
3 requirements and architecture constraints have to be  
4 created such that they are verifiable. Not just  
5 verifiable, but verifiable independently; that means  
6 the evidence of verification should be verifiable by a  
7 third party not involved in the process. Those are the  
8 criteria of how specific you want to be.

9 The last bullet Ian has already mentioned  
10 a number of times. I'm going to skip over that.

11 MEMBER STETKAR: Sushil, before you leave  
12 that slide, you quickly got through one thing that's  
13 there and one thing that's not there.

14 When your first two bullets say well, for  
15 external hazards we have a mature way of thinking  
16 about that process, and for I&C hardware we have  
17 mature techniques. Some people would argue with that,  
18 but indeed I subscribe to that. There's the third  
19 sub-bullet under the third main bullet that is a  
20 single little word called "software." How have you  
21 thought through this integrated hazards analysis  
22 approach for software? And if you've not, how are you  
23 working in research to address that issue?

24 MR. BIRLA: Okay.

25 MEMBER STETKAR: Because everything else on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this slide, I sort of understand basically how to do.  
2 Not so much that software sub-bullet.

3 MR. BIRLA: Yes. If you take principles of  
4 architectural design, what you start with at the plant  
5 architectural level and use the same principles  
6 recursively at the safety system level, and then the  
7 software architecture that goes in that safety system  
8 and flow down that software architecture to the finest  
9 screen on which these safety findings depend. That is  
10 the approach we are taking in this hazard analysis.

11 That goes down to the point of including  
12 design and implementation constraints as a part of the  
13 architectural specifications. In other words, if those  
14 design and implementation constraints are not even  
15 there, then the potential contributing hazards have  
16 not been addressed properly.

17 MEMBER STETKAR: I think what I'm  
18 struggling with, and we'll need to pursue this. And  
19 you're aware of kind of our interactions --

20 MR. BIRLA: Yes, of course.

21 MEMBER STETKAR: -- in the PRA space and  
22 the deterministic space, if you will.

23 MR. BIRLA: Yes.

24 MEMBER STETKAR: The notion of -- I know  
25 how to do a failure modes and effects analysis for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hardware in principle. People seem to be struggling  
2 with how to do the equivalent for software, in  
3 particular because I can't get anybody to even tell me  
4 what the failure modes might be. So, I think it's  
5 important as we go forward for us to understand sort  
6 of that vision about how you do some sort of  
7 equivalent type of hazard -- if you want to call it a  
8 hazards analysis, or --

9 MR. BIRLA: Right.

10 MEMBER SKILLMAN: -- an FMEA, or something  
11 of that nature for the software and the integration of  
12 the software and the hardware. Obviously, this is  
13 pretty premature but it does affect kind of ongoing  
14 interactions between I&C and other folks who are in  
15 research who are struggling with that same sort of  
16 general issue for other purposes.

17 MR. BIRLA: Yes.

18 MEMBER STETKAR: So, that's what -- I just  
19 wanted to sort of pulse you on how far you'd thought  
20 about that software issue.

21 The other thing that I don't see here, and  
22 I was going to ask Ian earlier, but I decided to wait  
23 until we got to this slide, is in all of the multi-  
24 armed or multi-tentacled, or whatever you want to call  
25 it slides that we saw about how Chapter 7 reaches out

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 into a whole bunch of different areas, and how complex  
2 it is. Then on this slide in terms of hazards, I've  
3 seen no mention of cyber security. How have you  
4 thought about that?

5 And we've had some discussions in the past  
6 about this notion of integrating the safety system  
7 design functions of an integrated protection control  
8 system with the cyber security aspects at an early  
9 stage of the evaluation process. And the reason I left  
10 it to here is I can think of a bullet that says a  
11 hazard is a cyber security intrusion. So, I was  
12 curious why -- and I looked through your slides and  
13 cyber security doesn't show up anywhere else. So,  
14 have you thought about that, and does this new  
15 approach explicitly integrate that issue as part of  
16 the assessment?

17 MR. BIRLA: Yes, so you're absolutely  
18 right. An intrusion, unwanted intrusion, unauthorized  
19 intrusion regardless of the motive, whether it's  
20 malicious or negligence, any intrusion that can  
21 interfere with, or defeat, or compromise the safety  
22 function is a hazard. So, yes, absolutely fits in the  
23 conceptual framework very well without having to  
24 explicitly say that it is malicious in intent.

25 MR. BERGMAN: I would like to -- yes, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 need to be clear on that point, because that is --

2 MEMBER BROWN: I was waiting for you to  
3 talk.

4 MR. BERGMAN: Because that's -- and I've  
5 used the term cyber, is to a certain extent a free  
6 rider on the safety review that the finding would be -  
7 - and whether it's -- would not be that it's malicious  
8 or not. It would be this type of thing occurs.

9 If we make a finding that a malicious  
10 event is precluded, and I know we have a disagreement  
11 over this, is considered -- cyber is a form of  
12 sabotage and, thus, it is covered under Part 73, not  
13 under Part 50. But it doesn't mean that the exact same  
14 type of hazard due to inadvertent, or ineptitude, or  
15 however you want to look at it, hasn't been evaluated  
16 as part of the safety review. But we should not be  
17 making under Chapter 7 findings against cyber  
18 security. Just like we don't make findings for any  
19 other type of sabotage in that chapter.

20 MEMBER BROWN: This issue is not going to  
21 go away.

22 MEMBER STETKAR: I kind of expected to hear  
23 that. I'm just obviously pulsing it. We're thinking  
24 about kind of rethinking the way that these reviews  
25 are structured. You know, does this not give us an

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 opportunity to do -- to add that into the mix, because  
2 I can see how it would easily fit into this type of  
3 concept.

4 MR. BIRLA: Yes. And you saw that right.  
5 Now, if you partition that issue into threats and  
6 vulnerabilities, the examination of vulnerability for  
7 any potential -- now, you get the idea.

8 MEMBER STETKAR: Yes, that's -- I'm not  
9 talking necessarily about a threat assessment, but at  
10 least an evaluation of the design protections from a  
11 vulnerability assessment.

12 MR. BIRLA: So, my idea here is to view  
13 that as a class without being explicit about the  
14 intent, so that we can work into that approach of the  
15 vulnerability analysis.

16 MEMBER STETKAR: Okay. I just wanted to --  
17 I needed to pulse you on that. I thought Charlie  
18 would, but --

19 MEMBER BROWN: I'm still trying to figure  
20 out how to attack their impregnable castle and get a  
21 cross on this. Well, one of the recent designs we  
22 looked at, if you breach one firewall you can actually  
23 compromise the data coming from the plant that goes to  
24 the control room. And it's a matter of how -- I've got  
25 to figure out and make sure I understand that before I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 say anything.

2 MEMBER STETKAR: You got me, that's details  
3 of the design.

4 MEMBER BROWN: It's the detail of the  
5 design, but it was presented to us, and it was shown  
6 in the thing, but it's been ignored relative to its  
7 point. So, anyway, it will come up again.

8 MR. BERGMAN: Well, not trying to advise  
9 the Committee, of course --

10 (Laughter.)

11 MR. BERGMAN: If I desire to do what you  
12 wanted to do, my course of action would be to pursue  
13 rulemaking because we're pretty confident how the  
14 rules read. Being a member of the Staff not involved  
15 with that rulemaking, it's relative newness and the  
16 fact that it went through a very involved process to  
17 be generated, and was kept in Part 73, I would  
18 cautiously think about proposing a rulemaking,  
19 especially when at about the same time the Commission  
20 deliberated the Aircraft Impact Rule, which began in  
21 Part 73, but ended in Part 50 as a design and safety  
22 issue. So, they made that decision in one case and not  
23 the other. And you can't read -- there's nothing  
24 written down that explains the rationale for taking  
25 the two different approaches. But that was the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 approach that was taken, and --

2 MEMBER STETKAR: Well, all I'm saying, Tom,  
3 is that this may give us an opportunity to -- if there  
4 was a rationale, to revisit that rationale.

5 MR. BERGMAN: If there were a regulatory  
6 basis, it would be easy to do. The problem is we  
7 can't -- we, Staff, can find a regulation to link it  
8 to at this time.

9 MEMBER STETKAR: Understand your  
10 constraints.

11 MEMBER BROWN: Yes, I know. I've read 73.54  
12 at least 450 to 1,000 times, and I read it slightly  
13 less constrained than you all. But that's a subject  
14 for another time, and I will -- I understand your  
15 point.

16 MR. SANTOS: What I like about this concept  
17 of integrated hazard analysis is that it enables an  
18 Applicant to really think about their systems, their  
19 plant without really being constrained by the  
20 regulatory structure per se, which is a good exercise  
21 in my mind from an engineering standpoint that they've  
22 got to do. Rather than oh, I'm going to draw this line  
23 between design basis and beyond design basis, and  
24 start with that as opposed to this is my universe.

25 MR. BIRLA: Yes. Dan has stated it very

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 well. This is Sushil Birla again. It provides us a --

2  
3 MEMBER BROWN: Are you on slide 19 now?

4 MR. BIRLA: Yes.

5 MEMBER BROWN: Okay, thank you.

6 MR. BIRLA: Provides us an integration  
7 framework where things pick naturally, and you don't  
8 lose the picture of the forest going after one clause  
9 at a time individually. So, NRO has sent a User-Need  
10 Request to Research. It consists of two deliverables,  
11 as you see in the two bullets here. The first it to be  
12 delivered to meet the -- Stu's timing requirement of  
13 November 2012. And the second is integration into the  
14 DSRS that Ian mentioned.

15 We will be meeting every two weeks on this  
16 project between Research and NRO so that they have the  
17 awareness of whatever information we have uncovered up  
18 to that point so that they can pick up those ideas in  
19 thinking about how they want to organize the DSRS. So,  
20 right now my thinking is organize it around the hazard  
21 analysis.

22 So, this picture shows the relationship of  
23 hazard analysis to the overall SAR. Specifically, the  
24 result of hazard analysis scoped in our activity is  
25 safety requirements, design constraints, architectural

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 specifications that are verifiable. It excludes from  
2 its scope the whole area of verification.

3 So, that is the dividing line, the  
4 vertical line above at the 12:00 position that you see  
5 between the licensing space and the ITAAC space. So,  
6 we did not have a clear dividing line because we did  
7 not have -- how many times do you see the word  
8 "architecture" in our guidance? We didn't have the  
9 concept of architectural specifications and  
10 constraints very well articulated, so that's really a  
11 key contribution of this work.

12 And then when verification activities are  
13 performed, what you generate is individual pieces of  
14 evidence component by component item, and the 6:00  
15 triangle says that the Applicant would need the SAR,  
16 have another activity to show how that evidence  
17 integrates to show that the -- I use the term safety  
18 goals, but what I mean here is the safety requirements  
19 that the safety system was supposed to satisfy. That's  
20 the end of my presentation.

21 MR. JUNG: Briefly, I think the scope and  
22 level of detail aspects of this area is big for us  
23 regarding the use of DAC. We are discouraging that.  
24 And to be able to implement that we've got to define  
25 the level of detail that is sufficient, necessary and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 sufficient to make a safety finding in an effective  
2 and efficient manner. We would like to work in this  
3 area discussing with Charlie in terms of architectural  
4 level of constraints and requirements, as well as  
5 better defining clear elements that can be easily  
6 verifiable through ITAAC process, as well. That will  
7 put the burden more on to the licensing review with  
8 sufficient details.

9 In some areas we're going to need more  
10 details, or more clear information like diagrams and -  
11 - logic diagrams and things like that. But in some  
12 cases, like those process-driven programmatic  
13 elements, we're going to define more as inspections  
14 activities in some cases. And then we're going to need  
15 a verification method, language that are clear. So,  
16 it's a balance between we need more in this, more  
17 clarity and more information, in some cases less, but  
18 you've got to still backup with the clear verification  
19 methods that that really -- if those are significant  
20 enough, then we need that balance. It's going to be  
21 hard decision, but I think we better make a decision.  
22 Otherwise, individual Staff member will struggle  
23 through.

24 MEMBER BROWN: Keep in mind, okay? This is  
25 my thought, okay, is that you can't verify via ITAAC a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 satisfactory independent architecture for your safety  
2 plan. It just can't be done.

3 MR. JUNG: Understood, yes.

4 MEMBER BROWN: I don't know whether you  
5 call it DAC, ITAAC, or whatever, it just will not  
6 work. Your independent design, the fundamental  
7 principles have to be defined in terms of the figures  
8 represented to you for the architecture and how they  
9 interact, the divisions, the channels, whatever you  
10 want to call them, safety channels.

11 MR. JUNG: That's the goal. We'd like to  
12 reach a safety finding based on the details in the  
13 licensing stage that clearly demonstrate those  
14 principles up front. Verification with the  
15 implementation of the details that are not really --  
16 Research is not necessary to make the finding. If we  
17 are finding something that should have been in  
18 licensing finding, that's something that we need to  
19 deal with through the framework we have. I think we  
20 have some experience I think we can define that.

21 Leveraging third-party assessment, maybe  
22 I'll turn it over to Dan.

23 MR. SANTOS: Okay. Basically, we learned  
24 through the Applicant that they solicit -- Northrop  
25 Grumman in this case would be the I&C vendor, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 during this mPower-specific program we want to see and  
2 leverage their track record already established in  
3 creating other safety critical, mission critical  
4 system. It's not that we're trying to impose new  
5 requirements or anything. We're trying to see what are  
6 they good at already that we can leverage.

7 And what we found here is that they have  
8 experience with this framework model. It's called the  
9 CMMI. The first thing I want to do is demystify it.  
10 Okay? This is --

11 MEMBER STETKAR: Please do.

12 MR. SANTOS: Let me start with that. It's  
13 not a process. It's not about defining a process. It  
14 is simply a process improvement framework. Okay? That  
15 guides the developer, in this system developer through  
16 a set of best practices to in a more disciplined  
17 manner show that they understand and can follow their  
18 own processes. That's basically what it does. Okay?

19 What we've found in our reviews is that we  
20 will, and will continue to review what are the right  
21 processes for software development established by IEEE  
22 standard. That does not change, but what we found is  
23 that in some applications given a number of reasons,  
24 we were spending thousands of hours becoming what I  
25 call pseudo-quality arm of their quality -- of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vendor's quality assurance department helping them and  
2 reviewing how they actually follow their own processes  
3 they committed to. Okay?

4 For example, software configuration  
5 management. We know what the process is established  
6 by IEEE standard. They say they comply to it, but for  
7 whatever reason we got in this trap of well, this is  
8 how you really need to do it, and you see what I'm  
9 saying? So, it's like our level of maturity was  
10 lacking in some of the applications, so we are  
11 spending too much time. If I have a vendor already  
12 that can demonstrate that is mature enough to follow  
13 their own processes, that will save tremendous amount  
14 of time. And that's what we are seeking with this,  
15 nothing more. So, it's just that the worry is kind of  
16 ooh, what is that? But we just want to demystify it a  
17 little bit.

18 So, that's all. We see this as an  
19 efficiency improvement. I think based on my experience  
20 there will be efficiency gains later on also in  
21 inspections because the inspections can then be better  
22 focused in some areas. Right now, we go to an  
23 inspection and you have to look at do I trust anything  
24 here about the development process, with another thing  
25 in mind, I can go more specific, these more specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 areas.

2 MEMBER BLEY: Is this process something  
3 they do, or something their other customers have  
4 imposed on them?

5 MR. SANTOS: In the case of DOD, there are  
6 some DOD contracts, for example, that will require  
7 them a certain level of maturity. There's five levels  
8 as part of their --

9 MEMBER BLEY: But you introduced this  
10 talking about third-party assessment, so it can't be  
11 their own assessment.

12 MR. SANTOS: No, typically there's a  
13 certified -- SEI is the Software Engineering Institute  
14 at Carnegie Mellon. They have a certified program for  
15 SCAMPI method of assessment, third-party assessment.  
16 That will come in and assess them against that.

17 Again, that doesn't guarantee that you're  
18 getting the product you need, or that they have the  
19 right process. It's that do they have that -- are they  
20 following this framework for process improvement. So,  
21 I just -- that's all we're trying to do here.

22 MEMBER BROWN: This is an expansion. It's  
23 been a while since I looked at the Carnegie Mellon --

24 MR. SANTOS: Correct.

25 MEMBER BROWN: -- standards. Yes, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looked at that in our program years ago, and it  
2 establishes about five levels of software competency  
3 or something, whatever you want to call it in terms of  
4 your ability to develop software. Level one means you  
5 get spaghetti code, people are kind of sitting around  
6 just doing whatever they want to do and they don't  
7 worry about the standards to which they do it. I'm  
8 being a little bit facetious. And as you progress up  
9 the chain, you've imposed upon yourself some standards  
10 in terms of how you actually do your programming and  
11 software, and how you write your codes so that you  
12 don't put yourself in trouble. It requires you at the  
13 increasing levels that you comment every step of your  
14 code so that you know why you did that step, and you  
15 have a set of requirements, software requirements that  
16 you then have to verify that are certified that they  
17 have to walk through and demonstrate that their code  
18 meets. So, you go through this qualification. It's  
19 like an ISO standard. If you go through and quality to  
20 this, and you may -- I think you have to maintain it.  
21 You have to go requalify periodically. I've forgotten  
22 whether that's in there or not.

23           Level five is very hard to achieve, and  
24 it's very, very expensive to do that. And it's also  
25 very, very expensive to a customer. Level three seems

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 to be a rough level where a large number of people  
2 delivering systems have kind of settled in, and it  
3 seems to be okay. That's -- and my program before I  
4 left, that was roughly the area where we didn't push a  
5 whole lot harder. I mean, even we ran out of gold at  
6 some point.

7 MR. SANTOS: Yes, it's very expensive, as  
8 Charlie mentioned, and as you get to higher levels you  
9 introduce things like very formal error defect  
10 tracking, feedback mechanism, quantitative measures.  
11 This is very rigorous as you get higher up in levels.  
12 And, again, we're not trying to impose any new  
13 requirements. We're just trying to leverage what this  
14 vendor already brings.

15 MEMBER BROWN: The thing is the NRC -- the  
16 Staff will never be able to be code verifiers.

17 MR. SANTOS: Correct.

18 MEMBER BROWN: They do not have the  
19 resources to do it. Whether this really will be the  
20 total answer, don't know, but they've got to go do  
21 something to get a better handle, in my opinion, on  
22 trying to get a handle on software verification, as  
23 opposed to just relying on the vendor. Oh, yes, we'll  
24 go through the software verification process. There  
25 ought to be some standard.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           MEMBER BLEY: There are -- and I just  
2 became aware of this through some other work I've been  
3 doing. You guys must know about it. Maybe it fits in  
4 here. There are automated software analysis tools  
5 that look at software trying to determine if there  
6 are, let me say traps in the software, places where  
7 problems could be hiding that are pretty elaborate and  
8 automated. And they're used apparently in other  
9 industries quite a bit. Are you familiar with those,  
10 and do they form part of this thing?

11           MR. SANTOS: I am. And, again, CMMI will  
12 not require you to do that. But if the vendor includes  
13 them as part of your process, and that falls in one of  
14 the category of CMMI, then CMMI will assess --

15           MEMBER BLEY: I mean, right now we're  
16 trying to make sure we don't have problems in the  
17 software through insuring the process is a good one.  
18 But there are tools to actually look at software and  
19 see if it has --

20           MR. SANTOS: Yes, and we encourage the use  
21 of those tools.

22           MEMBER BLEY: But you don't require it.

23           MR. SANTOS: Correct. And that will be  
24 part of --

25           MEMBER BLEY: But you're familiar enough

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 with it, if they use it --

2 MR. SANTOS: Yes.

3 MEMBER BLEY: -- you can understand it.

4 MR. SANTOS: Yes. And in some cases, you  
5 know, I cannot require, but we have asked those  
6 questions, why -- are you aware of this?

7 MR. JUNG: Some of the industry standards  
8 actually strongly recommends automation tools knowing  
9 line by line annual verification of the software.

10 MR. SANTOS: Yes. CMMI won't require that.  
11 That's why it's important, we will continue to retain  
12 our involvement of understanding the processes for  
13 which they develop their system. That is not going to  
14 go away.

15 MR. JUNG: Dennis, it doesn't really fit in  
16 all cases. Those are significant new codes, probably  
17 those are good practice to do it. But like USAPWR,  
18 certain designs that have gone through the development  
19 for last 30 years, it's been implemented in Japan.  
20 Most of the software codes really didn't change, so  
21 actually they have instituted from the beginning  
22 manual line by line verification, 30 years, millions  
23 of hours of verification, and on top of it they have  
24 to do independent V&V. Those tools are probably  
25 unnecessary as they develop the USAPWR, some of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 software changes they have to do is sometimes very  
2 minimal.

3 MR. BIRLA: Since I got asked, this is  
4 Sushil Birla. Your question was about the awareness in  
5 the technical staff of the technology, the use of  
6 those tools.

7 MEMBER BLEY: It was also do you require  
8 it, but I hear --

9 MR. BIRLA: As Dan mentioned, the NRC does  
10 not explicitly require the use of tools. But those  
11 techniques are showing up in the FPGA type  
12 implementations.

13 MEMBER BLEY: I'm sorry, in the what?

14 MR. BIRLA: The FPGA implementations.

15 MR. JUNG: Field Program --

16 MR. BIRLA: Basically, it is logic that is  
17 going to be running on some fabric that is -- that are  
18 no moving parts, as opposed to software where there's  
19 an operating system managing and so on. But the  
20 essence is is your logic correct or not? That question  
21 is being addressed by the verification tools used in  
22 the development process of code core implementation on  
23 the floating point 8A type technologies.

24 Now, there is a research project at EdF in  
25 France where they are examining that kind of a process

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where from a high-level specification language that is  
2 used in the hardware world like VHDL, you  
3 automatically generate the logic, and then use  
4 automatic verification tools to verify whether the  
5 logic is correct.

6 And in this research project they  
7 recognize that solely depending on one verification  
8 tool does not give you the certainty that you need, so  
9 under -- the research contract is sole source by the  
10 way. So, they've got four different verification tools  
11 with the premise, note that word, that if one doesn't  
12 catch it, the second will. If second doesn't, third  
13 will, if third doesn't, fourth will. However, they are  
14 not at a point where they can assure that all four  
15 different verification tools, they've got the coverage  
16 they need yet. So, that's where the technology is at.

17 And in the pure software world where the  
18 application software is running on some microprocessor  
19 with some operating system, you can just imagine how  
20 distant we are.

21 MEMBER ABDEL-KHALIK: I must say that I'm  
22 conceptually troubled by third-party assessments. And  
23 the first question, is there any other place within  
24 the Standard Review Plan where third-party assessments  
25 are used?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. JUNG: I already mentioned, for I&C.

2 MEMBER STETKAR: Under QA.

3 MR. JUNG: I mentioned that, a NUPIC audit,  
4 for example, we rely on NUPIC audits results as a  
5 basis for going into --

6 (Simultaneous speaking.)

7 MR. JUNG: Another thing we forgot to  
8 mention is it really doesn't -- the element that does  
9 not really change the Applicant's conformance to the  
10 regulations or the process they defined. That's the  
11 one that level -- they have to define the process.  
12 They have to tell us are they committing to follow  
13 IEEE standards for configuration management and  
14 control, or define -- describe that if they deviate --  
15 they still have to define the level of detail for us  
16 to have assurance that this process -- if that  
17 particular process is followed through that that's  
18 going to be -- because if they say I'm going to just  
19 do ISO9000, we're just going to reject it, for  
20 example. But they have to define generally -- they  
21 have to define that. They have to provide  
22 independent verification and validation. All that  
23 typically we expect, and they're going to define that.

24 What we are relying on on the CMMI, the  
25 third-party is providing is that yes, they have a QA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 program. They have all that. But from an Agency  
2 perspective to insure -- to have the additional  
3 confidence. In the past, Staff looked over a lot of  
4 details to see. Tell me exactly how you're going to do  
5 it.

6 So, in operating reactors, of course, you  
7 had an output, for example, so you actually looked at  
8 the output, read audit, and all that. What we are --

9 MEMBER ABDEL-KHALIK: My concern is really  
10 -- it's a slippery slope issue, and whether you're  
11 getting sort of in a direction where you're abrogating  
12 your responsibility by shifting the responsibility to  
13 a third-party. And if you assure yourself that that's  
14 not the case, then perhaps that would address my  
15 concern.

16 MR. SANTOS: Very good sensitivity. I agree  
17 with that. And we need to do some training in all  
18 areas, because we cannot abandon our review of the  
19 process and understanding of that to justify the  
20 safety finding. What CMMI in this particular case is  
21 really doing is avoiding us to fall in the trap of  
22 having to review things we really should have been  
23 reviewing in the first place. But we need to make sure  
24 we keep that discipline that when units starts  
25 divesting what I call NRC's role in assuring safety

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealgross.com](http://www.nealgross.com)

1 finding, I -- yes, we are fully aware of that.

2 MR. JUNG: That's not the intention.

3 MEMBER ABDEL-KHALIK: I know it's not the  
4 intention, but it's this slippery slope --

5 MR. SANTOS: We've got to be very careful.  
6 That's right. That's why I said, we've got to  
7 demystify the title of -- we have all of that.

8 MEMBER SIEBER: It's not only what your  
9 intention is, on the other hand there is public  
10 perception as to what the value of third-party reviews  
11 are.

12 MR. JUNG: There are a lot of nuances. I  
13 don't think we need to get into that discussion. But  
14 we are very familiar with that. We'll be very much  
15 aware of that.

16 Can we skip the --

17 MR. SANTOS: Yes, I already did.

18 MR. JUNG: Challenges, very briefly. It's a  
19 collaboration, continuous collaboration with an  
20 Applicant, because we are given an opportunity to  
21 really do it, because of the Applicant we are doing  
22 now, because we could have done it through next SRP  
23 update. The downside of that is if we wait for two  
24 more years, a lot of lessons learned by the people who  
25 worked on it now, some of them are going to retire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 next couple of years, so we'd like to capture that and  
2 actually use it and learn. And we'll learn some  
3 lessons through that. We expect that. So, right now we  
4 have a real formal SRP update we could incorporate  
5 some of the outcomes of this.

6 Schedule is very challenging, by November.

7 Big document here, we are trying to incorporate a lot  
8 of lessons. We are very conscious about these lessons  
9 learned going into broadly applying to other areas and  
10 future advanced reactors, even other large light water  
11 reactors, and operating reactors, will work with NRR  
12 and Research for that.

13 We are very conscious about the technical  
14 consistency across offices, applying lessons learned  
15 broadly, and for future SRP update. Right now, I think  
16 it's scheduled under budget process 2014 time frame.  
17 That's what I was told for next SRP update for the  
18 broader Chapter 7.

19 Okay, status and schedule. Staff worked --  
20 has been working very hard and last several months  
21 working with the B&W, and we have a very early draft.

22 We did a lot of restructuring by just removing a lot  
23 of repetitions, and deleting non-applicable side of  
24 it. We are actually half of what it used to be just by  
25 sizing it. Right now it's about 250 instead of 500

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 pages. That's tremendous success, it's easier for my  
2 Staff to just focus on areas. They don't have to worry  
3 about what's out there, and what do I have to do with  
4 this.

5 The current goal, November time frame to  
6 get this DSRS, not just for this Chapter 7 but other  
7 chapters to go out for public comment as a draft. In  
8 between these particular Chapter 7 efforts are unique  
9 and very challenging, and requires a lot of  
10 interactions. We're going to do a lot of interactions  
11 in public settings with the B&W, Northrop Grumman,  
12 and almost like every couple of months to reach that  
13 point.

14 The next draft we are pursuing is sometime  
15 March-April time frame, have something decent that we  
16 can start sharing publicly. So, we envision, I think  
17 ACRS is very much interested in this subject, so we'll  
18 probably work with Christina to see if we can come to  
19 the Committee maybe spring time.

20 MEMBER BROWN: If you can skip the summary  
21 phase of it, go ahead. It was not -- it was really  
22 just kind of a repeat, and we're running a little bit  
23 -- in the interest of finishing.

24 I anticipate a Subcommittee meeting at  
25 some point. What you all need to let us know --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Christina know when you want to do that so that we  
2 can insure that the -- at least the relevant -- those  
3 who are interested in listening to this. This is like  
4 doing PRA, TH meetings.

5 (Laughter.)

6 MEMBER BROWN: So, if you would make sure  
7 you communicate with Christina and let us know what  
8 time frame you want to do it. I don't want it to be at  
9 the Eleventh Hour and 59<sup>th</sup> minute. We ought to make  
10 sure we have enough time such that our input can be  
11 factored into what you try to do at the end of the  
12 year.

13 MEMBER SCHULTZ: Charlie, one comment on  
14 the presentation. Early on in the discussion you  
15 mentioned that one of the key benefits was that the  
16 Staff would alleviate the need to perform multiple or  
17 common reviews and so forth; and, therefore, you'd  
18 have more Staff resources for other things. And you  
19 mentioned peer review as one approach that could be  
20 used beneficially to improve the safety case.

21 In regard to the overall process, how are  
22 you assuring that the resources in the peer review  
23 area will be applied in a robust fashion?

24 MR. JUNG: Right now, I think peer review  
25 process already is an ongoing process. But we are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 trying -- the Staff -- there are a number of Staffs  
2 and budget, and resources and schedule given is a  
3 matter of if -- Grade 15 engineer, for example, they  
4 are usually assigned as an overall lead providing a  
5 lot of help on the lower grade staff members. Even now  
6 is happening, typically the lead engineer will do the  
7 peer review throughout the review process. But the  
8 efficiency we're going to gain will make those  
9 existing peer review process even more systematic, and  
10 being able to look at the issues globally more, and  
11 having more time focusing on more important areas, not  
12 for those issues, 15 engineers trying to figure out  
13 the nexus to different sections of the SRP. We cover  
14 that regulation, rather than their question should be  
15 are they really -- are we really addressing  
16 fundamental design principles independence. Clearly,  
17 they'll provide that additional benefit addressing  
18 real safety issues better. I think, so that efficiency  
19 in allowing more time for the senior engineers --

20 MEMBER SCHULTZ: I expected this, but I  
21 wanted to hear that you were focusing on a robust  
22 process that would use that resource --

23 MR. JUNG: Yes, that'll give me also higher  
24 confidence to the Staff, since they have more time we  
25 expect them to do a better job.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MEMBER SCHULTZ: Thank you.

2 MEMBER BROWN: Are there any other  
3 questions from the members?

4 CHAIR ARMIJO: I'd like to compliment the  
5 Staff. I think you're doing a good thing in clearly  
6 the swamp, putting a better architecture up front, all  
7 the important stuff that Charlie has been teaching us.

8 And I think you're already seeing benefits even at  
9 this early stage, so I think it's a good thing.

10 MR. JUNG: Thanks so much.

11 MEMBER BROWN: I didn't get any  
12 notifications of public -- anybody on the phone line  
13 or anything like that. Is there anybody that would  
14 like to articulate anything?

15 (No response.)

16 MEMBER BROWN: With that, I would -- again,  
17 I would like to thank you all. I'd like to -- for a  
18 very good presentation. Looking forward to a  
19 Subcommittee meeting. I do want to compliment the  
20 Staff because they have taken the lead based on what  
21 we've done over the last couple of years to take this  
22 approach and really incorporate it into their review  
23 process and lay out a structure. So, they've been very  
24 proactive, and they've been very gracious in coming  
25 and talking to us, and insuring that we're cut in all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the way along the line, so I want to thank you for  
2 that. I think it's important for us to understand  
3 where this is going, because it's kind of a new and  
4 untouched area for most folks. So, thank you again.  
5 With that, I'll turn it back to you.

6 CHAIR ARMIJO: Okay, Charlie. Thank you  
7 very much. What we're going to do is take a break now  
8 until 10:45.

9 (Whereupon, the proceedings went off the  
10 record at 10:31 a.m.)  
11

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.


WASHINGTON, D.C. 20005-3701



## Investigations of Zirconium Fires during Spent Fuel Pool LOCAs

### Overview

- Cooperative agreement between NRC and twelve foreign countries.
- Sandia National Lab is performing the experiment.
- Two test phases to be completed over a 3-4 year period.
- Validate severe accident codes for whole pool LOCA analyses.
- Phased experimental approach.
  - Study physical phenomena separately
    - Provide input parameters to accident codes.
  - Examine nature of Zircaloy fires in prototypic assemblies
    - Validate codes predictive capability.
    - Develop mitigation strategies.



Spent Fuel Pool

1



## SFP Experiment Objectives

- Provide full scale thermal hydraulic and zirconium ignition data for severe accident code validation under air flow conditions:
  - Gas flow conditions
    - Spent fuel pool complete loss of coolant accident (LOCA)
    - Complete loss of water during refueling
    - Dry cask storage performance
    - Air ingress during late stages of core melt-down
  - Prototypic components
    - Eliminate scaling arguments
    - Represents fuel design intricacies
  - Code validation
    - Closely coupled into experimental design
    - Pre-test (Blind) and post test code data is compared to experimental results to ensure code adequacy

2

1

2

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com