

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

PRESENTATION TO THE UTILITY DESIGN AND REVIEW BOARD
DESIGN TO ACHIEVE AND MAINTAIN COLD SHUTDOWN
WEDNESDAY, APRIL 29, 1981
HELD AT: BECHTEL POWER CORPORATION OFFICE
ANN ARBOR, MICHIGAN, 8:30 A.M.

VOLUME I

8106120155

1 Ann Arbor, Michigan

2 Wednesday, April 29, 1981

3 At or about 8:30 A.M.

4 - - -

5 MR. COOK: It's my under-
6 standing that everyone who should be here or wanted to
7 be here is here and that being the case, I think we
8 will convene this session and get the proceedings under-
9 way. My name is James Cook. I am the Vice President
10 for Projects Engineering and Construction for Consumers
11 Power Company.

12 I'd like to welcome you all to the
13 First Design Review Board Meeting for the Midland
14 Project, the subject of which is to review the Midland
15 Project design on cold shutdown. I think it's appro-
16 priate, before we begin into the details of the design
17 review, to have a few introductory and welcoming re-
18 marks. I think the first thing I would note is that
19 we do have a recorder with us this morning and we will
20 be making a transcript of this proceeding. Therefore,
21 I would ask everyone of this large group that's going
22 to participate, when you speak, please identify your-
23 self to assist the recorder in making the best

24 -2-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

transcript possible.

The second item of introduction, I would like to introduce the Design Review Board, welcome our colleagues from the Nuclear Regulatory Commission and ask them to introduce themselves, and then I will also ask Ed Hughes, who is the chief spokesman for the group presenting the design to the Board, to introduce those that will be talking during the course of the day.

I have just introduced myself. I am serving as the company's chief representative on the Midland Project as the Chairman of this Review Board. Serving with me today and around the U-shaped table, starting at that end, I see Dick Loos, who is the Bechtel Chief Nuclear Engineer; next to him, Eugene Van Hoof, who is Consumers Power Director of Nuclear Fuel but is a long-time participant in the Midland Project and prior to that in the Navy Nuclear Program. Next to Gene we have Jerry Slade, who is the Plant Superintendent of the Midland Nuclear Plant and is currently at work on the site on the myriad of activities required to prepare the plant staff for operation of the plant when it is completed.

1 Next to Jerry is Ron Bauman, who is
2 serving as the Design Production Manager on the Nuclear
3 Project directly involved in the Consumers Power
4 Engineering effort for the Midland Nuclear Plant and
5 one of the veterans of the design of the Midland
6 Project. Next to Ron is John Garrick, Principal of
7 Pickard, Lowe and Garrick, one of the leading con-
8 sulting firms in the nuclear industry, who is working
9 as a consultant to the Midland Project and one of his
10 principal duties is working with our engineers to
11 develop a probabilistic risk assessment for the
12 Midland design.

13 Next to John is Jim Taylor, Manager
14 of Licensing for Babcock and Wilcox, the supplier of
15 NSSS for the Midland plant. Next is Lou Gibson,
16 who is one of the principals in our Safety and
17 Licensing Engineering Operation for the Midland
18 Project. On my right is Terry Sullivan, the Manager
19 of the Safety and Licensing Department for the Midland
20 Project, and if I look over my list, that is all of
21 the Design Review Board Members who are present. We
22 are missing one other member who, due to an unfortunate
23 accident and incapacitation because of an injured foot,

1 can't be with us this morning. That is Russ Dewitt,
2 who is Vice President of Nuclear Operations for
3 Consumers Power Company. He sends his regrets to the
4 Board and hopes that any further participation on this
5 issue he'll be able to directly contribute. That is
6 the constitution of the Board.

7 **Darl**, as the NRC Project Manager
8 for the Midland Projects, I would like to ask you,
9 please, to introduce your colleagues with us today.

10 MR. HOOD: Thank you, Jim.

11 My name is **Darl** Hood. I am the Project Manager
12 assigned to the Midland Project for the Nuclear
13 Regulatory Staff and I have four members from the
14 Nuclear Regulatory Commission present today and I'd
15 like to ask each of them in turn to introduce them-
16 selves and name the branch organization of which
17 they're a part.

18 MR. SULLIVAN: My name is
19 **Ted** Sullivan and I'm with the Auxiliary Systems
20 Branch.

21 MR. ANAND: My name is
22 Raj Anand and I'm with the Chemical Engineering
23 Branch.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. JENSEN: My name is
Walter Jensen and I'm with the Reactor Systems Branch.

MR. MAZETIS: My name is
Gerry Mazetis and I'm with Reactor Systems.

MR. COOK: Thank you. I
would now like to ask Ed Hughes, Assistant Project
Engineer on the Midland Project Team at Bechtel, to
please introduce the participants in his group that
will present the design to us today.

MR. HUGHES: All right.
Thank you, Jim. I'm going to go through a little
brief introduction and then get ~~on~~**with the** introduction
of my people here. As I believe you're all aware, the
purpose of this presentation is to provide a means for
expediting the licensing review of the Midland Project
by reducing the number of NRC questions produced during
the docket review; in addition, to demonstrate a
critical evaluation on the present design by this
Review Board. One of the ground rules for this
presentation is that, it being transcribed as Jim
said, we ask that anybody who is asking questions or
responding to questions, please identify yourself first
and if you're referring to figures or tables, to give

1 the numbers of the figures or tables.

2 In the format of this presentation,
3 we are going to go through setting the stage of the
4 past and the present design and then getting into con-
5 formance to regulatory positions and deal with
6 accident analyses and demonstrate the capability for
7 cold shutdown. Now, as part of our presentation, John
8 Gunning, whose licensing presentation on the history of
9 the plant and will also get into accident analysis,
10 and John is sitting over here. Mike Gerding will
11 address the control systems **aspects** of the accident
12 analysis. Tom Ballweg and Mike Pratt will address the
13 -- cover Section IV, which is the cold -- again, the
14 cold shutdown design of the systems. Bob Schomaker
15 from B & W will address the accident analyses or
16 Chapter 15 events.

17 Now, as part of the ground rules for
18 this, we do request that as we go through this agenda
19 -- John, will you put the agenda up -- that you hold
20 your questions until the end of part four, at which
21 time we will have set the stage of what the preceding
22 design and the present design is. Thereafter,
23 questions as you see fit.

24 -7-

1 We have two people who will be record-
2 ing any open actions and at the end of this presenta-
3 tion and question section, we will resolve and summarize
4 a list of the open items.

5 Now, just for history, for anyone who
6 isn't fully familiar, Midland is a project that started
7 over twelve years ago. A construction permit was
8 issued in December of '72. The FSAR was submitted in
9 February of '77 and we've had two rounds of questions.
10 Essentially NRC review terminated after the Three Mile
11 Island occurrence and since that time we've had ex-
12 tensive efforts underway on the project and with both
13 B & W and Consumers to take the Midland design and con-
14 duct an internal review based on the lessons learned.

15 There has been both an independent
16 three company nuclear safety task force for which a
17 number of recommendations for design enhancements or
18 improvements were determined and extensive on project
19 efforts using the industry-wide efforts of the Three
20 Mile Island analyses. Now, we have updated the FSAR
21 in October 1980 to include the responses to the
22 various Three Mile Island issues and events and any
23 issues identified prior to Three Mile Island.

1 Now, a major topic, the one for
2 discussion today, is the topic of cold shutdown and
3 this is discussed in the Midland FSAR text and the
4 responses to the various NRC requests.

5 At this time we'll start the presenta-
6 tion. John Gunning, Bechtel engineer, will present
7 the history and the preceding design, parts two and
8 three.

9 MR. COOK: Ed, excuse me. I
10 just wanted you to take care of the introductions.

11 MR. HUGHES: All right.

12 MR. COOK: I had a couple of
13 other remarks to make before we got into the detail
14 presentations.

15 Ed has done a little bit of the
16 introductory remarks that I wanted to put on the record
17 and put before the group before we went forward, so I
18 will not repeat some of the remarks that I had planned
19 that are similar to what ~~he had~~ just discussed. I do think
20 it's worth, though, to mention for all of the group
21 here and for the record that we are proceeding with
22 this Design Review Board basically as an experiment in
23 a mechanism to improve and to augment the licensing

1 process. This idea was suggested to Consumers Power
2 Company during a meeting last summer with Harold Denton
3 and other NRC staff management concerning the status of
4 the Midland review and ways which we might explore to
5 try to expedite that review in light of the constraints
6 faced by the NRC Commission and its staff and also the
7 problems being experienced by the applicant in trying
8 to, you know, execute the job.

9 I think Mr. Denton made that suggestion
10 for a number of reasons which he stated, but one of
11 which I thought should be discussed at this juncture.
12 I think it was his opinion as stated to us at that
13 meeting that he had a concern that all utility appli-
14 cants could profitably utilize this procedure to become
15 more involved with their individual design. I think
16 one of the difficulties we have had in constituting
17 this Review Board was to find people who could be
18 sufficiently removed from the work that is being pre-
19 sented to us here today to, you know, constitute an
20 independent look at that design. And I don't think that,
21 because of the nature of the involvement of everybody
22 in this room in the Midland Project, that we have been
23 totally successful in being able to fulfill that

1 particular philosophical attribute of a Design Review
2 Board.

3 Be that as it may, I think we can
4 definitely proceed with this activity and make it
5 beneficial, but my general comment for the record was
6 that although it has been an evolutionary process
7 because of the long duration of this job, it is my
8 firm opinion, and I think the opinion of all of those
9 who are part of this job with me, including the Chief
10 Engineer of my company, happens to be the President,
11 and the Chief Executive Officer, that all of us are
12 deeply involved in the completion of this project and
13 I think, although we will not burden the record with the
14 detailed discussion of how that has occurred over the
15 years, it is there for those who are interested to pur-
16 sue and to demonstrate to their own satisfaction that
17 we at Consumers Power are fully involved in the job and
18 will be in that role for the duration of the plant
19 design and construction and for the, obviously, the
20 operation of the plant as it proceeds through its
21 operating lifetime.

22 With regard to the format of this
23 meeting, we discussed the idea of constituting a

1 Design Review Board, you know, with the staff after the
2 suggestion that we might find it useful. It was made
3 to us by Mr. Denton. The culmination of that discussion
4 was transmitted to the staff in my letter to Mr. Denton
5 of January 21, 1981, and that letter sets out basically
6 the protocol, you know, for the operation of this Review
7 Board and I might just touch on one or two points in
8 that protocol as we start the meeting.

9 I think the most important thing to
10 touch on was the fact that we are pleased to have with
11 us today and participating in the discussions, although
12 not directly, members of the Design Review Board, the
13 NRC staff members, you know, who are here. We welcome
14 their presence and we encourage their comments and
15 discussion, and we sincerely hope that their participa-
16 tion and our detailed preparation of material for this
17 design review will be beneficial to the staff in
18 developing the detailed review that they need to do to
19 complete their review of the Midland FSAR. And as Ed
20 alluded to, we will caucus at the end of this meeting.
21 We will ask for staff, you know, comments on the
22 materials that they have heard and we will also develop
23 a specific list of things that we will follow up on

1 as part of the design review process in completing the
2 particular review of cold shutdown here today.

3 I think one other thing in terms of
4 introduction that we should touch on as we go by, I am
5 pleased that the staff was able to visit the Midland
6 plant site yesterday and that we also have another
7 meeting on another topic, although there is some inter-
8 action between the two topics, scheduled for tomorrow.
9 However, in terms of trying to conduct a specific
10 review on cold shutdown, I will ask all of us to try
11 to focus our remarks today on the specific scope of
12 inquiry on cold shutdown, mainly because we have a
13 great deal of information to cover and if we start to
14 range into other topics that are too far afield, I'm
15 concerned that we will be unable to complete our total
16 agenda today.

17 Obviously we will try to address,
18 some time in the course of our activities, either in
19 this week or in future days, all of the concerns that
20 any of the staff members here today may have, but I
21 will try to keep us focused specifically on cold
22 shutdown today in order that we may try to get through
23 our total presentation and question period.

1 There have been advance materials sent
2 to both the staff members and all of the Review Board
3 Members discussing the materials to be presented today.
4 In addition, there is, I am told, considerable detailed
5 engineering documentation regarding all of the subject
6 under discussion **today here** in the room with us, so if
7 you do not see enough detailed information, either
8 board members or staff members, to satisfy your ques-
9 tions, we can make that available to you on short notice
10 during the proceedings here today.

11 Now, I believe that's everything I
12 wanted to introduce as part of the introductions. Ed,
13 I'd like to turn it back to you, please, to start the
14 presentations.

15 MR. HUGHES: Thank you, Jim.
16 For the first presentation, John Gunning, Bechtel
17 engineer, will present part two, the history, and
18 part three, the preceding design for Midland plant.

19 MR. GUNNING: Thank you, Ed.
20 Achieving a safe shutdown condition has always been a
21 consideration of plant design. However, the design
22 requirements for what is considered to be a safe shut-
23 down condition have evolved over the years. Emphasis

1 has traditionally been placed on the reactor condition
2 following a loss-of-coolant accident or LOCA. This
3 accident requires the use of emergency core cooling
4 system equipment. This presentation will not address
5 the LOCA to a great extent. However, equipment may be
6 used that's also used for emergency core cooling.

7 For non-LOCA events, then, the reactor
8 coolant system integrity is maintained. Achieving a
9 safe shutdown condition while the reactor coolant
10 system integrity is maintained will be the primary
11 focus of this presentation. Following this type of
12 event, the stable condition to be maintained has been
13 hot standby. Hot standby is a condition, safe, stable
14 condition that can be maintained for a period of time
15 without offsite power. Subsequently emphasis was
16 placed on insuring that **all** necessary equipment to
17 achieve this condition is safety grade.

18 More recently, a similar emphasis was
19 placed on insuring that systems necessary to go to
20 cold shutdown are safety grade. This emphasis, then,
21 on grade of equipment that is used in achieving cold
22 shutdown has evolved from the change in the safe shut-
23 down condition from being hot standby to one that is

1 cold shutdown.

2 Since we'll be using the terms hot
3 standby and cold shutdown extensively throughout this
4 presentation, I'll find it useful to define these terms
5 at the beginning. Slide III-1, this slide III-1 is a
6 figure that correlates with this presentation the
7 various shutdown conditions with reactor temperature.
8 Hot standby is a condition from reactor trip down
9 to the reactor coolant system temperature when the
10 decay heat removal system can be initiated.

11 After a reactor trip, the temperature
12 is at the high end of this range and will stay above
13 the hot zero power temperature. Hot shutdown, then, is
14 from the decay heat removal cut-in temperature and down
15 to a reactor coolant temperature of 200° Fahrenheit
16 and cold shutdown condition is from 200° Fahrenheit
17 and below.

18 Associated with this is the reactivity
19 where the reactor is at least one percent Delta k/k
20 subcritical. The event useful for evaluating the
21 plant shutdown capability is the safe shutdown earth-
22 quake coincident with loss of offsite power. Other
23 events will be addressed in Section V.

1 From a historical perspective, after
2 Three Mile Island occurred, a nuclear safety task force
3 was formed and recommendations issued. Most of the
4 design upgrades concerning cold shutdown that have been
5 incorporated into the Midland design have evolved from
6 this effort of the nuclear safety task force.

7 In conclusion to the section on
8 history, present Midland design basis is that hot
9 standby is a safe shutdown condition. This design
10 basis is appropriate because hot standby is a safe,
11 stable condition that can be maintained for an extended
12 period of time with a minimal amount of operator action.
13 Therefore, it provides additional time to further
14 evaluate the condition of the reactor. In addition,
15 it frequently is preferable to maintain the reactor in
16 this hot, stable condition for extended periods of time
17 rather than subjecting the plant to an immediate cool-
18 down transient.

19 The current Midland design provides for
20 the ability to achieve and maintain, by safety grade
21 means, the hot standby condition following an SSE or
22 safe shutdown earthquake coincident with loss of off-
23 site power. Although it's not a design basis, present

1 Midland design incorporates the ability to take into
2 cold shutdown condition using only safety grade equip-
3 ment, assuming only onsite or offsite power is avail-
4 able and considering a single failure.

5 In addition, the present Midland
6 plant design can achieve and maintain cold shutdown
7 following a tornado by using equipment that's protected
8 from the effects of the tornado. This is conclusion of
9 Section II.

10 Progressing now to the preceding
11 design, it's appropriate to briefly review the Midland
12 nuclear steam supply system. I'm sure some of you got a
13 chance to see the hardware of that on your plant review
14 yesterday. Slide III-2 is a pictorial review of the
15 Midland reactor coolant system. It's a B & W nuclear
16 steam supply system. Could you focus that perhaps a
17 little? The reactor vessel, the two steam generators,
18 the pressurizer, four reactor coolant pumps, two hot
19 legs and four cold legs. This is figure III-2 or
20 slide III-2.

21 Slide III-3 is a schematic from the
22 same system. It shows the two steam generators, the
23 two hot legs, four cold legs, four reactor coolant

1 pumps, and slide III-4 is a view of the steam
2 generator. Thank you.

3 The remainder of this presentation
4 will provide an explanation of the preceding design
5 and is intended to facilitate an understanding of the
6 design upgrades that have been made. It's been pre-
7 viously stated the Midland design basis has been the
8 ability to achieve hot standby using safety grade
9 systems. It's previously shown, in figure III-1, hot
10 standby is a range but normally after a reactor trip,
11 the reactor coolant temperature will stay at the
12 upper end of this range. This condition can be main-
13 tained using safety grade equipment with sufficient
14 time to re-establish offsite power and then use safety
15 grade and non-safety grade systems to maintain hot
16 standby and to proceed to cold shutdown.

17 In order to insure this stable con-
18 dition is maintained, certain essential functions must
19 be performed. These essential functions are reactivity
20 control/inventory control grouped together as one,
21 pressure control and heat rejection. These functions
22 are performed by particular systems and consequently
23 necessary systems will be addressed on the appropriate

1 function that the system performs.

2 Slide III-5 will address reactivity
3 control/inventory control. Control rods: Control rods
4 are **designed** to bring the reactor to at least one
5 percent Delta k/k subcritical **upon reactor scram**.
6 Allowance in the design is made for the highest worth
7 control rod assembly sticking out of the core as well
8 as for the temperature effects from hot full power,
9 579, **to** hot zero power, 532.

10 Boration of the reactor, boration
11 concentration in the reactor coolant system is normally
12 increased by using a makeup system, makeup pump, to
13 inject boric acid from the chemical addition system.

14 In the event chemical addition system
15 is unavailable, boric acid from the safety grade
16 borated water storage tank may be injected into the
17 reactor coolant system. Regarding inventory control,
18 the makeup system normally controls the reactor coolant
19 system inventory. Obviously we **here** see the obvious
20 interrelationship between inventory and boration con-
21 trol.

22 Portions of the makeup system are
23 safety grade and used for high pressure injection to

1 assure adequate core cooling and appropriate boron
2 concentrations. Makeup water is again available from
3 the safety grade borated water storage tank.

4 Pressure control, slide III-6: III-6,
5 pressurizer safety valves, this is a pressurized steam
6 generator, reactor vessel, the reactor coolant pumps and
7 the safety valves. Pressurizer safety valve prevent
8 over-pressurization. In the event of loss of offsite
9 power, the thermal inertia of the pressurizer maintains
10 the reactor coolant system pressure sufficiently until
11 the pressurizer heaters can be re-energized.

12 Slide III-7, heat rejection, the hot
13 standby condition: Heat removal is accomplished
14 using the steam generators, the main steam isolation
15 valves and main feedwater isolation valves, main feed-
16 water not being shown, main steam **isolation**
17 valves. These valves may be closed to limit secondary
18 **side** heat removal. In addition, the main steam isola-
19 tion valves and main feedwater isolation valves close
20 automatically on low steam pressure or after receiving
21 an emergency core cooling actuation system. These
22 valves limit secondary **side** heat removal if required.
23 Auxiliary feedwater enters here. A motor driven and a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

turbine driven auxiliary feedwater pump are supplied with cross connects on the discharge so that either pump can feed either or both steam generators.

Normal auxiliary feedwater is from condensate storage tank. However, emergency backup is provided by the safety grade service water system.

Main steam relief valves: Heat removal rates to maintain the hot standby condition can be maintained by cycling the main steam relief valves. Steam removal without cycling these relief valves could be performed by opening the non-safety grade modulating atmospheric dump valve. This valve has since been re-located and will be discussed in the present design **section**

The one other concern in heat removal addressed is natural circulation. This is to insure that if heat removal was being removed from the secondary side, that adequate core cooling is also being maintained. Midland plant can provide adequate core cooling without operation of the reactor coolant pumps. Characteristics of this natural circulation cooling have been calculated by Babcock and Wilcox with conservative values for their resistance and form loss factors.

1 With this I conclude my section on
2 the preceding design and I turn it to Mike Pratt who
3 will now address the beginning of Midland present
4 design capability.

5 MR. PRATT: Good morning. My
6 name is Mike Pratt and I will address several important
7 aspects of the present design capability for cold shut-
8 down. First a few general comments; the Midland design
9 provides for the ability to achieve and maintain hot
10 standby following a safe shutdown earthquake with loss
11 of offsite power. Although not a design basis, the
12 Midland design incorporates the ability to be taken to
13 the cold shutdown condition assuming only onsite or
14 offsite power is available and considering a single
15 failure.

16 Could I get the first overhead? This
17 was touched upon briefly in John's discussion. Re-
18 activity and inventory control, pressure control and
19 heat rejection are the essential functions that must
20 be considered. I will address reactivity/inventory
21 and pressure control, the first two items, and Tom
22 Ballweg will then address heat rejection.

23 Figure IV-1B shows the operational
24

1 temperature ranges for reactivity and inventory control
2 systems. Shutdown functions and systems are shown on
3 the left and the operability of those systems over a
4 given temperature range is depicted by horizontal bands
5 or whichever is appropriate for the given system in
6 question. Specifically for reactivity and inventory
7 control, control rod operation is shown, operability
8 range of the emergency boration system is shown and
9 operability ranges for reactor coolant makeup from the
10 BWST and from the chemical addition system are shown.

11 There are three aspects of reactivity
12 in inventory control; control rods, boration and RCS
13 makeup. Control rods were discussed previously and
14 no design changes have been made in this area for cold
15 shutdown so I'll move onto the second item of boration.
16 For normal shutdown reactivity control, the design of
17 the Midland plant includes two sources of borated
18 water: First, the borated water storage tank or BWST
19 and, second, the chemical addition system or CAS.
20 With let down available, either the BWST or the
21 chemical addition system is capable of maintaining
22 the reactor to one percent subcritical. This can be
23 during hot shutdown or transition to cold shutdown at

1 any time in core life for the most limiting normal
2 fuel cycle. This is assuming xenon free conditions
3 and the maximum worth rods stuck out of the core.

4 The use of only safety grade equipment
5 to maintain the reactor subcritical at hot standby and
6 the transition to a cold shutdown condition requires
7 the use of the emergency boration system or EBS, and
8 the overlay shows the addition of the emergency boration
9 system providing a suction source to the makeup pump.

10 The EBS is a safety grade system
11 designed to provide a six weight percent boric acid
12 solution to the RCS by the makeup and purification
13 system. The EBS in conjunction with the other con-
14 traction volume sources is designed to insure the
15 ability to maintain a one percent subcritical margin
16 during hot standby and during the transition to cold
17 shutdown. Adequate shutdown margin is maintained dur-
18 ing the transition to cold shutdown by using the
19 borated water from the BWST or chemical addition
20 system. The next overlay shows that suction source
21 capability.

22 These sources provide adequate com-
23 pensation for reactivity changes that result from the

1 change in moderator temperature. Following any event
2 which results in loss of letdown and a stuck rod, the
3 six weight percent boric acid solution from the EBS
4 storage tank can be transferred to the RCS via the
5 makeup and purification system. One of the three
6 makeup pumps is used to inject this solution into the
7 RCS.

8 What I'll do now is go onto the third
9 aspect of reactivity/inventory control, specifically
10 inventory control. As the RCS cools, it is necessary
11 to keep the volume of water in the RCS approximately
12 constant. Therefore, additional water is injected via
13 the makeup system. The safety grade source of makeup
14 water is the BWST or borated water storage tank. This
15 tank contains at least 300,000 gallons of 1.3 weight
16 percent boric acid solution. In addition, three boric acid
17 addition tanks per unit, which are part of the non-
18 safety grade chemical addition system, are also avail-
19 able for makeup. These tanks can provide the required
20 RCS contraction volume in conjunction with other avail-
21 able water sources. The boric acid addition tanks are
22 tornado protected and can be made available following
23 a tornado and a loss of offsite power.

1 emergency DHR system cut-in temperature and is intended
2 for use only during emergency cold shutdown. The
3 auxiliary spray system flow is provided by a makeup
4 pump. Suction for the makeup pump is normally taken
5 from the BWST. The boric acid addition tanks via the
6 makeup tank serves as an alternative suction source.
7 The spray line discharges to the auxiliary DHR
8 pressurizer spray upstream of parallel motor-operated
9 globe valves so we have the auxiliary spray connection being
10 made at this point tying into the normal auxiliary
11 spray line. And by the way, this is figure IV-3 of
12 the controlled shutdown document.

13 The spray system requires local align-
14 ment prior to initiation but is remotely initiated and
15 controlled from the control room. Once initiated, the
16 spray will be operator-controlled to provide the
17 desired depressurization rate that is determined by
18 the cooldown rate and plant status.

19 The design enhancements for pressure
20 control, which I touched on briefly a minute ago, are
21 shown on figure IV-3. This includes the addition of
22 the auxiliary spray capability from the makeup pump and
23 also includes the addition of a second PORV block valve.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

That concludes my discussion of reactivity and inventory control and Tom Ballweg will now discuss heat rejection.

MR. SULLIVAN: Mike, can we ask some questions on reactivity and inventory while you're still up there or do you want to wait?

MR. HUGHES: Terry, I'd really prefer to finish with Tom, if that's all right, and then we'll go into questions on that, unless it's a matter of clarification for the upcoming --

MR. SULLIVAN: I can wait.

MR. BALLWEG: My name is Tom Ballweg. I will be talking here today about the heat rejection part of the cold shutdown. Thus far, Mike Pratt has discussed reactivity and inventory control systems and pressure control. In this portion, I will talk briefly about the specific Midland plant features and systems used for heat rejection and to maintain control of the reactor coolant system temperature. In the first transparency, our first transparency, which is figure IV-1C of your pack, basically covers the material that I will be talking about here today.

In heat rejection, the steam generator

1 is initially the primary path for release of energy.
2 The necessary operational parts of the system are the
3 main steam isolation valves and the main feedwater
4 isolation valves to establish the pressure boundary on
5 the steam generators. The auxiliary feedwater system
6 is operational through the entire range of hot standby
7 down to the hot shutdown condition. The main steam
8 relief valves provide capability for heat rejection
9 initially on hot shutdown -- or achieve, excuse me,
10 hot standby and are operable by cycling above those
11 temperatures. The power-operated atmospheric vent
12 valves are used to reject heat from the normal hot
13 standby condition on down to the hot shutdown condition.
14 The decay heat removal system is used after the reactor
15 coolant system has been cooled to either 325°, or in the
16 case of an emergency cooldown, or to 280° normally.

17 Now I'll go into a little more in-depth
18 discussion of the heat rejection using the steam
19 generator. The next slide is figure IV-5. Basically
20 to reject heat via steam generator, it is necessary to
21 provide a source of feedwater, source of water, the
22 auxiliary feedwater system and the steam vent path.
23 The steam is vented either via the power-operated

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

atmospheric vent valves or the safety valves or the modulating atmospheric dump valves. The features which are in red here are enhancements or modifications made specifically to handle or to facilitate the cold shut-down.

The main steam relief valves are spring-loaded valves and cycled to relieve steam enabling the reactor to be maintained in a hot standby condition. The power-operated atmospheric vent valves, there are actually two, although we're only showing one per steam line, provide a path so that steam can be relieved to maintain the reactor in a hot standby condition without cycling the main steam relief valves. Steam can also be relieved to cool the reactor to the temperature where the decay heat removal system can be cut in.

The power-operated atmospheric vent valves are safety grade, motor-operated control valves located, as shown on the figure, upstream of the main steam isolation valves.

POAV's are sized so that an inadvertent stuck open valve will not result in unacceptable consequences to the reactor core. The PCAV's are sized

1 to permit the reactor coolant system to be cooled to
2 the emergency decay heat removal system cut-in tempera-
3 ture of 325° within thirty-six hours, assuming one
4 operational POAV per steam generator. The 325° cut-in
5 on the DHR system I'll talk about a little bit later.

6 Each POAV can be manually -- can be
7 jog-controlled from a switch in the main control room
8 or from a switch at the auxiliary shutdown control
9 panel. The operator will position the POAV's until an
10 acceptable temperature is maintained or an acceptable
11 cooldown rate is established.

12 Steam relief can also be accomplished
13 by dumping steam to the condenser or opening the
14 modulating atmospheric dump valves. These valves are
15 located downstream of the main steam isolation valves
16 and would be used preferentially in a cooldown, in a
17 normal cooldown over the POAV's. However, to insure
18 that cold shutdown can be achieved using only onsite
19 emergency power and safety grade systems, credit is
20 only taken for the components upstream of the main
21 steam isolation valves.

22 Figure IV-7 shows the discharge of
23 the auxiliary feedwater system. The auxiliary feed-
24 water is automatically supplied to the reactor coolant

1 to the steam generators at a controlled rate by re-
2 dundant one hundred percent capacity pumps. One of the
3 pumps is a motor-driven pump. The other pump, the
4 B pump, is a steam turbine-driven pump. Power and
5 controls to both pumps are safety grade and Class 1E.

6 The next slide, which is figure IV-7,
7 shows the suction side of the auxiliary feedwater
8 system. The normal alignment of the auxiliary feed-
9 water system is to the condensate storage tank and
10 through two normally open motor-operated valves which
11 allow suction to both main feedwater -- excuse me,
12 both auxiliary feedwater pumps. Safety grade source of
13 auxiliary feedwater is provided from a service water
14 system independently for each auxiliary feedwater
15 pump. Because of the concern for the quality of
16 steam generator feedwater, automatic transfer to
17 service water is provided only upon coincident AFW
18 actuation signal and low auxiliary feed pump suction
19 pressure.

20 Now I've completed the discussion
21 that I will about the auxiliary feedwater system and
22 the heat rejection using the steam generators. What
23 I'll talk about now is the decay heat removal system.

1 After the decay, after the reactor
2 coolant system pressure and reactor coolant system hot
3 leg temperature have been reduced to approximately
4 300° and 280° Fahrenheit, or 325° Fahrenheit under
5 emergency conditions, the DHR system operation can be-
6 gin.

7 The previous design directed that until
8 the DH -- that the DHR system would not be operated
9 until the reactor coolant system hot leg temperature
10 was decreased below 280° Fahrenheit. The DHR system
11 has been analyzed to evaluate operation at 325° and
12 found acceptable. The higher DHR system cut-in tempera-
13 ture permits operation of the DHR system within thirty-
14 six hours, assuming operation of one POAV from each
15 steam generator.

16 John could I have the second slide
17 back on, 5C? One of the enhancements to assure
18 achievement of cold shutdown is the addition of a
19 parallel bypass motor-operated valve inside the con-
20 tainment on the DHR letdown line. Though not shown
21 here, there are actually two valves in series where
22 one is shown. These were installed so that a single
23 failure of the valve to open will not inhibit the

1 flow path for DHR cooling.

2 The next part of this presentation
3 will deal with reactor coolant system natural circula-
4 tion. The Midland plant has been analyzed to insure
5 that natural circulation will occur during a cool two
6 loop reactor coolant system cooldown without using
7 forced circulation.

8 In addition, a natural circulation
9 cooldown test will be referenced if a similar test has
10 not been conducted on a plant similar to Midland. If
11 such a test is not available, a test will be conducted
12 to verify that operation of the POAV valves, and under
13 natural circulation will satisfactorily remove heat
14 from the reactor to cool down the plant. The test
15 will cool the reactor coolant system approximately 50°
16 under natural circulation conditions. The data will
17 be used to verify adequacy of prior analytical results.

18 Another modification that was made to
19 in part enhance natural circulation was the auxiliary
20 feedwater level control. The auxiliary feedwater system
21 and, in particular, the auxiliary feedwater level con-
22 trol will be the subject of a discussion to be held
23 tomorrow. The details of that system are not addressed

1 here. However, the system will include safety grade
2 automatic control of steam generator water level.
3 Steam generator water level is normally maintained at
4 a constant level of about two feet when there is forced
5 circulation in the reactor coolant system. If zero or
6 one reactor coolant pump is operating, the auxiliary
7 feedwater level control system and level rate control
8 system will ramp the feed, auxiliary or steam generator
9 level at a rate of about, currently, around four inches
10 per minute from the two foot set point up to the twenty
11 foot level set point that's desired for natural cir-
12 culation. The automatic transition from the lower
13 water level to the higher water level in the steam
14 generator provides an orderly transition and reduces
15 the probability of overcooling of the primary loop.

16 Now, that's the end of my remarks.

17 Back to you, Ed.

18 MR. HUGHES: All right.

19 Thank you, Tom, and on part of the members of the Review
20 Board, thank you for your patience in listening to these
21 formal presentations, but the purpose of this was to
22 create for the record, and to provide a basis for a
23 review, the history of the plant, the preceding design

1 as we've characterized it and the enhancements to
2 achieve cold shutdown that we've added to the Midland
3 plant for the consideration of the requirement that
4 cold shutdown with safety grade means must be provided
5 for Midland.

6 With that formality out of the way,
7 I will go ahead and entertain any questions that you
8 desire relative to the presentations. I would ask you
9 to recall that we do plan further presentations in the
10 course of this on cold shutdown versus Chapter 15 type
11 events and cold shutdown versus fire and a comparison
12 of the present design with applicable regulatory guides,
13 so those presentations will be given after this series
14 of questions and appropriate questions on those are
15 perhaps delayed until after you hear the presentation.

16 MR. GIBSON: Just a couple of
17 points of clarification. Figure IV-2, there's reference
18 to chem addition tank. Am I correct that we don't have
19 -- we have a chem addition system but we do not have
20 chem addition tank? We have boric acid addition tanks?

21 MR. PRATT: That's correct,
22 Lou.

23 MR. HUGHES: That is correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. GIBSON: Okay. Also, just for reference, on some of the slides and drawings that we've seen, there are a number of valves shown as what I call plain gate valves, just a straight cross. Is it true that not in all cases are those manual or was there an attempt to make every one of those accurate or was it only to highlight the valves that were important to the discussion, because it seems to me, if we wanted to go back and get a real, true picture from these slides, we'd have to go to the P&ID, am I --

MR. HUGHES: I believe that is correct, that these are strictly pictorial for the purposes of discussion and do not attempt to include all valves or the mode of operation of each valve or the type in any particular case. The P&ID's which have been submitted are the detailed documents as to valve type and we can get any discussion that you care for on that, but these are just pictorial representations for function.

MR. GIBSON: Thank you.

MR. TAYLOR: On a couple of figures, the operating range for suction from the BWST or the chemical addition system is shown to end at

1 280. Why does that not go on down to lower temperature?

2 MR. HUGHES: Basically I
3 believe the 280 is strictly a nominal cut-in temperature,
4 required cut-in temperature for the decay heat removal
5 system and this really wasn't intended to show the
6 complete range of system operation.

7 Mike Pratt, do you have anything
8 further to add to that?

9 MR. PRATT: Yes. I think
10 you're referring to figure IV-1B --

11 MR. TAYLOR: Correct.

12 MR. PRATT: -- which shows
13 the makeup from BWST and chemical addition system
14 extending to the normal decay heat removal cut-in
15 temperature of 280. I guess that was only an extension
16 of that point for purposes of illustration. Makeup,
17 makeup is certainly possible.

18 MR. TAYLOR: On down?

19 MR. PRATT: On down.

20 MR. TAYLOR: One other point
21 of clarification. On one of the slides that you
22 showed, the connection between the new auxiliary spray
23 line and the existing spray line from the reactor

1 coolant pumps, those valves were shown as manual valves.
2 Are they really manual valves?

3 There's a line in the existing spray
4 line, I think it was on figure IV-3. The makeup --
5 the line coming up from the reactor coolant pump into
6 the pressurizer, is that truly a manual valve there?

7 MR. PRATT: There is a manual
8 valve in the line but there are also parallel **sole-**
9 **noid** operated valves. I do have another overhead that
10 shows the detailed design, but there is not just a
11 single manual valve in that line.

12 MR. TAYLOR: There is no
13 need, then, to go inside the containment to realign
14 any valves if you go into the auxiliary spray mode?

15 MR. PRATT: No.

16 MR. HUGHES: That is correct.

17 MR. GIBSON: Could we see
18 that detail?

19 MR. COOK: It's in the
20 packet. Figure number IV-4 I think is the one you're
21 alluding to.

22 MR. GIBSON: Oh, okay.

23 MR. PRATT: Would you like to
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

see that up on the --

MR. COOK: Why don't you go ahead and do it.

MR. PRATT: Up on the screen and walk through it?

MR. TAYLOR: Okay. So IV-3 is just a very simplified version, then, of IV-4?

MR. PRATT: That's correct.

MR. HUGHES: That's correct.

MR. PRATT: We have the normal RCP discharge going in through the spray valves into the pressurizer. We have the existing or pre-existing decay heat removal auxiliary spray capability for cooldown mode and then the design feature that was added was the supply from makeup pump discharge into the existing line with the addition of motor-operated globe valves for throttling during the depressurization sequence going on into pressurizer spray.

MR. BAUMAN: Where is the containment boundary?

MR. HUGHES: It's depicted there just as the L's.

MR. TAYLOR: Could you point

1 on figure III-2, which is the physical arrangement
2 showing the spray line, where that connection is between
3 -- or where it is likely to be between the new line and
4 the existing spray?

5 MR. PRATT: Do you have that
6 in John's package? Now, could you repeat the question?

7 MR. TAYLOR: Where is the
8 new connection from the auxiliary spray going to tie
9 into that large two-and-a-half inch line, the spray
10 line?

11 MR. PRATT: All right. That
12 would not be shown on this drawing because that
13 connection is outside the containment.

14 MR. SLADE: It has to tie
15 into the spray line.

16 MR. HUGHES: The question is
17 where, physically --

18 MR. SLADE: But where does
19 auxiliary spray tie into the pressurizer?

20 MR. HUGHES: With the spray
21 line coming off the loop.

22 MR. PRATT: We have the
23 existing spray line coming off the reactor coolant

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

pump discharge and coming into the pressurizer.

MR. TAYLOR: Yes. Now, the auxiliary spray line connects into that line somewhere.

MR. PRATT: Yes.

MR. TAYLOR: And I'm interested in knowing where it is. Is it right close to the pressurizer or down close to the reactor coolant system or just where?

MR. PRATT: Well, that I am afraid I can't answer. We can get the isometrics and take a look at those, but I'm not sure exactly where it ties in.

MR. HUGHES: Jim, we can get you that information in the course of this review, but right now we can't provide it to you exactly.

MR. TAYLOR: Okay.

MR. HUGHES: You're talking about the piping isometric location to tap into the auxiliary spray, I believe?

MR. TAYLOR: On a broader basis, what I was really getting to is what kind of -- this auxiliary spray was an addition to the plan and I'm interested in the kind of review that was

1 conducted on the existing system as a result of that
2 addition because this is a much lower temperature than
3 normally is seen by that line.

4 MR. HUGHES: Are you talking,
5 for instance, the stress analyses, the thermal
6 cycling?

7 MR. TAYLOR: Right.

8 MR. HUGHES: Mike, you can
9 address that, I believe.

10 MR. PRATT: Okay. Yes, we
11 were using the existing line from the decay heat re-
12 moval system and the complete stress analysis has not
13 been completed. It's in progress at the current time,
14 but that kind of design concern has been taken into
15 account in that we're subjecting a pre-existing section
16 of the piping to a different set of flow/temperature
17 conditions, pressure as well.

18 MR. VANHOOF: Didn't the
19 auxiliary spray line from the decay heat removal system
20 exist before and that the makeup, the line from the
21 makeup system was the one that was added?

22 MR. PRATT: Right, it was
23 added.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. VANHOOF: So wasn't that analyzed and reviewed prior to this change?

MR. PRATT: It was analyzed for the decay heat removal function.

MR. VANHOOF: And that's the temperature you're concerned about, is it not, Jim?

MR. TAYOR: I'm sorry. I didn't hear the last part of that question.

MR. VANHOOF: The decay heat removal spray line existed before. The only change that was made was a discharge from the makeup pump system into the spray line to give you that capability. So the temperature analysis, I think, was done prior to this.

MR. PRATT: It was done prior to that for decay heat removal operating conditions.

MR. SULLIVAN: Yes, the suction would make a difference in the temperature, though, of the spray because you're taking it from the BWST or whatever rather than returning it from decay heat removal system, so it's not necessarily the same temperatures.

MR. VANHOOF: But you could

1 take a suction from the borated water storage tank with
2 the decay heat removal pumps as well?

3 MR. SULLIVAN: Yes.

4 MR. VANHOOF: So I would think
5 that the temperature for that situation would also be
6 analyzed.

7 MR. HUGHES: Well, the pre-
8 existing condition was analyzed and we are in the
9 process of analyzing the operating conditions for this
10 condition.

11 MR. COOK: Can we simply have
12 a discussion of the criteria that you're using for that
13 analysis and where your temperature interfaces are?

14 MR. HUGHES: I believe so.

15 MR. PRATT: Okay. Let's go
16 back to the previous figure. Yes, that's the one.
17 That's the one, okay. I, to go back to a point you
18 made, again, I don't believe that suction from the
19 BWST or chemical addition system was a design basis
20 for the decay heat removal auxiliary spray. I think
21 that operating condition is decay heat removal once
22 it's -- I believe once it's gone through the cooler.
23 I'm trying to remember where the connection is, but I

1 don't believe that that operating mode would be taking
2 suction from the BWST for chemical addition.

3 MR. SLADE: I think, just a
4 point of clarification that may help here is that
5 previously when we were talking suction from the decay
6 heat removal system and using the decay heat pumps to
7 forward spray to the pressurizer, by the time we could
8 cut-in decay heat removal, we were down to very low
9 temperatures in the pressurizer, so you didn't have the
10 thermal problem that you now have when you're trying
11 to provide that same cool water at normal operating
12 pressures in the reactor coolant system.

13 MR. PRATT: Right, that's
14 correct. Now, as far as the design conditions, the
15 normal reactor coolant pump discharge to the pressurizer
16 spray would be analyzed for cold leg temperature
17 pressure conditions.

18 MR. TAYLOR: As an action
19 item, I would like to see the before and after design
20 conditions for that portion of the line which is
21 affected by this change.

22 MR. PRATT: Okay. Let me
23 try to clarify that; temperature, pressure, number of
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

cycles?

MR. TAYLOR: Right.

MR. PRATT: Okay. The first two --

MR. HUGHES: We'll go ahead and take that as an open item to provide that information.

MR. GIBSON: As long as we're on this topic, I had a question concerning the use of the makeup pump when you're trying to run water through the auxiliary spray. It seems to me that that would be a very low flow rate compared to the minimum requirements that that pump can put out and that brings up a question of what are you doing with the recirc and are there any assumptions that you have to make relative to loss of any recirc capability under those conditions? What do you postulate as the worst case, conditions that the makeup pump may have to have relative to its recirc back to the makeup valve? Is it all safety grade going back there or not?

MR. PRATT: Okay. Well, there were a number of questions --

MR. GIBSON: I know.

MR. PRATT: -- included in what you stated. I believe the first one was how do

1 we handle the makeup pump minimum flow requirement,
2 which is 100 gpm and that is handled by a recirculation
3 path to the borated water storage tank in the event
4 that we're taking suction from the borated water
5 storage tank and the recirculation path would be to the
6 makeup tank in the event that we were taking suction
7 from a boric acid addition tank.

8 MR. GIBSON: Is that
9 manually aligned to the BWST?

10 MR. PRATT: Yes, it is.

11 MR. GIBSON: So using the
12 auxiliary spray, you would use either one of those
13 paths that was available, is that correct?

14 MR. PRATT: That's right.

15 MR. LOOS: With respect to
16 the recirculation flow back to the makeup tank, how
17 is that aligned and what is the valve configuration?

18 MR. PRATT: Well, the normal
19 recirculation flow path during makeup operations is
20 to the makeup tank, so the same piping and valve
21 alignment and configuration is used for that that is
22 used for normal makeup.

23 MR. LOOS: And what is that
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

valve alignment?

MR. PRATT: That would involve opening two solenoid operated valves in the recirculation line.

MR. LOOS: In series or parallel?

MR. PRATT: In series and depending on which makeup pump you were using, you'd need to tie the makeup pump discharge into the common recirculation header.

MR. VANHOOF: I've got a couple of questions for you, Mike. On the PORV, what kind of indications do we have off those valves now? What is it, a positive type indication or a passive?

MR. PRATT: Indication of open --

MR. VANHOOF: Position.

MR. PRATT: Position?

MR. VANHOOF: Yes.

MR. PRATT: Let me --

MR. HUGHES: Mike Gerding would probably be a better one to answer that. This is really in our area of control systems and the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

provisions we are making in the PORV.

MR. GERDING: The indications that would have a positive, we have Class 1E limit switches on the solenoid valve which is seen in figure IV-4 and in addition from the discharge of that valve, there is an acoustic monitor which is also safety grade which monitors flow in that discharge line.

MR. VANHOOF: Said you have very brief switches --

MR. GERDING: Yes.

MR. VANHOOF: -- which are dependent upon valve movement in order to actuate?

MR. GERDING: That's correct.

MR. VANHOOF: So that would be a positive, in addition to the acoustic line?

MR. GERDING: That's correct.

MR. VANHOOF: Okay. I have another question, Mike.

MR. GIBSON: Can I follow that up?

MR. VANHOOF: Oh, fine.

MR. GIBSON: Mike, does that

1 mean that when you get a stem movement that you see
2 with those switches, that that valve has to be moving
3 or can that be a pilot or something else that's moving?

4 MR. GERDING: It's actually
5 the valve, itself. There's a stem inside the valve
6 which moves and is detected by -- it's, I believe, it's
7 a magnetic type reed switch in the valve, itself.

8 MR. GIBSON: But is it
9 possible for that to move and the valve to stay closed
10 or for the valve to stay open and that move back closed?

11 MR. GERDING: No.

12 MR. HUGHES: Mike, I believe
13 the question is, is it a direct connection to the
14 valve disk, itself?

15 MR. GERDING: It is not
16 exactly a direct connection. As I mentioned, it's
17 operated magnetically in this particular valve design.

18 MR. GIBSON: Thanks.

19 MR. SULLIVAN: While we're
20 in that area, though, you had, on figure IV-1A, the
21 set points. Can you explain a little bit the logic
22 on block valve isolation and the set point there?
23 It says the block valve will close automatically on

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

coincident indication, the PORV not shut and 2100 psig. First of all, what's the pressure that the PORV should close automatically?

MR. PRATT: You mean open?

MR. SULLIVAN: No, should close. I assume it's opened already. You've reached the 2260. Now you're coming down in pressure.

MR. PRATT: Okay.

MR. SULLIVAN: In other words, how far below the point at which the PORV should have closed automatically is that 2100 psig?

MR. PRATT: Mike, do you --

MR. GERDING: Okay. The ~~reset~~ set point for the valve when the pressure decreases after the valve is open is currently 2235 pounds per square inch.

MR. SULLIVAN: Okay. So you've gone through a transient. You've hit the high pressure trip set point and, if not, something else. The reactor has tripped. If the PORV opened, you're coming back down, you pass through the -- what did you say, 2235?

MR. GERDING: That's correct.

1 MR. SULLIVAN: The PORV, for
2 some reason, stuck open and you reached 2100 psig. Now
3 you've got one part of your signal that the PORV is
4 stuck open. What other indication, then, are you
5 using, which of the two indications or both are you
6 using as an indication that the PORV is not shut,
7 besides the pressure indication?

8 MR. PRATT: Valve position
9 indication.

10 MR. SULLIVAN: Okay, and the
11 acoustic monitor, then, is strictly a backup for the
12 operator's information?

13 MR. PRATT: That's right.

14 MR. GERDING: The valve
15 **limit switch**, the PORV valve limit switch is used to
16 close one of the block valves coincident with the 2100
17 pound decreasing signal and the acoustic monitor is
18 used coincident with the 2100 pound signal to close
19 the other block valve.

20 MR. SULLIVAN: Okay. So
21 you've got sort of a combination of diversity and
22 redundancy there?

23 MR. GERDING: Yes, that's
24 correct.

1 MR. GIBSON: Mike, acoustic
2 monitor, sometimes acoustic monitors are flow monitors
3 and sometimes they're just microphones. I guess
4 they're all microphones but is this -- would you
5 characterize this as a flow monitor?

6 MR. GERDING: I can say that
7 it detects the flow. The actual mechanism I'm not
8 familiar with. I would have to investigate that
9 further and get back to you.

10 MR. COOK: Does that matter
11 interest you?

12 MR. GIBSON: No.

13 MR. VANHOOF: Mike, on the
14 pressurizer heater, you say there's two banks that are
15 1E. As I recall, the breakers for those pressurizer
16 heaters were located in the lower level of the turbine
17 buildings. Are they still there or have the 1E breakers
18 been moved; my concern being that in the event of a
19 break in circulating water, that you'd have a flooding
20 condition in that area and you might lose those
21 breakers. Where are they located now?

22 MR. PRATT: That I can't
23 answer. I think John --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. KOVACH: The upgrade included utilizing new Class 1E breakers from the switch gear located in the safety switch gear equipment room.

MR. VANHOOF: So you've moved it out of the lower level of the turbine building?

MR. KOVACH: We did not physically move the breakers. We utilized new breakers in the Class 1E distribution system.

MR. VANHOOF: So breakers are in the same location?

MR. KOVACH: No, we are not using the non-Class 1E breakers with the previous design. We are using new breakers from a Class 1E electrical distribution system.

MR. SLADE: Those breakers are still in the basement of the turbine building but now they're enclosed inside a water tight enclosure, is that correct?

MR. KOVACH: They're in the safety-related equipment rooms, yes.

MR. VANHOOF: Thank you.

MR. HUGHES: John, what he just said is that the old breakers are enclosed in

1 water tight --

2 MR. SLADE: No, no, new ones.

3 MR. HUGHES: Okay, the new
4 breakers --

5 MR. COOK: But they're
6 physically at the bottom elevation of the turbine
7 building still?

8 MR. HUGHES: No, we must for-
9 get about the old breaker because they were non-1E.
10 The new breakers are in a safety grade structure, not
11 in the turbine building, and they are the 1E power
12 supply distribution to the pressurizer heaters.

13 MR. VANHOOF: Not in the
14 turbine building?

15 MR. BAUMAN: Seismic category
16 one building, aren't they?

17 MR. HUGHES: Right.

18 MR. BAUMAN: Gene, they're
19 not in the turbine building anymore, the new breakers
20 being used, fully safety grade in the safety grade
21 building, right?

22 MR. KOVACH: Correct.

23 MR. TAYLOR: I don't know

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

whether the other designer board members got that clear or not, but I didn't.

MR. HUGHES: Essentially when we went to LE requirements for heater banks five and six, the old non-LE breakers were essentially neglected. New LE breakers were placed in a seismic and LE location.

MR. TAYLOR: Which is?

MR. HUGHES: Which is in the -- what is it -- the safety equipment --

MR. KOVACH: The switch gear room is in the aux. building.

MR. HUGHES: In the auxiliary building, the switch gear.

MR. SLADE: Okay, adjacent to --

MR. VANHOOF: Adjacent to the turbine building?

MR. KOVACH: Right.

MR. TAYLOR: So the old breakers are no longer in the picture anywhere?

MR. KOVACH: Right, that is correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. VANHOOF: As far as the
pressurizer heaters are concerned, they're still there,
usable, but not for the pressurizer.

MR. SULLIVAN: Mike, as long
as we're on this subject, can you give us a feel for
the basis for selection of this heater capacity? You
know, it was stated that the pressure control could be
maintained during hot standby or the transition to
cold shutdown using one of the banks.

MR. PRATT: That's right,
one.

MR. SULLIVAN: How many
kilowatts and how is that determined?

MR. PRATT: I cannot answer
that question.

MR. BAUMAN: That analysis
was done for us by B & W to set the capacity of the
heater banks, if somebody can answer that.

MR. HUGHES: Jim Agar from
B & W, do you have any particular recollection on the
heater bank sizing?

MR. AGAR: I can speak off
the top of my head but rather than do that, I would

1 take that as an action item to feed back to the board
2 the results of the calculations.

3 MR. BAUMAN: I recall a
4 significant amount of discussion back and forth on that,
5 Terry. There was several inter-relations so that we
6 were convinced that the sizing was proper. I don't
7 recall the details but I know that it was a subject of
8 discussion.

9 MR. COOK: The open item to
10 the board, then, is the basis for the sizing to docu-
11 ment the question.

12 MR. SULLIVAN: Yes, because
13 as I recall -- well, we had started this before the
14 TMI accident occurred and some of the requirements
15 after TMI -- there were talks about a number of banks
16 but there really wasn't a basis for the sizing.

17 MR. SLADE: I guess I'd like
18 to just expand that just a little bit further and
19 you're identifying two banks and I am making an
20 assumption that each of those banks is powered from a
21 separate power supply, is that correct, so that if we
22 lose either power supply, a single bank of heaters is
23 all that's available to control pressure and that's

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

what we're concerned about establishing, that the output of that bank is sufficient to maintain pressure?

MR. HUGHES: That's the statement that's made, that one bank of heaters will do it and that's the size and basis but we'll supply the particulars of the criteria and selection for sizing.

MR. VANHOOF: I would like some clarification or perhaps some broadening of the reason for installing the emergency boration system. As I recall, the shutdown with rods, you can attain a one percent Delta k shutdown capability with rods most worth -- the largest worth rod being stuck out. Why was the emergency boration system added? Is this because of xenon or what?

MR. HUGHES: Mike, why don't you touch on that briefly and then Jim Agar from B & W can supplement it.

MR. PRATT: Okay. You can, with a highest reactivity worth rod stuck, you can achieve cold shutdown. It can achieve a one percent subcritical margin with letdown but in the event that letdown is not available, the use of the emergency

1 boration system is required.

2 MR. BAUMAN: But didn't it
3 also have to do with the fact that the chemical
4 addition system was not fully safety grade or am I
5 wrong?

6 MR. PRATT: Not fully safety
7 grade and the boric acid concentration in the chemical
8 addition system is three-and-a-half weight percent
9 whereas the determination was made that a six weight
10 percent solution is required for the emergency boration
11 system.

12 MR. SULLIVAN: So if you can't
13 let down from the primary system, then, you need a
14 higher concentration boric acid because there's not
15 enough volume in contraction there, is that it?

16 MR. PRATT: Yes. I think,
17 you know, a lot of the criteria for this aspect of the
18 design of the emergency boration system were provided
19 by B & W and perhaps it would be better for some of
20 the follow-on kind of questions, maybe to clarify
21 something that I may have misspoken, to defer to
22 B & W.

23 MR. HUGHES: Jim Agar, do

1 you have anything further to add to that? Gene's
2 question really was the basis for the emergency boration
3 systems and the response of ours, really the decision
4 to use emergency boration is keyed to the availability
5 of letdown and the criteria for cold shutdown using
6 strictly safety grade equipment.

7 MR. AGAR: That's correct.

8 MR. GIBSON: I'd like --

9 MR. SULLIVAN: Let me follow
10 up.

11 MR. GIBSON: I'd like to
12 follow up.

13 MR. SULLIVAN: Well, what's
14 the approximate worth? It seems to me that a most
15 reactive rod stuck out is the key assumption here.
16 What's the approximate worth, say, for the first
17 quarter of the most reactive rod?

18 MR. AGAR: The way I under-
19 stand it is it varies with the operating condition
20 but I would let Rich Lange from B & W address this
21 question and he's the one who did the calculations.

22 MR. LANGE: The worth of the
23 stuck rod is covered by the control rod design. The control

1 rod design compensates for the stuck rod and com-
2 pensates for the temperature deficits reactivity in-
3 sertsions down to 532° for the fuel and the moderator.
4 The purpose of the chemical addition, the use of BWST and
5 the emergency boration system is strictly xenon, the
6 build-up and decay of xenon. Within approximately
7 twenty-two hours or twenty-three hours after reactor
8 trip, xenon life level will have peaked and returned to
9 its equilibrium value and then will subsequently decay.
10 So it's to compensate the xenon decay that the
11 emergency boration system was evolved.

12 Now, as far as the concentrations go,
13 the reason for it being six weight percent as opposed
14 to a number such as five, which a lot of plants have,
15 is related to the amount of storage volume that's
16 available and in order to design a new system and
17 accommodate the tanks, there was a limited spacing
18 available and so it was decided to go with six weight
19 percent. Originally it was thought to go with twelve
20 weight percent but it was felt that six would be better
21 if you can squeeze in a larger tank, and that was
22 subsequently the route that was taken.

23 MR. COOK: Let me tag along

1 on this. In terms of the interface between the
2 nuclear engineering requirements coming out of B & W
3 and the mechanical engineering requirements and system
4 design from Bechtel, do we have a design criteria that
5 is specified in terms of boron concentrations of the
6 primary system as a function of the various operating
7 conditions you have to deal with for this particular
8 application that has been transmitted to Bechtel to
9 compare your mechanical designs to -- how has that
10 interface been covered?

11 MR. HUGHES: Mike, would you
12 care to answer that? The question is PPM boron and
13 who has told us.

14 MR. PRATT: The criteria for
15 a six weight percent boric acid solution, minimum
16 1800 gallons, was provided by B & W.

17 MR. COOK: In just that
18 basic set of criteria?

19 MR. PRATT: Well, there were
20 other discussions.

21 MR. HUGHES: There have been
22 a series of meetings and discussions with B & W on the
23 sizing of the system and on our difficulties in space

1 to come up with a suitable objective of parts per
2 million boron given the tank sizing, so we iterated
3 between the percentage and the gallons available to
4 meet the B & W requirements of so much boron in there
5 at a given time and volume of available --

6 MR. COOK: Let me restate my
7 question, then. Where do we have a performance
8 analysis of the system as it is currently designed for
9 all the possible operating conditions that you might
10 experience that is compared to B & W's nuclear require-
11 ments?

12 MR. HUGHES: Right. The
13 performance analysis is essentially one of B & W.
14 Ours is a performance of a flow delivery. In the
15 Bechtel calculations, we would analyze the flow rate,
16 time, pressure, the performance of a mechanical
17 system and it would be married to B & W analyses that
18 with that performance and that concentration, that
19 much boron in the reactor provides a given reactivity
20 or reactivity margin.

21 MR. COOK: I'd just like to
22 see the process, the system that says that, you know,
23 the engineering system that says that the performance

1 of that system to carry out its design function has
2 been analyzed by the appropriate party in whichever
3 organization it has to be and that we have verified,
4 to the satisfaction of both organizations, that we
5 have met the intended function.

6 MR. HUGHES: Let me take it
7 in a two-step, if you will, then, and Rich, would you
8 go ahead and give him a brief rundown on your design
9 analyses and then the providing of criteria to Bechtel?

10 MR. LANGE: The way we --

11 MR. HUGHES: Excuse me, Rich.
12 You can come forward a bit to allow the reporter to
13 hear you.

14 MR. TAYLOR: While you're
15 going up front, Rich, one of the corollary questions
16 to one of the questions Mr. Cook asked is are the
17 design criteria for the EBS documented in a specifica-
18 tion which has been transmitted to Bechtel and are the
19 bases for that specification documented?

20 MR. LANGE: Yes. They are
21 documented in eighty-six internal documents that were
22 sent to project management. Functionally, the way the
23 system was designed was that we took the criteria of

1 compensating for xenon and based the design around the
2 ability to increase the boron concentration enough to
3 compensate for the burnout of equilibrium xenon. Okay,
4 that, as far as the particular mechanism, was then, as
5 far as when you really need the boric acid to go in,
6 is based on a consideration of trips from equilibrium
7 conditions as well as double reactor trips.

8 MR. GIBSON: I've been going
9 over this, even before the board meeting today. One
10 thing that strikes my mind that we should know is if we
11 have a normal reactor trip from, say, full xenon, we
12 level out at 532, we haven't started the cooldown;
13 do we need that EBS even without letdown? I don't
14 see why we need the letdown under those conditions yet
15 anyway, frankly, but --

16 MR. LANGE: The control rod
17 design in compensating for the deficit size specified
18 earlier is based on equilibrium xenon, so you will
19 have, under limiting conditions, you will have only
20 one percent shutdown margin after xenon has peaked and
21 returned to equilibrium. If xenon continues to decay,
22 you will eat into the one percent shutdown margin.

23 MR. GIBSON: So you don't
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

have to use that EBS until you're back to equilibrium xenon?

MR. LANGE: Yes, that's true.

MR. GIBSON: And that is with one rod out?

MR. LANGE: With the most worthy stuck rod out and in a most limiting fuel cycle with respect to shutdown modules.

MR. SLADE: Let me go on just a little bit farther from Lou's scenario there where I've tripped the reactor from equilibrium xenon and now I've approached my peak and I'm ready to put the unit back on line. Do I have a limitation at peak xenon for need of that emergency boration system? Will I still have adequate shutdown margin available to me as I'm putting the unit on line?

MR. LANGE: If you could start the reactor up with greater than equilibrium xenon, you're not in a limiting situation with regard to shutdown margin provided by control rods. You didn't have any reactivity to insert in order to get the unit back up. This is predicated on not starting up prior to returning to equilibrium xenon because in

1 a limiting situation, I don't think you can
2 physically do it.

3 MR. SLADE: I can't bring
4 my unit back on a peak xenon?

5 MR. LANGE: Not if you're --

6 MR. SLADE: Certainly I can.

7 MR. LANGE: I don't think if
8 you're in a limiting situation with respect to control
9 rod shutdown --

10 MR. HUGHES: Bear in mind
11 that you have a rod out, stuck out, identified as stuck
12 out and questionable.

13 MR. SLADE: No, no. Let me
14 trace it again. I don't think we're assuming the
15 same things. We're at equilibrium xenon, have a
16 reactor trip. Everything is fine. I'm ready to start
17 the unit back up again. Pull the unit critical by
18 diluting the boron concentration, okay, so that at peak
19 xenon, I now have rods out. I now have diluted the xenon
20 and I'm starting -- or diluted the boron and I'm now
21 starting the reactor up.

22 Okay. Now, I have a trip as a result
23 of the safe shutdown earthquake or whatever, okay? Am

1 I ready? Do I have sufficient margin, and I think
2 what you're telling me is that I don't have the power
3 deficit to be concerned about and that that makes up
4 the difference, is that correct?

5 MR. LANGE: Well, what you
6 could not have done is dilute the system because if you
7 were at a limiting situation with respect to shutdown
8 margin where you only had the one percent and --

9 MR. SLADE: I didn't have a
10 stuck rod yet. I didn't have a stuck rod until the
11 second trip.

12 MR. LANGE: I understand, but
13 in order to start the reactor up, a limiting situation
14 is based on 17 ppm in the core and you simply couldn't
15 dilute enough to get back up to power under those
16 circumstances. So you couldn't have returned to power
17 by dilution.

18 MR. SLADE: What you're tell-
19 ing me, then, is the limiting situation is end of core
20 life?

21 MR. LANGE: Yes, with respect
22 to --

23 MR. SLADE: And under those
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

circumstances, I couldn't start the --

MR. LANGE: Yes.

MR. SLADE: -- unit back up again because I couldn't dilute the negative boron?

MR. LANGE: That's right.

MR. SLADE: How about earlier in core life?

MR. LANGE: Yes, you could dilute to start back up.

MR. VANHOFF: Same situation and he trips that.

MR. LANGE: But he doesn't have a one percent. He's got more than one percent on the control rods now.

MR. VANHOFF: With one control rod stuck out?

MR. LANGE: Yes.

MR. SLADE: So what you're telling me is that as long as I can meet my tech spec requirements on control rod withdrawal at the power level at which I am at, that I'm going to have sufficient margin?

MR. LANGE: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SLADE: Regardless of what the xenon concentration may be?

MR. LANGE: Yes.

MR. SLADE: Okay. Now, in conjunction with that, we were talking earlier about how much boron I have to add to the system or how quickly I can add the boron to the system in the event of this incident, okay, based on inventory control. If I'm at peak xenon and I am losing reactivity or gaining reactivity as a result of that loss of xenon, is there sufficient volume available in the RCS to inject the boron under those conditions?

MR. LANGE: I may have lost the precise conditions regarding your question in that last paragraph, but what we based it on is being able to utilize volume in the pressurizer and cooldown volume between 579° and 532° -- actually that's 542 -- starting from a high level in the pressurizer and be able to get enough boron in to reach the required conditions so it's -- the analysis we did is based on really available volume.

MR. SLADE: But available volume based on equilibrium xenon conditions, not

1 based on peak xenon conditions?

2 MR. COOK: Let me break in
3 for just a second. I think we've gotten off on a very
4 detailed line of questioning that's going to be difficult
5 to resolve in this particular forum. If I can try to
6 come back and summarize where I think this line of
7 questioning has gone, first of all we were interested
8 in making sure that we understood that the detail re-
9 quirements from the nuclear engineering aspect, the
10 B & W side of the house, were fully documented
11 through the project process to the architect engineer
12 and that there was a full interface review to make
13 sure that all the conditions that we're required to
14 make were specified and understood by the designers
15 and that there was some check that that had been
16 verified. I think beyond that you've gone into some
17 additional thoughts on the operating possibilities of
18 that system that you're interested in, and rightly so,
19 from an operating point of view.

20 I would suggest that by pulling out
21 of the system the documentation, you know, that
22 specifies all the conditions that were utilized in
23 specifying that system and in designing it, you and

1 your operating people should review that very carefully
2 to make sure your questions have been answered in
3 terms of, you know, your considerations on plant
4 operation. Is that a fair statement in the way we
5 ought to proceed to try to move on?

6 MR. SLADE: Okay. I guess I
7 need to have more data on the background, the assump-
8 tions that were used in calculations so that we can
9 do that review.

10 MR. LANGE: I might add one
11 point. I think the thrust, I think I've gotten the
12 thrust of your question. It is based on equilibrium
13 xenon, not greater than equilibrium xenon; the reason
14 being, in a limiting situation, not being able to
15 start up before you get back to equilibrium xenon, so
16 that in a nutshell is the philosophy that we've used.

17 MR. BAUMAN: What we need is
18 a set of criteria in design assumptions that B & W
19 used in your analysis so we can make sure that all
20 plant operating conditions have been factored into your
21 analysis. We need the input to your analysis, the
22 basis of your analysis for our review.

23 I don't think we have that now. All

24 -76-

1 we have is the numbers that B & W gave to Bechtel as
2 far as the percent boron and the volume, but what were
3 the assumptions that went into that analysis? That,
4 I think, we need and I don't think we have that, do we?
5 Jim Agar?

6 MR. AGAR: We have formally
7 transmitted a document around to Consumers and Bechtel
8 that give the bases and backgrounds and the calculations
9 that Rich Lange has completed. You should have that
10 document and perhaps that's the one you can review to
11 get at least a good start in response to that question.

12 MR. SULLIVAN: I guess where
13 we're at, though, now is Jerry, you need certain data
14 in order to develop your normal operating procedures
15 and emergency procedures?

16 MR. SLADE: Yes.

17 MR. SULLIVAN: And what you
18 would usually do is take that document, review it and
19 see if there is enough information there for you to
20 develop your procedures. If not, then you would ask
21 for additional analysis or whatever and I guess the
22 question would be, are you at that point already where
23 you are developing those procedures or is that some

1 point in the future and are we jumping ahead of our-
2 selves?

3 MR. SLADE: The answer to
4 your question is we're beyond the point. The procedures
5 are already developed and what I need to know is
6 whether I need to change the basis on which those
7 procedures were developed. Is there going to be a
8 revision to the operating spec as a result of this
9 B & W document and the bases, have they changed the
10 assumptions that were in the original operating specs
11 that were provided to Consumers.

12 MR. HUGHES: Jim, the original
13 operating specs provided to Consumer did not envision
14 the emergency boration system at the time.

15 MR. AGAR: That is correct,
16 yes.

17 MR. HUGHES: Therefore, yes,
18 there will eventually be further information and con-
19 sideration.

20 MR. AGAR: This would also
21 be a consideration of an emergency procedure and the
22 use of the emergency boration systems will have to be,
23 I assume, written up. To my knowledge, you haven't

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

written that emergency procedure, is that correct?

MR. SLADE: No. Our procedures do not yet include consideration of the emergency boration system.

MR. AGAR: That's the word that I got back yesterday and I understand that from Mr. Ivan Green, Dr. Ivan Green, who is on the committee for reviewing these operating procedures, and we'll get into that chain of review at that time, I would guess.

MR. HUGHES: Jim, the original question --

MR. COOK: Excuse me, Jerry. Go ahead.

MR. HUGHES: -- was the basic design process and we had gone through Mr. Lange to identify the B & W analyses that went into it. Should we go on further for the board to where the architect engineer comes in? Do you have an answer to your question as you originally posed it?

MR. COOK: I have an action item but I didn't have an answer.

MR. HUGHES: That's correct.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. COOK: With your understanding of what the action item is, we can go on with it.

MR. HUGHES: We have received from B & W documentation as to the requirements for this system and as the architect engineer we have designed a system we believe meets that requirement for delivery of a volume of borated water to the reactor under given conditions and we have reviewed those with Consumers Power and with B & W, a series of meetings, and are now presenting this in this form for -- as a new system which has been added to achieve cold shutdown under given conditions; namely, without let-down.

MR. COOK: Where is the check that says B & W certifies that the system you have designed meets all the requirements that they have established for this system? Is that in the record already?

MR. AGAR: We haven't reached that point of complete confirmation. We have some calculations that are ongoing. Apparently there's some stress calculations within Bechtel that are still

1 ongoing and I would guess that in the very near future
2 we should have full agreement between the architect
3 engineer and the NSS supplier with regard to the EBS,
4 the emergency boration system.

5 MR. COOK: I think, with the
6 condition that everybody is sure that all of the
7 operating situations that have to be looked at have
8 been looked at as far as establishing the criteria,
9 that would satisfy my original question. I think the
10 other half of the discussion that we went onto was the
11 operating side of Consumers Power Company is interested
12 in making sure they understanding all those operating
13 conditions and can review their procedures and require-
14 ments and what they have to do to get ready to operate
15 the plant to make sure they understand it and have it
16 totally integrated into their work.

17 MR. SLADE: Yes. Jim, I'd
18 like to go one step beyond that and assure that we are
19 going to receive operating specifications for the
20 emergency boration system and the affects on the other
21 operating specifications which we have already received.

22 MR. BAUMAN: Jim, it goes
23 farther than that. In the total cold shutdown package,
24

1 there are a lot of interfaces with the operators and I
2 would suggest that we consider strongly an operating
3 guide and an emergency spec for the entire cold shut-
4 down package. You just talked the one system here but
5 as you go through the B & W analysis and the Bechtel
6 analysis, you'll see where there are a lot of areas
7 that will require close operator attention and I think,
8 as a total package, we need to develop an operating spec
9 and an emergency spec.

10 MR. GIBSON: One final point,
11 I have observed, looking at the EBS, since it is a
12 manually aligned system, I think B & W should be very
13 careful on just telling us how soon it's needed. I
14 say that because I envision a lot of the loss of let-
15 down events as being temporary. There are a lot of
16 things that can kick that off and then you can restore
17 it, and I think if you have an accurate picture of how
18 soon you need that EBS, you may find the prudent
19 course of action is to have that letdown system back
20 so you don't just arbitrarily have that thrown in right
21 away and assume that the letdown is going to be re-
22 turned.

23 MR. HUGHES: Again, the EBS

1 is a system provided for given circumstances as a
2 -- let me say an emergency procedure, and the whole
3 question of emergency procedures is handled in the
4 course of getting the plant on line and, yes, the
5 design information we provided in whatever form, the
6 utility operating department requires it, but for the
7 course of this presentation, this really isn't a
8 presentation on procedures except as it explains the
9 operation of the system and the designer's intent for
10 capabilities, so I believe offline from this forum,
11 we can provide this information as it's needed. Is
12 that satisfactory to the board? We have normal
13 procedures in effect for doing this, in the course of
14 exchange of information with B & W and with Consumer
15 engineering and do involve Consumers' operation in
16 this, I believe.

17 MR. LANGE: Ed, just to
18 address that last point, that was a consideration in
19 the design, which is basically why it's manual as
20 opposed to automatic, and the time requirement is that
21 the system is not required before two hours, so we did
22 try to take that into account.

23 MR. HOOD: Could I ask

1 Mr. Slade, if he would, to identify the document from
2 B & W to which he earlier referred?

3 MR. SLADE: I'm just trying
4 to get the right number on it. I guess it's identified
5 as Consumers cold safe shutdown and the number on it
6 is 86-1123863-00 and it's dated February 11, 1981.

7 MR. GARRICK: I would like to
8 make a comment and then ask a couple of questions.

9 MR. COOK: On the same sub-
10 ject or a new one, John?

11 MR. GARRICK: Well, it in-
12 volves -- it will come to this same subject but it's
13 more general and then I was going to converge on a
14 couple of specific items.

15 MR. COOK: Okay. Why don't
16 we point it towards convergence.

17 MR. GARRICK: All right.
18 Okay, well let me talk, then, specifically about the
19 emergency boration system because as I hear you talk,
20 it sounds like -- that there has been an attempt here
21 to get considerable credit for this system and as it's
22 presently designed, it, of course, requires local,
23 manual operation. I wanted to ask -- and, therefore,

1 it's a slow-acting system, at least relatively speaking.
2 I wanted to ask if the specification for the system
3 does talk to the time constant for the use and effective-
4 ness of this system. How slow acting is this system?

5 MR. HUGHES: Well, as stated,
6 the system is not required for, by calculations, for
7 two hours. Therefore, we believe that the manual
8 alignment of the system is appropriate for a system
9 whose need is in that time frame.

10 MR. GARRICK: Was there any
11 consideration given to its utility if it were available
12 sooner than two hours?

13 MR. HUGHES: For the design,
14 it being an add-on system, it was answering a need
15 rather than looking as an integrated package as to all
16 possible functions it might perform. It was rather a --
17 what basic need does it require and what is required to
18 provide that need. Therefore, no, it was not examined
19 as far as other potential where we were starting from
20 an earlier phase.

21 MR. GARRICK: So I take it
22 from that that the isolation valves, consideration of
23 motor operated isolation valves and control from the

1 control room was not something you looked at?

2 MR. HUGHES: We looked at it
3 originally in the system as to whether it was required
4 and when it was determined it wasn't required, then a
5 decision was made that we would not provide them.
6 Based on the stage of design of the project, any
7 additions to control room are additional design
8 problems relative to cabling switches, space available
9 and so, no, the decision, examination was that manual
10 valves would suffice, then there was no decision to
11 enhance it by making it motor-operated.

12 MR. SULLIVAN: Can you
13 elaborate, Ed, on the criteria for the manual valve?
14 I mean, you said you made a determination that the
15 manual valve would suffice. I assume that the
16 Consumers people were involved. What were some of the
17 -- what did you consider?

18 MR. HUGHES: Well, essential-
19 ly Consumer, B & W and Bechtel people were involved in
20 a review of this entire system and based on the loca-
21 tion of the valves and their accessibility and the
22 time duration that was required for the system, and
23 the availability and the purchase of valves, it was

1 decided that it was sufficient to provide manual valves
2 and that an operator had sufficient information,
3 direction to go open the valves or to align the valves,
4 that there was no need for electric operation.

5 Now, that is principally a time con-
6 sideration and a location and availability of the
7 valves consideration, but that was extensively reviewed
8 and is documented in various meeting notes over the
9 course of, I guess, the past year.

10 MR. GARRICK: Well, the
11 only question I was getting to is whether or not the
12 intent here was really a mitigating system and if in-
13 deed that was the intent, then the time constants
14 could become important.

15 MR. HUGHES: I guess I need
16 a further definition of the mitigating system because
17 it is a reactivity control system. It is designed to
18 mitigate or to insure that you are in fact one percent
19 shutdown for the conditions postulated. My interpreta-
20 tion of mitigating, yes, it mitigates against a con-
21 dition that you would be less than one percent shut-
22 down, but as far as a rapid response similar to the
23 emergency core cooling systems, no, it's not in that

1 category.

2 MR. GARRICK: Okay. So, well,
3 what I was thinking as far as short term was maybe less
4 than an hour or half an hour and a system that would
5 enable you to perform boron injection or inventory
6 makeup and I guess what you're saying is that it was
7 not intended to do that in the short term?

8 MR. HUGHES: No, it's not in
9 the short term.

10 MR. GARRICK: And the short
11 term might be an hour or less?

12 MR. HUGHES: Well, our
13 design basis for the plant for the short term for
14 emergency action is ten minutes and that's the basic
15 criteria.

16 MR. GARRICK: Well, that's
17 what's bothering me. There seems to be a substantial
18 difference between that kind of short term and what you
19 said earlier about a couple hours.

20 MR. HUGHES: Well, the two
21 hours is a figure unique to the analysis of this
22 system.

23 MR. GARRICK: My closing

24

1 comment on this is that I'm having a little trouble
2 seeing the real utility of this system.

3 MR. HUGHES: Jim Agar, see if
4 you can shed a little more light for Mr. Garrick on
5 this.

6 MR. AGAR: Well, for the
7 record, I would like to add a document titled -- a
8 number that has been transmitted to Consumer and to
9 Bechtel that discusses in some detail the analysis and
10 calculations. The title is Xenon Dynamics and Shut-
11 down Margin. The document number is 86-1123880-00.
12 This document will shed quite a bit of light on the
13 time aspect of utilization of the emergency boration
14 system.

15 MR. SULLIVAN: I think the
16 primary -- just a comment on the utility, John, is the
17 primary concern really came out of -- there had been a
18 lot of concentration before TMI about getting to a
19 certain condition and in our opinion after TMI and
20 some of the problems they had where they were afraid
21 for awhile of losing letdown, for instance, and other
22 limiting conditions. When you really look at the
23 limiting assumptions, you can talk about getting to a
24

1 safe condition but if for some reason you don't want to
2 go somewhere from that -- in other words, you want to
3 stay at hot standby or even, in the long term, a
4 transition to cold shutdown -- the plant designs were
5 not always such that under the limiting assumptions,
6 most reactive rod struck out, loss of letdown -- under
7 most limiting conditions, one rod stuck out, loss of
8 letdown, seismic events and so forth. You couldn't
9 demonstrate that you could maintain those types of
10 conditions wherever it was you wanted to be for an
11 extended period of time and so the emergency boration
12 system rationale was not a quick response system like
13 in a BWR, for instance, but the idea was can we main-
14 tain a safe condition for an extended period of time
15 and that's why the time limits are on the order of
16 hours rather than what you normally see.

17 MR. HUGHES: John, again, I
18 think, getting more to the thrust of your question,
19 really we were in need of a relatively low volume,
20 high boron concentration system whereas other avail-
21 able sources of borated water were of a lower con-
22 centration, and there's only a certain amount of space
23 available in the reactor coolant system, so we needed

1 a system that could pack in more boron with less
2 volume than we otherwise had available.

3 MR. SULLIVAN: The low boron
4 system really, as I remember early in the design, were
5 selected based on the desire for normal operating
6 conditions to avoid large runs of pipe with heat tracing
7 and so forth and the attendant problems of reliability,
8 maintainability and so forth. So it's effectively a
9 compromise between the normal operating and the
10 emergency conditions.

11 MR. TAYLOR: Let me see if I
12 understand what you've just said, Terry. The emergency
13 boron system was to deal with the situation where, by
14 the time you got back to equilibrium xenon and started
15 to decay below that point, which is fifteen, eighteen
16 hours, I don't know -- it's way out there in time --
17 and you made the assumption that you still had no let-
18 down capability and were not able to do anything about
19 the stuck rod, at that time frame, way out in several
20 hours, that's when this system would be required to
21 start adding or it would have had to add negative
22 reactivity by that time, is that correct?

23 MR. SULLIVAN: That's correct,

1 as I understand it, and as the B & W gentleman said,
2 after xenon decays, you start slowly to eat into your
3 margin and if you don't have maneuvering capability at
4 that point, say two hours and beyond, then this system
5 gives you the safety grade capability to maintain a
6 safe condition.

7 MR. TAYLOR: When you say eat
8 into your margin, you mean reduce the one percent sub-
9 critical margin?

10 MR. SULLIVAN: Yes, under the
11 most limiting conditions.

12 MR. TAYLOR: I had a -- I'm
13 sorry, John.

14 MR. COOK: John are you
15 getting your questions answered?

16 MR. TAYLOR: Do you have
17 another one?

18 MR. GARRICK: Well, I had a
19 similar kind of anxiety on the HPI auxiliary spray and
20 as I recall, it must be aligned through a local manual
21 valve operation before it's available, available for
22 pressure reduction and, of course, during this period,
23 the PORV can cycle several times and could even fail

1 to open and could stick open on any of the cycles. So
2 I was looking at the auxiliary spray system as a pres-
3 sure reduction mechanism in, again, in the interest of
4 trying to implement the cold shutdown under the con-
5 ditions that are specified, the thirty-six hour period,
6 et cetera, and again, it's the same kind of problem.
7 With the manual alignment and the possible time that's
8 involved, maybe we're not taking advantage of this
9 system as much as we certainly could as a reduction,
10 pressure reduction device.

11 On the other hand, I am assured by
12 operations people that this particular system, from an
13 operations standpoint, is very valuable and very
14 functional, but again, as a risk analyst, I'm looking
15 at it from the standpoint of what it provides to en-
16 hance safety where for the moment we're talking about
17 cold shutdown as an enhancement of safety.

18 MR. GIBSON: John, I would
19 like to challenge your question in one area. There is
20 not a tradeoff, as I understand it, between the
21 auxiliary spray and PORV operation in that the
22 auxiliary spray is a cooldown and if you didn't have
23 it, you would not be challenging the PORV. You just

1 wouldn't be cooling the pressurizer. The only
2 mechanism to challenge the PORV under those conditions
3 would be more a function of imbalance and heat removal
4 causing pressurizer insurges, I believe.

5 MR. GARRICK: So it's not so
6 deep, is what you're saying, as far as impacting the
7 -- or it's something you'd like to have available in
8 advance of cycling the PORV?

9 MR. GIBSON: I'm going to
10 back off and yield to Bechtel and the designers.

11 MR. BAUMAN: I think we need
12 to have somebody summarize, like you did for the
13 emergency boration system, what the purpose is for
14 that auxiliary spray, why it's there and what the
15 timing is.

16 MR. HUGHES: Mike Pratt,
17 would you please give them a brief summary?

18 MR. PRATT: Should the
19 operator determine that it is desirable to go to a
20 cold shutdown condition, the auxiliary spray system
21 would provide the capability to do that, but the fact
22 that alignment of the system requires local, manual
23 actions is not a detriment to the overall safe con-
24 dition of the plant. There's adequate time to

1 provide that manual alignment prior to the starting
2 of the depressurization and the cooldown sequence.

3 MR. BAUMAN: In other words,
4 the thirty-six hour time we have to achieve cold shut-
5 down, you can maintain hot shutdown without the spray,
6 right?

7 MR. PRATT: That's correct.

8 MR. BAUMAN: So the only
9 reason you need this auxiliary spray is when you opt
10 to go to cold shutdown and you have adequate time in the
11 criteria to allow for an operator action?

12 MR. PRATT: Right.

13 MR. GARRICK: I guess my
14 real question, then, would the availability of the
15 spray within a short time period following a transient,
16 say less than a half an hour, be desirable from the
17 standpoint of limiting pressurizer PORV demand cycles.

18 MR. PRATT: Well, let me just
19 comment briefly. We have not yet covered a section
20 that B & W will present on recovery of plant from
21 accident, transient scenarios, so I think some of your
22 questions related to that may be answered when we get
23 to that part of the presentation.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. HOOD: Mike, can I ask, would that presentation get into the use of the emergency boration system after certain transients?

MR. SCHOMAKER: No.

MR. HOOD: Basically my question is I'm wondering if Mr. Garrick's questions about the manual actuation of that system will come into play again after the transient.

MR. PRATT: For the emergency boration system or the auxiliary spray?

MR. HOOD: I'm referring now to the emergency boration system.

MR. PRATT: Okay.

MR. HUGHES: Darl, I can answer that. No, we aren't going into that. We can explore any questions that the review board wants to go into but the actual presentation won't go into that.

MR. SULLIVAN: Well, again --

MR. HUGHES: Transients and accidents are really getting to a stable and safe plant condition and the later decision to go to cold shut-down is, in fact, viewed as a later decision and not one of the immediate actions. Therefore, the emergency

1 boration system with the rods stuck out or the auxiliary
2 spray, which is reactor coolant system controlled de-
3 pressurization, are really later events, not immediate
4 responses.

5 MR. SULLIVAN: Except that
6 John's line of questioning will be answered in the
7 sense that you have to address the immediate response
8 of the plant to get to a stable condition and if in
9 the presentation, whenever it takes place, you show
10 that you do that without needing the spray or in the
11 emergency boration system, then at least indirectly
12 his questions are addressed, right?

13 MR. HUGHES: This is correct.
14 By process of elimination, it has not been determined
15 to be needed; therefore, it is not needed in the short
16 term.

17 MR. BUDZIK: I'd like to
18 make a suggestion here. I know Rich has the slides
19 that he needs in that and we've talked around and
20 around the emergency boration system and I don't see
21 any sense to it because I think we have all the informa-
22 tion that you need to understand where the criteria
23 and what the basis of the two hours were and the sizing

1 of the system and so forth. It is all based on xenon
2 curves for worse case conditions and I think Rich could
3 run through that in five minutes and give people an
4 understanding of how we got to that point and summarize
5 the report that B & W has given Consumers and Bechtel
6 for their review and concurrence.

7 Rich, why don't you go ahead.

8 MR. HUGHES: If that's of
9 interest to the board.

10 MR. COOK: Excuse me. Let
11 me ask the board if it is their sense that they would
12 like to hear additional information on the design basis
13 for the emergency boration system? I think we had
14 identified that it had been done by the work groups
15 and I was going to have you certify to us as part of
16 the follow-up. My question is, do we want to spend
17 more time now on the detailed background of the
18 emergency boration system?

19 MR. TAYLOR: Well, is that
20 document that Agar referred to going to be made
21 available to all the board members?

22 MR. BUDZIK: It can be. It's
23 right here. Certainly is going to be at least by
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

reference and then if you wanted to, we could make it --
it can be made available. We have it right here in
our hands. I can run Xeroxes in a half hour.

MR. COOK: I think the sense
of the board that I have is that we'll take that by
reference and then if the individual members want to
pursue it further by reviewing the actual ~~reference~~
documents, we'll do that.

MR. BUDZIK: Fine.

MR. COOK: Or if we have
additional time later on and it makes sense, we may
come back to it.

MR. SLADE: I have a couple
other questions.

MR. HUGHES: Could we go off
the record for a minute in that we need to change the
paper for purposes of the transcript.

(Short break.)

MR. COOK: We're back in
session.

MR. HUGHES: Jim, if I might
take a minute, I believe that Mr. Lange has one comment
relative to the emergency boration system criteria

1 that may be useful for the record and further explain
2 ~~action to some~~ people as far as criteria.

3 MR. LANGE: Just a couple
4 words about the timing aspect. The most probable con-
5 dition is operation from one hundred percent power.
6 In that case, the actuation requirement is going to be
7 about twenty-four hours. It is a very long term
8 operation. The two-hour criteria is based on a
9 double reactor trip where the second reactor trip is
10 the one where the rod sticks out. There are some
11 calculations made regarding the reactivity insertion
12 rates at that type of situation where you theoretically
13 got back up to hot full power temperature but really
14 didn't disturb the decay profile of the xenon. That
15 was where the two hours came from.

16 So, the two hours is under worse case
17 situations as opposed to most probable.

18 MR. HUGHES: Okay. With that,
19 the board's questions?

20 MR. COOK: I believe we're
21 at the point at where it's profitable to go ahead. I
22 think where we came in that entire extended discussion
23 was; one, questions on the design basis and interface

1 in the design process, the documentation requirement
2 and ability to analyze multiple operating conditions
3 with regard to the operating and emergency procedures
4 and, three, the observation by Mr. Garrick that his
5 sense as a risk analyst in hearing some of the system
6 descriptions and design bases is there might be
7 opportunities for additional enhancement of the safety
8 of the plant based on his experience in risk analysis,
9 which he is doing right now for the Midland plant. I
10 think, therefore, we should, not this Design Review
11 Board but rather the ongoing risk analysis of the
12 Midland plant, should take advantage of the potential
13 he sees and evaluate as part of the ongoing program
14 and I'd refer that really back to Dr. Sullivan and
15 Mr. Garrick to take that as an action item in their
16 ongoing work.

17 I don't think the design board was
18 constituted to try to, you know, attack that question
19 and clearly not to try to look at it, and much less
20 resolve, potential design changes, you know, ongoing
21 unless we find a deficiency, so I think we would simply
22 refer that potential which I think we ought to explore
23 to the ongoing PRA work.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SULLIVAN: Okay. I'm
sorry. I didn't realize we were missing Darl Hood
when we went back on the record. Does anybody --

MR. MAZETIS: He went to
make a phone call.

MR. HUGHES: Would you prefer
to wait or would you prefer to proceed?

MR. COOK: Do you gentlemen
have any sense of whether we should --

MR. MAZETIS: Let's go on.

MR. PRATT: Ed, I've just got
one point that I would like to make. Mr. Taylor had
asked a question previously about the design basis
information for auxiliary spray and we had an open
action item to provide to the Design Review Board the
details of that design criteria. We're assembling some
information now and, time permitting today, we'd like to
provide that within the presentation rather than at a
later date, if that's acceptable.

MR. COOK: Well, I think the
procedure we were going to follow was that the board is
going to reserve time to caucus as we get towards the

1 end of the overall meeting and at that point I would
2 ask us all to reconsider exactly what we thought we
3 needed to pursue and then we'll come back and specify
4 it and discuss it with the, you know, with the present-
5 ing organization to make sure we all understand where
6 we go from here.

7 MR. HUGHES: All right. If
8 there are no more questions on information to date --

9 MR. BAUMAN: I've got ques-
10 tions on some other aspects. Can we do those at this
11 time?

12 MR. COOK: Yes. The floor is
13 still open for design board questions on the material
14 that's just been presented to us.

15 MR. SLADE: Before we go onto
16 a new topic, can we clarify the action item associated
17 with the operating specs?

18 MR. COOK: I say, we'll do
19 that later today.

20 MR. SLADE: All right.

21 MR. BAUMAN: This may not be
22 the appropriate time, and someone tell me if we are
23 going to address this later on, but I think we need to

1 get into the natural circulation cooldown report steam
2 generator and the fact that there is still an analysis
3 to be completed on that. Is this the appropriate time
4 or will that come out of a later part of the presenta-
5 tion?

6 MR. HUGHES: I believe that
7 the statement really is that natural circulation cool-
8 down and one steam generator has not yet been fully
9 analyzed and I really can't say anything further about
10 it at this time.

11 MR. BAUMAN: Well, I would
12 like to know when the analysis is going to be complete
13 and what the schedule is. Do you have any other
14 references where you've done similar analyses on other
15 plants and so forth? Do you care to discuss it at all?
16 What I would like to have is feedback on discussion.

17 MR. HUGHES: Jim Agar, would
18 you care to address that?

19 MR. AGAR: Ron, the best I
20 can do right now in responding to that question is to
21 say that the natural code is being revised at this
22 time to include the ability to be able to analyze the
23 cooldown, natural circulation condition with the use

1 of one steam generator. The schedule for completion
2 of this model is being developed and I would guess that
3 within the next two or three weeks that we should have
4 a schedule when we can complete such calculations.

5 MR. GARRICK: In that analysis,
6 are you also considering two-phase recirculation,
7 circulation?

8 MR. AGAR: I would assume
9 that they are, yes.

10 MR. GARRICK: Okay. It seems
11 that I remember somewhere in some of the material that
12 such a study was going on and I guess I'm asking.

13 MR. AGAR: Well, we're not
14 contemplating --

15 MR. COOK: Through the board
16 or some other external material?

17 MR. GARRICK: Well, I'm not
18 sure.

19 MR. AGAR: We're not con-
20 templating really a two-phase mixture. To my knowledge,
21 there's no special study being done, at least to my
22 knowledge, within B & W for a two-phase recirculation.
23 The code, like I say, was used for the -- two steam
24

1 generator cooldown is being revised to be able to
2 just look at one steam generator.

3 MR. TAYLOR: I could clarify
4 that a little bit, John. There is, not in connection
5 with this cold shutdown issue but in connection with the
6 small break issue, two-phase circulation on the pri-
7 mary side and the effect of non-condensables and so on.
8 That is used, being given a lot of attention in connec-
9 tion with a NUREG document 0565, but two-phase cir-
10 culation is, to my understanding, this particular
11 issue is not being addressed.

12 MR. COOK: In response to the
13 comment, the material handed to the board on top of
14 page 17, I think, is clearly an open item and we'll
15 take that as such from B & W.

16 MR. AGAR: That's true, it
17 is.

18 MR. COOK: Mr. Jensen?

19 MR. JENSEN: I was wondering
20 if the consideration of reverse flow in the non-
21 operating reactor coolant loop will be concerned in
22 the natural code? Will that possibility be allowed for?

23 MR. AGAR: I would imagine so,
24 yes.

1 MR. COOK: Can we specify
2 with certainty or does that have to be followed up on?
3 MR. AGAR: Until the details
4 of the code modifications are known, you know, it would
5 be very difficult to answer that question.
6 MR. COOK: So we'll consider
7 the response to be uncertain, to be confirmed?
8 MR. AGAR: The issue is still
9 open until we can confirm that, right.
10 MR. BAUMAN: Okay, so that
11 will be an action item, then, to complete that analysis
12 and continue to evaluate it.
13 MR. TAYLOR: I have a
14 specific question which I think may relate to the
15 question that Mr. Jensen just made or just asked and
16 that is in connection with single loop cooldown. Is
17 it correct that the emergency boration system connects
18 into one loop? It is not -- this schematic is correct
19 in that the system coming in from -- is only connected
20 into one reactor coolant loop?
21 If you put the high concentration
22 boron in with one makeup pump, is that going to be
23 separated so that it only goes into the high pressure
24

1 injection nozzle; the background for the question being,
2 could you end up with all of the concentrated boron in
3 a dead loop and not in the reactor?

4 MR. PRATT: The specific
5 injection path needed by way of makeup or the HPI line
6 has not yet been determined.

7 MR. TAYLOR: It would then
8 seem that that's an issue that ought to be pursued in
9 connection with the overall emergency boration system
10 design evaluation, including the provision for sampling
11 during operation to not only make sure that the con-
12 centrated boron is going into the core but that the
13 sampling ~~provisions for~~ measuring that are really repre-
14 sentative of what's in the core.

15 MR. PRATT: Yes. There may
16 be some additional clarification that B & W would like
17 to make on that. This subject came up early on in the
18 design of the system, consideration of mixing and
19 getting the boric acid where you want it.

20 MR. TAYLOR: The only thought
21 is here an eighteen hundred gallon tank is not very
22 big compared to the loop volume and so if that happened
23 to be -- if you're putting the boron only into one

24

1 loop and that loop happened to be the idle loop, would
2 want to have assurance that it was being distributed
3 into the core.

4 MR. SLADE: There would still
5 be some flow in the idle loop. It's just a question
6 of what the time concept would be for getting to the
7 core.

8 MR. GIBSON: Mr. Taylor's
9 question really is appropriate. Whether you're using
10 the EBS or BWST, you are under natural circulation or
11 non-forced load conditions. Should be concerned that
12 the way you inject the increased boron, whatever the
13 source, that it be appropriate.

14 MR. TAYLOR: Could somebody
15 describe the sampling provisions when you would be in
16 the mode of using the emergency boron system? It's
17 my understanding from reading the material that the
18 sampling line is connected to the letdown line but one
19 of the things that requires the use of the emergency
20 boron system is the inability to use the letdown line
21 so what reviews have been made or what assurances can
22 be provided that the sampling you get out of that line,
23 which is not in use, is really representative?

1 MR. BAUMAN: I would like to
2 just add to that question, and Lou just mentioned it,
3 too, that the boron mixing in the reactor coolant
4 system during natural circulation cooldown, I'd like
5 to hear a discussion from the appropriate --

6 MR. COOK: Can we give the
7 design team a chance to answer these, you know, one at
8 a time as they come up?

9 MR. BAUMAN: Well, they're
10 related. It's more than just, one, the loop. It's
11 whether you've got forced circulation or unforced
12 circulation, the whole big question about boron mixing.

13 MR. HUGHES: I believe that
14 we will cover the boron mixing and go on into those
15 questions in better form after we've had the presenta-
16 tion of Chapter VI, which is the comparison to
17 applicable regulatory guides, and I believe that's
18 in fact addressed in the material there briefly.

19 MR. COOK: Take that as a
20 comeback item, fine. We'll defer to when you want to
21 address it.

22 MR. MAZETIS: Has the
23 analytical model referred to earlier been submitted to

1 the NRC staff? I believe B & W referred to it.

2 MR. HUGHES: Gerry, this is
3 the question of the natural code and the modifications
4 that Agar referred to?

5 MR. MAZETIS: No, the dis-
6 cussion referred to an analysis of one steam generator
7 under natural circulation.

8 MR. HUGHES: Okay. That was
9 referred to as the natural code. Mr. Agar, would you
10 care to answer that?

11 MR. AGAR: To my knowledge,
12 Gerry, that code is not completely certified yet at
13 this stage. I don't know. Perhaps Mr. Taylor could
14 help me out here in the licensing area, but I don't
15 believe that there has been discussions with the staff
16 on the natural code yet, is that right, John?

17 MR. TAYLOR: As far as I
18 know, they are not.

19 MR. AGAR: It is not a
20 certified code yet. They are still working on the
21 certification of the code.

22 MR. MAZETIS: Are there plans
23 to submit it to NRC?

24 -111-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. TAYLOR: Not that I know of, no. In terms of topical reports or that sort of thing, I don't think so. In terms of topical reports, I believe not. I believe there is not a plan for that code to be described in the topical report.

MR. GIBSON: As long as we're talking about the natural circulation considerations, I had a question. It's probably twofold. One, it has to do with the DHR cut-in. We've alluded to an elevation of the DHR cut-in temperature in the primary system and, first, I would like to know what kind of cycle limitations there are. I assume that they change as you elevate a temperature on a system that was designed for a lower one; and secondly, if you're into natural circulation, it seems to me that one of the prime reasons that you might be would be a loss of offsite power and, therefore, you would need that elevated temperature and I would think that maybe the hot leg temperature would start the diversion with cold leg. You'd be in a problem.

MR. HUGHES: Tom Ballweg?

MR. BALLWEG: Regarding the number of cycles, I don't know that number. Do you?

1 MR. PRATT: Well, we have
2 assumed, obviously, not a normal situation. It's de-
3 fined as an emergency condition and I believe we're
4 designing to one cycle per year, forty cycles during
5 the plant life.

6 MR. BALLWEG: The second part
7 of the question, yes, the hot leg and cold leg tempera-
8 ture are in fact much different under natural circula-
9 tion conditions and we are talking about a hot leg
10 temperature of 325 for cut-in. I do not remember
11 exactly what the cold leg temperature would be under
12 those conditions.

13 Am I getting to your question, Lou,
14 or not on that part?

15 MR. GIBSON: Well, I think it
16 is the hot leg temperature or the highest point that
17 you have to --

18 MR. BALLWEG: Yes, it is the
19 hot leg temperature.

20 MR. GIBSON: I think we'll
21 get into the rest of it in aux. feedwater, I imagine.
22 I'm concerned about whether we have any steam left to
23 drive the turbine drive.

24 -113-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. TAYLOR: Do I understand that the only basis for changing from 280 to 325 was in order to meet the thirty-six hour requirement?

MR. BALLWEG: Basically the requirement is to enable -- falls out in order to get enough steam venting capacity off the main steam lines, off the steam generators and cool the reactor coolant system down in a reasonable amount of time. The thirty-six hour number comes from Reg. Guide 1.139.

MR. MAZETIS: Do you have a calculation of the amount of time it would take to get to the 280?

MR. BALLWEG: To 280?

MR. HUGHES: Gerry, you have 280, under what conditions are you asking, under normal cooldown?

MR. MAZETIS: Yes.

MR. BALLWEG: Under a normal cooldown, you're basically limited by the RCS spec, 100° per hour cooldown rate for most of the cooldown and then at the very tail end where you were dumping to the condenser, you're limited by the valve capacity. It takes less than six hours to cool down to 280 under a normal plant cooldown.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. MAZETIS: Okay. Using the same assumptions utilized to derive the thirty-six hours, how long would it take?

MR. BALLWEG: I don't understand the question. Could you expand a little?

MR. HUGHES: Are you relating to using only Class 1E equipment?

MR. MAZETIS: Yes, right.

MR. HUGHES: And a loss of offsite power?

MR. MAZETIS: Right, if they were the assumptions. As I understood what you just said, you said it would take thirty-six hours or you could do it within thirty-six hours, get to the 325° emergency cut-in point. So my question was, using the same assumptions, what would it take to get to the 280° cut-in point; forty-eight hours, seventy-two, seventy-two hours? Do you have a feel for that?

MR. BALLWEG: I don't know that that's been analyzed out that far. I don't really know.

MR. SULLIVAN: Without decay heat removal?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. MAZETIS: To get to the cut-in point.

MR. HUGHES: Yes. The question is without offsite power and using the Class 1E components, how long would it take you to get to the 280?

MR. SLADE: In my review of this previously, I recall looking at the saturation pressure associated with 280°. I think the concern is that you don't have enough pressure to operate the auxiliary feedwater turbine-driven pump and if your single failure is the motor-driven pump, then you don't have -- you need to cut in at a higher temperature so that you still have feedwater at the point where you're cutting in auxiliary feedwater.

MR. GIBSON: Can I ask for a clarification? The thirty-six hours is the cold shutdown, am I correct, for the right guy? That's 200°, not 280 or 325?

MR. GUNNING: May I clarify? The thirty-six hour time period is the time to have your DHR system operational.

MR. GIBSON: Okay. So it's

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

not 200? Thank you.

MR. PRATT: And one other point, correct me if I am wrong, some of the licensing people, but I do not believe that the licensing position on the Midland plant is that attaining a 325 or 280° decay heat cut-in temperature as a design basis for the plant. It's a design objective in the plan.

MR. TAYLOR: You mean in thirty-six hours?

MR. PRATT: Within thirty-six hours.

MR. HUGHES: That is correct. This is a new regulatory guide relative to the construction permit in the vintage of the Midland plant, so this is an enhancement to demonstrate capability and we will go into that when we get into Section VI, I believe it is, on the comparison of the present design.

MR. TAYLOR: I'd like to ask for a clarification as a follow-up action item as to just exactly what the basis was for shifting from 280 to 325 because it seems, if it was simply to meet the thirty-six hour requirement, which is an

1 arbitrary requirement, it might be worthwhile to re-
2 consider having to subject the system to that change.
3 Correct me if I am wrong. Is the thirty-six hours an
4 arbitrary requirement?

5 MR. MAZETIS: I agree, it's
6 an arbitrary. It's a number that in the past five,
7 six years has been utilized to focus on the term,
8 reasonable period of time. We've accepted values
9 greater than thirty-six hours; forty, forty-eight hours,
10 particularly for near term O.L.'s. While I guess I
11 agree with Jim, the thrust of your comment, I would
12 presume that all they were trying to demonstrate was
13 the capability if needed to get to the RHR system with-
14 in that period of time. The actual need for doing that
15 would be determined under the conditions of the re-
16 actor at the time this fast shutdown was required and
17 presumably for a normal shutdown, they would, you know,
18 they wouldn't take advantage.

19 MR. HUGHES: Let me clarify
20 one thing. I don't believe we stated that the thirty-
21 six hours was the only reason we went to the 325.
22 Tom, would you go back to what you said about the
23 steam venting and pressure?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. BALLWEG: Basically, well, the 325 does fall out not specifically from the thirty-six hours. It more falls out from the reasonable time assumption where you basically come at -- and I'm reflecting strictly on memory, something that I saw quite a long time ago -- that it took, to get to 280, it took something in the range of three days, two to three days to get there using one valve and with the idea of meeting a single failure requirement to assure the -- we had a steam vent path for each steam generator and providing a reasonable capacity and during a reasonable time, the 325 kind of fell out in the wash as being the number which was achievable from a DHR system design and still compatible with a reasonable cooldown time.

It was a compromise number considering both the DHR system performance, equipment and limitations and capabilities, and the implementation of the reasonable time concept.

MR. TAYLOR: My only concern is whether or not there are any significant adverse effects on the decay heat system as a result of shifting 280 to 325.

1 MR. BALLWEG: I think the
2 short answer to that is the stresses, thermal stresses
3 are going to be higher. They have been analyzed and
4 determined to be acceptable as an emergency level
5 stress.

6 MR. TAYLOR: Are those trade-
7 offs worth whatever the basis for shifting really was?

8 MR. SLADE: Let me interject
9 here, because I did have in my notes the numbers of
10 the saturation pressures for those temperatures. At
11 280° Fahrenheit, the saturation pressure is fifty
12 pounds absolute. Okay. The required pressure for
13 operation of the auxiliary feedwater turbine-driven
14 pump, I believe, is thirty pounds gauge, is that --
15 or, no, forty-five pounds gauge, which would be sixty
16 pounds absolute and, therefore, you could not assure
17 the pump volume necessary at the 280°. You had to go
18 to some elevated temperature.

19 Now, whether 325 is an appropriate
20 basis or not, 325 happens to be ninety-seven pounds
21 absolute and clearly is above the required pressure to
22 operate those pumps. So someplace between 280 and 325
23 is necessary in order to assure that you can put

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

auxiliary feedwater to the generators if you don't have a motor-driven pump.

MR. SULLIVAN: It is stated as an emergency operating condition. It's not something the operator would routinely do, Jim, so it's not, you know, as I read it, you know, it's the option of the operator when he gets there to make the judgment as to whether he needs to cooldown that quickly.

MR. TAYLOR: These numbers have a habit of creeping into the operating procedures and it would certainly be worthwhile to have that be an option to the operator, let's say, to go to 280 if you can. You don't have to actuate this sytem in these conditions unless you're without your motor-driven pump.

MR. BAUMAN: This would have to be the case of giving the operator an option because they're, therefore, limited to 40 cycles. That's going to be controlled and that will have to be identified somewhere as operating procedure.

MR. GIBSON: I think what Jerry alluded to and what Jim may be coming up on is that when you get down to the point where you have to

1 utilize that 325, if you don't have conditions in your
2 primary system such as some kind of a major leak or
3 something else, in other words your conditions are
4 acceptable from a safety standpoint, then it's prudent
5 not to exercise the emergency switchover. I agree with
6 you. I can see where the operators get down there and
7 they say, all right, the clock is cranking away. I'm
8 at thirty-two hours. What's my course of action. The
9 smart course of action isn't necessarily to meet the
10 thirty-six, is what you're saying.

11 MR. SLADE: Lou, this gets
12 back again to the need for operating specification re-
13 quirements as long as were identified the number of cycles
14 that are available that are in the operating specs. Those
15 are control basis for our operating procedures and
16 emergency procedures. We will factor that into the
17 operating procedures as limitations for the operator.
18 I would propose that -- or I would not expect that we
19 would even give the operator the option of cutting in-
20 to the decay heat removal system before 230° unless
21 we're in an emergency operating condition. The only
22 place where that limit would show up is in the emer-
23 gency operating procedures, not in the normal operating

1 procedures, and then only when the steam-driven auxil-
2 iary feedwater is not available -- or, excuse me, when
3 the motor-driven auxiliary feedwater pump is not
4 available.

5 MR. COOK: Just one practical
6 follow-up question, Ed. In terms of the original
7 thrust of that question, we're looking at really
8 verification of the system to be able to do what we
9 said it could do; in this case, be able to cut in at
10 325°. The changes have actually been made in the plant
11 design, have they not?

12 MR. HUGHES: That is correct
13 and they have been analyzed and reviewed with B & W's
14 and Bechtel's equipment and found to be on acceptable
15 limits. They are code equipment and they have speci-
16 fied limits.

17 MR. COOK: Okay. I think the
18 thrust of the comments of the board are, you know,
19 appropriate in terms of not doing anything you don't
20 have to do that might be additional wear and tear on
21 the plant.

22 MR. TAYLOR: I have some
23 additional questions on emergency boration system.

1 As I understood the way the conversation went earlier,
2 there were some specs prepared for the emergency bora-
3 tion system and these specs were turned over to Bechtel
4 and they designed the system and that loop is being
5 closed or will be closed to see that the requirements
6 that were set have been implemented.

7 Now, the third part of that question
8 is, for those parts of the system which were physically
9 unaffected, has there been a review for compatibility
10 with the new functional requirements; for example, all
11 the things that are now going to see six weight percent
12 boron, have they been looked at to see whether or not
13 they are really compatible with that higher concentra-
14 tion, like the makeup pumps or whatever? Was that a
15 clear question?

16 MR. HUGHES: I believe you
17 just asked, have we reviewed, where we've changed the
18 system, that the existing equipment we're utilizing
19 is compatible with the new requirements. I believe
20 the answer to that question is an unqualified yes.

21 MR. PRATT: Yes.

22 MR. TAYLOR: Is that review
23 documented anywhere?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. PRATT: Not that I'm aware of.

MR. HUGHES: Rather I believe what you'll find is in the equipment specifications, the requirements on the system and where a new imposition does not take you out of that boundary of the requirements, no further documentation is provided. Should you require additional qualification information from your vendor or from the materials that we have supplied, then that would show up in the records. There is no formalized review procedure of this particular aspect except as it's in the design descriptions and the licensing documents.

MR. BAUMAN: Jim, I know in your case we actually funded an effort where you went back to your heat exchange suppliers and had them analyzed for this type of condition and that will obviously be documented.

MR. TAYLOR: You'll have to -- I'm not involved with that detail.

MR. BAUMAN: I know in the case of your equipment it is documented.

MR. TAYLOR: So to get at

1 what you just said, and perhaps to reflect what Ed just
2 said, somewhere or another there's a piece of corres-
3 pondence that says the high pressure injection pump
4 has been evaluated for compatibility with six weight
5 percent boric acid and it's okay?

6 MR. HUGHES: No, that's not
7 what I said.

8 MR. COOK: No, that's not
9 what I heard either, that he's revised these design
10 documents to make sure that those at the higher con-
11 centration, that it might say due to the EBS is now
12 included in the design documents.

13 MR. HUGHES: Where affected.

14 MR. COOK: And you'd have to
15 go back and audit the design documents to verify that
16 it was done right.

17 MR. HUGHES: It's a reverse
18 procedure. The design documents that specify the
19 requirements for the system when a change is made are
20 reviewed and if the equipment specification and equip-
21 ment supplied are compatible, no further change is
22 necessary. There is not a piece of paper saying a
23 review was conducted for this purpose and found to be

24

1 acceptable. Rather the documentation for the equipment
2 specifies its conditions and if you look at the new
3 conditions, you find them within the envelope.

4 MR. TAYLOR: Well, then, to
5 put that in different terms, someone would have gone
6 back and said, six weight percent is within the
7 envelope of these portions of the system which are
8 already designed and so, therefore, we don't have to
9 look any further?

10 MR. HUGHES: That's correct.

11 MR. COOK: Okay. One follow-
12 up, if you found cases where it did not fall in the
13 envelope, then the design document would have to be
14 upgraded to include the new more limiting condition
15 and you would do something to either, you know, verify
16 that you could meet the new condition or make a modifica-
17 tion?

18 MR. HUGHES: That is correct.
19 You'd either be back to the vendor for certification as
20 to additional capability or you would be into replace-
21 ment of equipment and/or components.

22 MR. COOK: Jim, my sense of
23 what I heard was that the only way you could really

24

1 verify your question or to successfully answer it would
2 be to audit the design documents.

3 MR. VANHOFF: If I might
4 interject, I think at one time we were looking at seven
5 percent boric acid for the addition system a long time
6 ago.

7 MR. HUGHES: That's correct.

8 MR. PRATT: Yes, the history.

9 MR. VANHOFF: So I would
10 assume that the documentation for the pumps would have
11 included six and a half percent.

12 MR. SULLIVAN: And as I
13 mentioned before, I think we went to the lower concen-
14 tration to avoid the heat tracing problem we had had at
15 Palisades and the operator inconvenience of trying to
16 maintain large piping runs and tanks with elevated
17 boron concentrations.

18 MR. COOK: But from quality
19 assurance aspects of Mr. Taylor's question, the claim
20 is that the design documents specify the requirements
21 of the equipment. We'll have to see and it's really,
22 you know, an auditing review function that would either
23 prove or disprove that.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. TAYLOR: Okay. What temperature does the six weight percent crystalize at?

MR. HUGHES: Mike Pratt?

MR. PRATT: Yes, that crystalizes at approximately 83° Fahrenheit and I have the basis for that provided in a -- that number is from a B & W specification.

MR. TAYLOR: The follow on to that is has the periodic testing that will be done on the emergency boron system been determined yet?

MR. HUGHES: Jim, what do you mean by periodic testing?

MR. TAYLOR: Well, to make sure that the lines are free periodically when you need it and so on.

MR. HUGHES: Are you talking once the plant is in operation?

MR. TAYLOR: Right, correct.

MR. HUGHES: I believe that that has not been determined yet. I'm speaking for the operations department in part and I guess I really have to go back to Mr. Slade, but as far as I know, that has not been determined yet. Periodic maintenance

1 and tests on the emergency boration system has not yet
2 been established by the Consumers Operating Department.

3 MR. SLADE: We don't have the
4 system designed yet.

5 MR. GIBSON: I recognize we're
6 seemingly hung up on EBS, and I guess I'll add to it.
7 The design considerations when you need that EBS after
8 two or twenty-four hours, you want it into the primary,
9 am I correct? Do you shut off the recirc to make sure
10 it gets there or do you put a lot of it back into the
11 makeup tank?

12 MR. PRATT: You secure the
13 recirc panel.

14 MR. GIBSON: Okay.

15 MR. PRATT: The reference for
16 the 83° temperature is B & W standard guide, specifica-
17 tion number 2016, boric acid for nuclear plant applica-
18 tion, figure 1, which is a solubility curve of boric
19 acid.

20 MR. GIBSON: I would ask you
21 how you secured the recirc, but I know the answer and
22 that will be, developed in the operating procedures
23 so --

1 MR. TAYLOR: Well, at the
2 risk of sticking on emergency boration systems for
3 awhile longer, I realize what you said, Jerry, was true,
4 that the periodic testing has not been set because the
5 system has not been designed completely yet, but these
6 are not unrelated. It could be that there are some
7 recirculation lines required for periodic testing which
8 would have to be included in the design, and so I would
9 just ask that the need for periodic testing be given
10 some consideration or suggest the need for periodic
11 testing be given some consideration before the design
12 is absolutely finalized. If there are some special
13 recirc lines to make sure that the boron has not
14 crystalized in some low temperature spots or something
15 like that where you're going to run a test once a month
16 or whatever, that that be a factor in the design, the
17 final design review.

18 MR. COOK: Let's ask the
19 question a little bit differently. Can we have the
20 design team tell us what the operating conditions or
21 characteristics, considerations that have been put
22 into the design?

23 MR. HUGHES: Mike, why don't

1 you go into the considerations in the design of the
2 EBS as far as prevention of crystallization.

3 MR. PRATT: Okay. I don't
4 believe I have an overhead on that. There is one
5 approximately twenty-three hundred gallon EBS tank
6 per unit. There is a single approximately 15 gpm
7 recirculating pump to recirculate the contents of the
8 EBS tank during normal plant operation, mix it. The
9 tank contents are heated by way of immersion heaters.
10 They are non-IE immersion heaters which maintain the
11 contents of the tank at approximately 160°, well above
12 the crystallization temperature.

13 There are capabilities for addition
14 of concentrated boric acid and for addition of de-
15 mineralized water and there are also capabilities for
16 periodic sampling so the operator would, by tapping
17 into the recirculation loop, draw off a sample, take
18 that to a lab for analysis of boric acid concentration
19 or for whatever as determined by the operating pro-
20 cedures, but those capabilities do exist in the design.
21 I think that pretty much describes the design of the
22 emergency boration system as far as its normal standby
23 mode when it's not being injected.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. TAYLOR: So it is normally
in circulation, then?

MR. PRATT: That's right and
that's done to keep it mixed, uniform temperature,
uniform concentration.

MR. HUGHES: Mike, in the
course of our design evolution of the EBS, has this
system been discussed with both B & W and Consumers
Operating Department?

MR. PRATT: Well, we issued a
system summary description for the emergency boration
system and that was provided to B & W for comment and
to Consumers Power for comment. We have received those
comments, finalized the system summary description,
finalized the design.

MR. HUGHES: Did we have a
meeting with Consumers operating at the job site?

MR. PRATT: Not specifically
on emergency boration.

MR. HUGHES: In several of
the design changes, we have had meetings at the Midland
job site with both Bechtel construction as far as
effects on schedule and with Consumers operating

1 people so that they're aware of and can plan for future
2 changes, and I presume that we will probably do this
3 for the EBS and other changes, an ongoing program.

4 MR. COOK: Do we have further
5 questions on the presentation we've heard so far? John?

6 MR. GARRICK: I wanted to
7 comment a little bit about some of the systems; in
8 particular, in reference to the earthquake and since
9 we're talking about evaluating cold shutdown in terms
10 of the ability to do it in the presence of the safe
11 shutdown earthquake and the loss of offsite power, the
12 question of the ability of the equipment to all run
13 effectively under these conditions is kind of important.
14 I wanted to hear a little bit of discussion on some of
15 the specific key systems and I guess, in particular,
16 will the borated water storage tank in the service
17 water piping survive the safe shutdown earthquake?

18 Also, the layout of the plant is such
19 that the borated water storage tank is located in the
20 back of the plant buildings and the service water
21 structure is a considerable distance from the aux.
22 building and so the issue of the interconnected timing
23 becomes kind of important and maybe rather than ask a

1 question of will it survive, maybe somebody can talk a
2 little bit to what the earthquake levels are or that
3 these have been designed to in terms of something like
4 equivalent peak background acceleration.

5 MR. HUGHES: Well, essentially
6 the design basis of the Midland plant is a .12g
7 horizontal ground deceleration and the seismic category
8 one structures, equipment components have all been
9 analyzed to withstand the decelerations associated with
10 a .12g earthquake and the stress levels have been
11 acceptable under the industry standards.

12 MR. COOK: To follow John --
13 a little bit more completion than that in terms of the
14 damping values and the actual specter that's developed
15 and so forth, you have to get a full feel for it. You
16 have to go through all of that.

17 MR. GARRICK: Well, also,
18 it's my understanding that the chemical addition
19 system is not seismically qualified.

20 MR. HUGHES: That is correct.

21 MR. GARRICK: And if you try
22 to track down the water sources, then I guess the
23 question is, even though it's not seismically qualified,

1 because it enters into the water supply question, do we
2 know what its relationship -- do we know what its
3 resistance is, for example?

4 MR. HUGHES: No, we don't do
5 a -- what I call a back calculation in terms of what it
6 will withstand. The chemical addition system is not
7 required for any safety response to an earthquake con-
8 dition.

9 MR. GARRICK: I guess if the
10 borated water storage tank line fails, for example,
11 that there's a good chance that the high pressure and
12 the low pressure pumps will fail due to loss of suc-
13 tion, is that right?

14 MR. HUGHES: I believe that's
15 correct.

16 MR. GARRICK: In that regard,
17 have you considered some type of low suction pressure
18 protection, particularly for the HPI and the DHR pumps?

19 MR. HUGHES: The design basis
20 for the Midland plant does not include the passive
21 failure of a seismic Class 1 line as part of the plant
22 design basis.

23 MR. GARRICK: Okay. Well,

1 one of the reasons for the question is I know the design
2 basis is not, but coming from the point of view of a
3 risk analyst, we have to address the question of what
4 the ability of these structures are and so part of the
5 question here is really what is the threat to these
6 key components and interconnecting piping with respect
7 to achieving cold shutdown during an emergency con-
8 dition, not concerned about a normal condition. In
9 that connection, speaking of being a risk analyst,
10 I'm --

11 MR. GIBSON: Could I inter-
12 ject for a second?

13 MR. GARRICK: Yes.

14 MR. GIBSON: I heard some-
15 thing that didn't seem correct. You said that if we
16 lost the BWST, we would lose the HP and LP pumps or
17 their capability.

18 MR. GARRICK: Well, in the
19 absence of -- yes, I think so. We would lose the
20 capability.

21 MR. GIBSON: Okay. At first
22 I thought you were saying they'd destroy themselves
23 and I'm thinking, well, that assumes that they're

1 running off the BWST, which is not a hundred percent
2 assumption.

3 MR. GARRICK: In that specific
4 part of the question of whether or not there is any
5 low pressure protection.

6 MR. GIBSON: But they, in
7 fact, you would need to lose that tank and have a ECCS
8 signal in order for that loss to occur.

9 MR. GARRICK: Well, you'd
10 probably get an ECCS signal if you had a seismic event.
11 You'd probably get that safeguard actuation.

12 MR. GIBSON: That's possible,
13 possible.

14 MR. GARRICK: Possible. Well,
15 it depends on the earthquake.

16 MR. GIBSON: We don't have a
17 seismic switch. Thank you. Go on, now.

18 MR. GARRICK: I'm just trying
19 to develop a feel for the extent of the analysis and
20 what the levels of these different systems are. In
21 evaluating the real threat to the systems, that kind of
22 information becomes important, but what I was going to
23 comment on is that the truth is I'm having trouble

1 getting over the first hurdle and the first hurdle is
2 what has cold shutdown under prescribed conditions got
3 to do with risk? I'm not convinced that it has much to
4 do with risk and I realize that's not what we're
5 addressing here. What we're addressing is the adequacy
6 of the design to achieve cold shutdown, and I was
7 encouraged by Jerry's comment. I think the context was
8 more of its capability than that halt achieve within
9 a period of time and under certain load conditions such
10 as a safe shutdown earthquake, because those kind of
11 conditions are extremely arbitrary and, as a matter of
12 fact, in a scenario sense and the frequency of occur-
13 rence of scenarios, it may turn out that they don't
14 add safety but could even conceivably add risk. We
15 have to be prepared for that kind of an evaluation as
16 well.

17 When you talk about safety grade
18 systems, again, that's kind of an arbitrary thing,
19 especially from a risk standpoint because experience
20 is telling us that as far as risk is concerned, there
21 seems to be very little difference between seismic
22 category one components and non-seismic category one.
23 In other words, those differences do not seem to be

1 visible in the fragility curves and so the truth is,
2 when you're faced with wanting to cool down, you ought
3 to have everything at your disposal, available
4 to you to achieve that and to create the state of mind
5 that says that you've got to get there by way of
6 safety grade equipment may not only not be the best way
7 to get there but could create an unsafe condition.

8 MR. MAZETIS: Just one piece
9 of actually what you're talking about, John, it's my
10 understanding that in the RHR suction, there is a valve
11 outside containment that's motor-operated. My question
12 is, during normal shutdown cooling, is the power to that
13 valve removed, and if not, the question is, is there a
14 low flow alarm in the RHR system lines to alert the
15 operator to a condition where the valve was inadvertent-
16 ly closed?

17 MR. HUGHES: Gerry, you're
18 talking about a valve outside containment?

19 MR. MAZETIS: Right, in the
20 RHR suction, a common header with a single motor-
21 operated valve.

22 MR. PRATT: The valve is
23 locked open. The operator will not be in place, okay,

1 so functionally, I'd call it a vestigial organ much
2 like an appendix. It's there because, from the stress
3 point of view, it was easier to leave the valve in
4 place than to take it out, but the valve is locked open.
5 And let me clarify, if the operator has not been re-
6 moved or will not be removed, the power supply will be
7 removed and that description of the design is shown on
8 the P&ID. I believe there's a note on the --

9 MR. TAYLOR: Yes. The FSAR
10 drawing has a note for that system which says the motor
11 operator on this valve is not connected to any control
12 or power supply or power circuit.

13 MR. HUGHES: The original
14 design had a motor-operated valve and the considerations
15 of enhancement, rather than cut out the valve already
16 installed, it was merely disabled.

17 MR. MAZETIS: Okay, and you
18 don't have low flow alarms in the RHR system?

19 MR. HUGHES: Mike, can you
20 answer that?

21 MR. GERDING: Yes, we do have
22 low flow alarms in our system. In fact, there is a low
23 flow interlock to the DHR pump which will trip it in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

the event of a low flow. This equipment is there for normal operation. It's not a safety grade function.

During the emergency core cooling actuation, these systems are bypassed in the circuitry.

MR. GARRICK: I have just one more earthquake kind of question because I was trying to work up a couple of scenarios. It's possible that an earthquake will result in an extended loss of off-site power. Can you tell me if the following items are powered from the diesel generator buses; for example, the instrument or control air compressors? No?

The diesel generator fuel oil transfer pumps?

MR. BALLWEG: Yes.

MR. HUGHES: Yes.

MR. GARRICK: Yes? The auxiliary feedwater, feed only one good generator logic.

MR. BALLWEG: It's off the DC. 1E, DC preferred, AC preferred power system, yes.

MR. GARRICK: Yes.

MR. BALLWEG: Battery pack and DC.

MR. GARRICK: The instrumentation and control power providing pressure

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

interlocks on DHR cooldown isolation valves?

MR. BALLWEG: Yes, it's all
LE.

MR. GARRICK: DHR heat ex-
changer cooldown bypass valves?

MR. GERDING: Let me --

MR. HUGHES: John, can you
wait a minute and let's take a check on that one.

MR. GERDING: Yes, let me
check that one and I'll get back to you.

MR. GIBSON: Could I ask a
question? Are you through with the list? I just want
to elaborate on one. If you lose the instrument air
compressor, is there a figure of merit or whatever for
how long you'll have the instrument air?

MR. BALLWEG: Nothing that
will be defensible.

MR. HUGHES: We don't, Lou,
I believe it's true that we take no credit for the
operation.

MR. BALLWEG: That's right.
We take no credit for it.

MR. HUGHES: For the

1 instrument air system for safety requirements.

2 MR. GIBSON: So it's not
3 really used for any of the things that we talked about?

4 MR. COOK: I think that gets
5 back to John's point about -- how about in terms of
6 what your real expectations are for that supply?

7 MR. HUGHES: Jim, we're
8 really demonstrating a capability against a require-
9 ment using 1E so that while there are a great number
10 of other features, the plant that we would hope and
11 expect to be available in the process of demonstrating
12 the capability, we take no credit for them. The
13 negative is not true, that, therefore, they are useless
14 and not available.

15 MR. BALLWEG: We have the
16 answer to that DHR bypass valve. They do, in fact,
17 get diesel power.

18 MR. GARRICK: They get it
19 from the diesel buses?

20 MR. BALLWEG: Yes.

21 MR. TAYLOR: And the two are
22 separate; I mean, one for each cooler? There's no
23 way that they are common?

24 -144-

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. BALLWEG: That's correct.

MR. SLADE: Are we ready to
move on?

MR. COOK: Okay. John, do you
want to follow?

MR. GARRICK: No, I'm fine.

MR. COOK: Okay.

MR. SLADE: I have a question
that's unrelated to what we've discussed so far, I
think, but in reading the text in preparation for the
meeting today, in the written presentation on page 9,
there was some discussion that the PORV will in fact
prevent a reactor trip from occurring. I thought that
I had understood previously that we had changed the
logic on those so that we would, in fact, get a re-
actor trip before the PORV's came open and that in
addition -- no? I see a lot of heads nodding.

Could we review the current design
state of what the order, the sequence is of power-
operated relief valves, RPS trip and pressurizer
safeties?

MR. HUGHES: Jim, is this
appropriate for you to answer?

1 MR. AGAR: Well, let's take
2 them one at a time. Would you ask your question one
3 more time so we can make sure we got it?

4 MR. SLADE: Okay. I would
5 like to know what the sequence of operation is for the
6 power-operated relief valve, the set point, the set
7 point for the reactor protection system trip and the
8 set point for the safety valves on the reactor coolant
9 system. What is the sequence of operation?

10 MR. AGAR: Bob, can you
11 answer that, Bob Schomaker from B & W?

12 MR. SCHOMAKER: Yes. The
13 normal operating pressure for Midland plant is twenty-
14 two hundred pounds. If one was going through a rise in
15 pressure, one would first see a PORV open around
16 twenty-two sixty, which was shown in one of the previous
17 slides. The RPS trip set point is currently twenty-
18 three fifty-five psig.

19 MR. SLADE: I'm sorry?

20 MR. SCHOMAKER: Twenty-three
21 fifty-five psig and the pressurizer safety valves are
22 set at twenty-five hundred psig and they would open in
23 that order. These are typical pre-TMI type set points.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SULLIVAN: Well, they're also post-TMI set points.

MR. SCHOMAKER: For Midland, that's correct.

MR. SULLIVAN: And for the other, a similar thing for the other -- the 205, the other backlog B & W plant.

MR. SCHOMAKER: The 205 plants have a higher high pressure trip set point than twenty-two fifty.

MR. SULLIVAN: Similar sequence?

MR. SCHOMAKER: Similar sequence, that's correct.

MR. COOK: Jerry, do you have further pursuit of that issue?

MR. SLADE: No, that resolves my questions.

This may not be appropriate at this meeting -- if it's not, redirect it for tomorrow, I guess.

MR. COOK: Okay.

MR. SLADE: Again, on page 11,

1 they discussed the auxiliary feedwater suction switch-
2 over and in some of the review materials, there was
3 reference to a four second time delay on the switch-
4 over of that service water supply after the AFWAS and
5 low pressure, low suction pressure signal was available.
6 I'd like to know what the basis for the four seconds
7 is, whether it's pump protection or whether the four
8 seconds is based on the need for the cooling water to
9 the steam generators.

10 MR. HUGHES: Tom?

11 MR. BALLWEG: Four seconds
12 is based on two considerations. The fundamental
13 consideration is to minimize the possibility of in-
14 advertent actuation of service water that you might
15 have during a pump start. You'll have a decrease in
16 suction pressure any time the pump starts.

17 MR. SLADE: My concern is
18 why not four hours instead of four seconds? Why not
19 less than four seconds?

20 MR. BALLWEG: The second is
21 the forty second requirement that B & W has imposed
22 for establishment of aux. feedwater flow to the steam
23 generators after initiation of the demand signal.

1 MR. SLADE: Forty second?
2 MR. BALLWEG: Forty seconds.
3 MR. SLADE: Again I'll ask
4 my question. Why do we have a four second time delay
5 instead of a forty second time delay?
6 MR. BALLWEG: Because it
7 takes time, the auxiliary feedwater pump is sequenced
8 onto the diesel generator. The combination of its
9 sequencing and twenty-five seconds plus ten seconds
10 for the diesel generator to start leaves you at thirty-
11 five seconds. I would like to beat forty. That leaves
12 me five seconds, so I took four.
13 MR. SLADE: Okay. So it has
14 to do with the start sequence logic?
15 MR. BALLWEG: That's correct.
16 MR. SLADE: And it is based
17 on flow to the steam generator, not on pump protection?
18 MR. BALLWEG: That's correct.
19 MR. SLADE: Thank you.
20 MR. COOK: And I think we've
21 finished our preliminary questions now.
22 MR. TAYLOR: I have a couple
23 more.

1 MR. COOK: Whoops, sorry.

2 MR. TAYLOR: I'd like to shift
3 over to auxiliary spray again, shift back to it. In
4 the write-ups that we had, there was something about
5 the number of cycles that the auxiliary spray system
6 could be actuated and I heard, I think, Mike say that
7 this system is designed for forty cycles.

8 MR. PRATT: I believe I was
9 talking about the emergency --

10 MR. HUGHES: No, Mike was
11 talking about the decay heat removal system analysis
12 for 325 based on one cycle per year.

13 MR. TAYLOR: Where do we
14 stand on the spray nozzle coming into the top of the
15 pressurizer and the rest of that in terms of number of
16 cycles?

17 MR. PRATT: Well, I believe
18 B & W can best address that. My understanding is that
19 the analysis is ongoing.

20 MR. HUGHES: It's in progress
21 at this time and I guess I'm going to ask Jim Agar to
22 comment upon it. We have not received results yet.

23 MR. AGAR: The answer is as

24 -150-

1 given; the calculations are being done right now, Jim,
2 in-house.

3 MR. TAYLOR: I'm a little bit
4 concerned about that line, that when we tie into that
5 big line which normally comes up from the reactor
6 coolant pumps and the flow coming from the auxiliary
7 spray line is going to be very low. The curve, I
8 think, one curve said five or ten gpm, something like
9 that. I'd like to know, has the evaluation included
10 or does it have plans to look at the effects of that
11 very, very low velocity coming through that big line
12 and whether or not, just in the course of normal
13 operation, that spray line could be partially full
14 such that if you have five gpm or so coming in and
15 running into the pressurizer spray line, could the
16 nozzle and the piping have a very potentially adverse
17 circumferential temperature variant such that the
18 bottom half of the line might be at 50° or a 100°,
19 whatever, and the top be subjected to steam from the
20 pressurizer?

21 If that hasn't been looked at, I
22 would like to suggest that it be looked at and as a
23 part of that, also, to find out whether or not the

1 effectiveness of the spray, itself, where that line is
2 normally designed for, I don't know, fifty or a
3 hundred gpm, to have five or ten gpm coming into it,
4 whether that will really effectively promote heat
5 transfer in the pressurizer between the subcooled
6 water and the steam space so that you get an effective
7 depressurization. So the first question is, does the
8 analysis that is ongoing for the number of cycles on
9 both the piping that Bechtel is doing and the surge
10 line or the spray line nozzle in the pressurizer that
11 B & W is doing look at the possibility of a partially
12 filled line; and the second one is, is the effective-
13 ness of the spray water, that big nozzle, what con-
14 fidence can we have that you will really have complete
15 heat transfer between the subcooled water and the
16 steam space?

17 MR. AGAR: Well, I'll address
18 the -- since I was talking about the B & W calculations,
19 Jim. The only thing that we're going to address is
20 the nozzle in the pressurizer, itself. To my knowledge,
21 we're not considering partial flow through that nozzle.
22 Is that right, Bob Griese? Do you concur with that?

23 The results of our calculations

24 -152-

1 using the auxiliary spray system is confined in the
2 1092 spec and I don't believe there is any restriction
3 in there or any consideration being given to partial
4 flow through the nozzle. I won't address the Bechtel
5 part of the lines, where the lines connect. That's a
6 Bechtel consideration.

7 MR. TAYLOR: Well, I'd like
8 to know why not because it seems like it's a real
9 possibility, particularly if the line is perfectly
10 level coming into the top of the pressurizer and then
11 coming down. It seems like the possibility exists
12 that the line could be partially filled with a very
13 small flow to a fairly large line.

14 MR. AGAR: Well, let me try
15 something, Jim, before -- Bob Griese, could you address
16 that question now to get it on the record or should we
17 wait until later to address that?

18 MR. GRIESE: It would be
19 better if we addressed that later when we have at least
20 some drawings to demonstrate the configuration inside
21 the pressurizer. The nozzle is not just a simple
22 elbow coming into the nozzle pressurizer, but I didn't
23 bring any drawings with me.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. AGAR: We cannot address that now, then. We'll have to take that as an open item, I guess.

MR. SULLIVAN: Well, I'm relating that back to your first question which was the first action item on this same subject.

MR. TAYLOR: It's an extension, really, of that. One of the problems that could come from that is that if the calculations assume that the spraywater is completely mixed in the pressurizer and it's not, then you could have to inject more water than you had counted on and thereby use up more of the available volume than you really counted on.

If you don't have the letdown flow, you might not accomplish the desired depressurization using the portion of the volume you had available.

MR. HUGHES: Tom Ballweg?

MR. BALLWEG: Can I ask a question to that or -- if you've got steam over water, you are going to have energy transport across that interface and so the water temperature will be virtually instantaneously the same temperature as the steam above it, will it not?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. TAYLOR: I don't know.

MR. BALLWEG: Well, in general, it is.

MR. TAYLOR: If it's spray, certainly, yes.

MR. BALLWEG: Well, even if you're talking about a pipe with a half of an inch of water in it and two inches of steam or even vice-versa or maybe half-and-half, the energy transport across that face, steam condensing onto the water is a very, very rapid phenomenon and your question about requiring or concern about requiring more water to depressurize recognizing the very high rates and very high heat transfer rates across the steam water interface, direct contact heating, I don't really understand the basis for that concern.

MR. TAYLOR: I'm concerned about two aspects of it. If you just had a cylinder and the bottom half of the cylinder was filled with cold water and there was steam above it, the stresses would be very high on the top and there could be a lot of stress built in to make it look like a hotdog. How far back the piping you might have to go before you

1 say I've completely raised the water up to saturation
2 temperature, I don't know. It's a question, really,
3 and then if you -- however far back you have to go,
4 that ought to be considered in the design of the piping
5 to see if it will meet the number of cycles that the
6 system is designed for, and the other part is whether
7 or not there is good heat transfer between the steam
8 and the water, but whether it's good enough is the
9 question. It certainly is excellent as you break it
10 up into smaller and smaller drops.

11 MR. BALLWEG: Yes, I agree
12 with, the first part of your concern I take no issue
13 with. The second part --

14 MR. COOK: Okay. I think
15 we're going to have to go ahead to try to proceed.
16 Jim, do you have more questions you want to get on
17 the floor?

18 MR. TAYLOR: Is there a
19 flow meter in that line such that you can tell what
20 the auxiliary spray flow is or are you just relying
21 on pressure reduction?

22 MR. PRATT: Okay. There is
23 no flow instrumentation in that line, no. was it

1 considered to be a design requirement. The operator
2 will monitor the cooling, the depressurization rate
3 and then adjust the throttling valves to control that
4 depressurization rate, essentially by using a direct
5 variable rather than an indirect variable.

6 MR. SLADE: You say adjust
7 the valve. Is that an adjustment in the control
8 center?

9 MR. PRATT: Yes, yes, remote
10 manual throttling of a motor-operated globe valve.

11 MR. HUGHES: And again your
12 assumption here is depressurization.

13 MR. SLADE: Pressure control.

14 MR. HUGHES: So that you
15 would be reading pressure.

16 MR. LOOS: I've got about
17 three questions. One, as I read the B & W cold shut-
18 down documents, there is a concern about the core flood
19 tank and the ability to isolate that in a safety grade
20 manner. With the current arrangement of the single
21 valve, how are we going to establish we don't get
22 dilution by core flood, and then the next question --

23 MR. HUGHES: Shall we answer

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

that first?

MR. LOOS: Yes, why don't we answer them one at a time.

MR. PRATT: Yes, we've considered the potential for a single failure of the core flood tank isolation valves, specifically the event that you could not get it closed and, therefore, when you depressurized to 600 pounds, you'd have an insurge of core flood tank contents, which B & W had told us would not be acceptable in a cold shutdown scenario. Therefore, we have added the design capability to vent the core flood tank nitrogen gas in the event of that single failure.

MR. LOOS: Okay. With respect to the scenario where using the boric acid addition tanks as a means of making contraction volume, you have the three tanks, is there going to be a low level requirement on those tanks that will eventually end up in a technical specification or something like that?

MR. HUGHES: We can speak to the design.

MR. PRATT: Yes. There will be a need for a tech spec to maintain approximately

1 sixteen thousand gallons per unit. There are three
2 boric acid addition tanks of ten thousand gallon
3 capacity each per unit. There will be a need to main-
4 tain slightly over sixteen thousand gallons per unit,
5 so just less than two of the three tanks will have to
6 be available.

7 MR. LOOS: Okay, and the other
8 one is that with respect to your makeup tank, that has
9 got a nitrogen or a hydrogen overpressure on it and
10 if you lose the capability to provide the nitrogen or
11 hydrogen, is that going to affect any of your pumping
12 capability?

13 MR. PRATT: We're going back
14 and looking at the NPSH calculations for the makeup
15 pump to verify that we will have adequate NPSH in the
16 event that you are drawing from the makeup tank and
17 you've lost the nitrogen or hydrogen overpressure, and
18 I can't comment yet on the results.

19 MR. HUGHES: The results of
20 that --

21 MR. PRATT: I believe we will
22 have adequate margin but that hasn't been documented
23 yet.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
22
23
24

MR. COOK: Mr. Jensen?

MR. JENSEN: Yes. In adding the manual vent lines from the flood tanks, have you looked at the possibility of inadvertent opening of the vent during the LOCA?

MR. PRATT: Not specifically. I guess the scenario you might consider is a jet impingement on the vent line or something like that?

MR. JENSEN: Well, the operator just opens it, makes a mistake and opens the valve.

MR. PRATT: Okay, during the LOCA or --?

MR. JENSEN: During the LOCA.

MR. PRATT: Well --

MR. COOK: Loss of original primary safety function due to the new add-on.

MR. PRATT: Any isolation, any venting path that we provide will have two valves.

MR. JENSEN: So couldn't he open up both valves at once if he wanted to vent it, if he opened both the valves?

MR. PRATT: Not through a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

single control.

MR. HUGHES: Mike, are you saying that the vent path will have two valves and that each one will be individually controlled?

MR. PRATT: Yes.

MR. HUGHES: Okay, and we don't design for multiple operator errors.

MR. PRATT: The operator cannot just throw one switch and open both valves. He would have to deliberately this one and this one.

MR. SLADE: Just a point of clarification there. You're not concerned with having that tank vented normally until you're at a much lower pressure. You're not going to be inserting those tanks into the system until you're down to, what is it, about 600 pounds?

MR. PRATT: Six hundred pounds, right.

MR. SLADE: So that you have a lot of time under normal circumstances before you ever get to that 600 pounds and the operator does it, so it's not the kind of thing that the operator is going to immediately respond or have to make a quick

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

action to turn those valves?

MR. PRATT: Right.

MR. SLADE: I guess I'd like to pursue that line of logic a little bit farther and ask whether those switches are key-operated switches or whether they're just normal manual switches. Is it something that the operator has readily available to him or is it something that has an administrative control associated with it?

MR. HUGHES: I'll have to ask Mike Gerding for that and I don't know whether the design has progressed to the point of the exact type of switch, have we?

MR. GERDING: The design has not been finalized. The choice of the switch has not been made. The consideration for administrative control, we have to go into that process of determination of the switch. That's about all I can say about it.

MR. JENSEN: I think it would be important to have some positive indication to the operator whether or not the flood tank, the flood tank was isolated by the single valve that does exist before he would take this additional step to vent the flood tank.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. HUGHES: Walter, are you suggesting that we have a position indication on the valve, is that the --

MR. JENSEN: I would think it would be -- well, I was wondering, instead of having the operator as he goes down this, brings the plant down --

MR. HUGHES: Down to 600 pounds.

MR. JENSEN: In this scenario of depressurizing the system, would he routinely vent the flood tank or would he do it only if he had some indication that the isolation valve that was in place was not closed?

MR. HUGHES: It is certainly the designer's expectation that he would only vent the tank where he had indication that the valve was other than in its expected position.

MR. JENSEN: So, then, there would be some indication, then, on this flood tank?

MR. HUGHES: Now, the specifics, Mike, do they have a position indication?

MR. GERDING: Right. The

1 core flood tank outlet valves have indication provided
2 both from geared limit switches on the motor-operated
3 and stem model limit switches, both inside the control
4 room.

5 MR. SLADE: Also there's
6 indirect indication in that for a slow leak you would
7 see a reduction in the core flood tank level which
8 would cause another alarm to alert the operator to the
9 fact that he had a problem, correct?

10 MR. PRATT: For a slow liquid
11 leak.

12 MR. SLADE: Yes, as the level
13 of the tank went down, there's also another alarm to
14 the operator that identifies to him that he has a
15 problem.

16 MR. PRATT: Or low pressure.

17 MR. GIBSON: I think the
18 practice scenario, it is a cooldown scenario that we're
19 concerned about where that valve fails to close when
20 you ask it to. It's one where you are deliberately
21 causing the pressure to come down in the plant and
22 those core flood tanks will start to bleed in. They
23 won't blast in because your pressure differential is

1 starting at zero and increasing, so I would envision,
2 like Jerry says, if you started to see a lack of posi-
3 tion by two sources, a level decrease followed by a low
4 level alarm, you would have indication that your tank
5 was starting into the system and that's when you'd
6 start into this venting, I would think. I haven't done
7 it.

8 MR. SLADE: Normally during
9 a shutdown sequence, again we're talking several hours
10 into the sequence, normally during the shutdown sequence,
11 by that time the operator -- the control center has
12 quieted down from all of the alarms that flash on
13 immediately. He's pretty well resolved what his status
14 is at that time.

15 MR. HUGHES: Jim, based on
16 time, I'd like to suggest, in a couple of minutes, that
17 we do break for lunch. Are there some more questions
18 we might --

19 MR. COOK: I had hoped that
20 we, you know, could resolve the questions on this area
21 because we need to get onto the other presentations.
22 I would like to ask the board if there are any burning
23 questions they would like to get in as one last shot?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. SLADE: I have one burning question and last shot.

MR. COOK: Burning?

MR. SLADE: That arose as a result of another question and that is that if we are required to have sixteen thousand gallons per unit available, that was -- what did you say -- one, two tanks?

MR. PRATT: Just less than two tanks.

MR. SLADE: Oh, it's less than two tanks?

MR. PRATT: Right, of the three.

MR. SLADE: All right. My burning concern just went away.

MR. COOK: All right. How much do we allow for lunch here, and I think we better be brisk about it.

MR. HUGHES: I'd really like to get back here at 1:00 if we break right now, because we have a lot more to cover and would like to plan on, if there is no further questions on this section, we

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

start on --

MR. COOK: Start right in.

MR. HUGHES: Fine.

MR. COOK: One o'clock?

Thank you, gentlemen.

- - -

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

CERTIFICATE OF NOTARY PUBLIC

I, Susan A. Simpson, of the firm of HURON REPORTING SERVICE, a Notary Public within and for the County of Wayne, State of Michigan, do hereby certify that I reported stenographically the foregoing proceedings consisting of (167) typewritten pages and is a full and correct transcript of my stenographic notes so taken.

DATED: May 8, 1981

Susan A. Simpson
Susan A. Simpson
Certified Shorthand Reporter