

UNITED STATES

NUCLEAR REGULATORY COMMISSION

+ + + + +

MEETING

+ + + + +

THURSDAY,

FEBRUARY 9, 2023

+ + + + +

The Commission met in the Commissioners' Hearing Room,
One White Flint North, 11545 Rockville Pike, Rockville, Maryland, at 9:00 a.m.
EST, Christopher T. Hanson, Chair, presiding.

COMMISSION MEMBERS:

CHRISTOPHER T. HANSON, Chair

JEFF BARAN, Commissioner

DAVID A. WRIGHT, Commissioner

ANNIE CAPUTO, Commissioner

BRADLEY R. CROWELL, Commissioner

ALSO PRESENT:

BROOKE P. CLARK, Secretary of the Commission

MARIAN ZOBLER, General Counsel

NRC STAFF:

DANIEL H. DORMAN, Executive Director for Operations

ROBERT TAYLOR, Deputy Director for New Reactors,
Office of Nuclear Reactor Regulation

BERNIE THOMSON, Deputy Director, Division of New and
Renewed Licenses, NRR

OMID TABATABAI, Senior Project Manager, New Reactor
Licensing Branch, Division of New and Renewed
Licenses, NRR

CANDACE DE MESSIERES, Chief, Technical Branch II,
Division of Advanced Reactors and Non-Power
Production and Utilization Facilities, NRR

PROCEEDINGS

9:00 a.m.

1
2
3 CHAIR HANSON: All right. Good morning, everyone, and
4 welcome. I convene today's Commission meeting to discuss NRC's strategy to
5 license advanced reactors utilizing the established regulatory frameworks under
6 10 CFR Parts 50 and 52.

7 Advanced reactor licensing continues to be a topic of high
8 interest to our stakeholders, almost everyone, so I thank you all for being here
9 this morning to support this meeting, and I'm looking forward to a very good and
10 informative conversation. Of course, we've had some experience now with
11 these existing frameworks in Part 50 and 52, and I'm hoping we can also touch
12 on some of the things we've learned as we've come along and those processes
13 as well.

14 Before we get rolling, I'll ask my colleagues if they have any
15 comments they'd like to make?

16 Okay. Without that, we will get rolling this morning. We'll
17 hear from Caroline Ducros from the Canadian Nuclear Safety Commission.
18 Welcome Caroline, and greetings to all our colleagues up north.

19 MS. DUCROS: Thank you. Good morning, Commissioners,
20 members of the public. My name is Dr. Caroline Ducros. I am the Director
21 General of the Canadian Nuclear Safety Commission's Directorate of Advanced
22 Reactor Technologies.

23 I'm here to offer the Canadian perspective on licensing
24 advanced reactors and SMRs and how CNSC implements technology-inclusive,
25 risk-informed, performance-based regulation. I'll give an overview of the CNSC,

1 Canada's SMR Landscape, Readiness, and Collaboration with the NRC.

2 Next slide, please. The CNSC is Canada's nuclear regulator.

3 Our mandate is to protect health, safety, security, and the environment, to
4 implement Canada's international commitments on the peaceful use of nuclear
5 energy, and to share technical and regulatory information with the public.

6 As this slide illustrates, our vision to continue to be a world
7 class regulator involves four strategic priorities and outcomes, which include
8 enabling innovation, like SMRs, through continued modernization of our
9 performance-based regulatory framework, informed by experience with
10 Canada's operating CANDU fleet.

11 CNSC shares and leverages best practices in nuclear safety
12 and licensing, working with our partners like the NRC to enhance agility in our
13 respective processes.

14 Our work is guided by our values, prioritizing safety, striving
15 for excellence, acting with integrity, and building trust with indigenous nations
16 and communities and stakeholders. These values that are shared by many
17 like-minded regulators have contributed to Canada's strong working relationship
18 with NRC staff.

19 Next slide, please. I will talk a bit about Canada's SMR
20 Landscape. In the province of Ontario, we are reviewing an application for a
21 license to construct, submitted to us in October 2022 by Ontario Power
22 Generation, OPG, for the first grid-scale SMR using the GE Hitachi's BWRX-
23 300 technology.

24 Also in Ontario, Global First Power, in a joint venture between
25 OPG and Ultra Safe Nuclear Corporation, has applied for a site-preparation

1 license for a high temperature, gas-cooled, micro modular reactor. The license
2 application review and environmental assessment are underway.

3 In Saskatchewan, SaskPower is exploring nuclear for the first
4 time, working with OPG and GE Hitachi to deploy the BWRX-300 at up to two
5 sites. Saskatchewan Research Counsel is also working with Westinghouse on
6 the eVinci micro reactor.

7 And in New Brunswick, NB Power is working with two vendors
8 and looking to site these technologies next to an operating CANDU reactor at
9 Point Lepreau. ARC is developing a sodium-cooled fast-reactor, and Moltex is
10 developing a molten salt and recycling technology for used CANDU fuel.

11 There is growing interest across Canada and multiple
12 technologies, which is why CNSC is optimizing SMR readiness.

13 Next slide, please. CNSC has been preparing for nuclear for
14 over a decade. The government of Canada recently invested \$50.7 million
15 Canadian dollars over five years to the CNSC to focus on the four pillars that
16 are on this slide.

17 Capacity and capability is about our people, research, and
18 technical skills, attracting and growing top talent in nuclear safety.

19 Regulatory Predictability focuses on optimizing our framework
20 and providing further clarity to applicants as we continue to learn from first of a
21 kind projects.

22 Policy and Shared Responsibilities recognizes that, while
23 CNSC is Canada's nuclear regulator, there are other federal and provincial
24 counterparts with related responsibilities. For this reason, the CNSC leads a
25 whole-of-government approach to ensure SMR readiness across jurisdictions

1 and to build relationships.

2 In terms of international collaboration, as regulators, we can
3 optimize our readiness by sharing experiences and moving toward
4 harmonization where practical. Recognizing the independence of each
5 regulator, we work collaboratively to enhance safety and agility globally. This is
6 a culture change and challenge we will face. The MOC between the CNSC and
7 NRC provides an excellent model for us to demonstrate how this can be done
8 to the global community.

9 Next slide, please. The CNSC and NRC MOC, which was
10 signed in 2019, focuses on cross-border matters and global deployment. We
11 share research, training, and exchange staff. CNSC and NRC staff publish joint
12 products catering to a wide range of end users and may serve as guidance for
13 applicants or as the basis for acceptance by regulators worldwide.

14 In 2022, CNSC and NRC staff, with input from OPG, TVA,
15 and GEH, developed a charter for collaboration on technical and regulatory
16 aspects of the BWRX-300 reviews. There are three work plans underway:
17 safety strategy, fuel qualification, and vertical shaft advanced construction using
18 Steel Bricks.

19 Boiling water reactors are new to Canada, providing an
20 excellent opportunity to leverage topical reports and certification of previous
21 designs to complement CNSC's independent assessment.

22 Understanding each country's acceptance criteria for Safety
23 Classification, Event Categorization, and Defense in Depth is the foundation for
24 all collaboration.

25 Through our strategic plan, CNSC and NRC staff work

1 towards harmonization and demonstrate a model for collaboration that other
2 countries can adopt. Internationally, we have shared our experience and
3 lessons learned, and our work continues to generate interest.

4 Thank you.

5 CHAIR HANSON: Thank you, Dr. Ducros.

6 Next we'll hear from Mr. Marcus Nichol. He's the Senior
7 Director for New Reactors at the Nuclear Energy Institute. Mr. Nichol?

8 MR. NICHOL: Yeah. Thank you, Chair Hanson,
9 Commissioners, for the opportunity to speak to you today.

10 I'd like to convey an industry perspective of the state of
11 advanced reactors and the regulatory framework to ensure the safety and
12 security of that technology.

13 What we're seeing in the market is an increase in interest in
14 advanced reactors for near-term and long-term deployment, and that's driven
15 partly by policies to decarbonize the energy sector, but also in recognition of the
16 need for nuclear for reliability and affordability.

17 NEI completed a survey of our members last year that
18 indicated, collectively, they are interested in up to 90 gigawatts of new nuclear
19 advanced reactors by 2050. We've gone and updated that survey and, while
20 we haven't published the final results, it's increased by 10 percent. So, this
21 underlies the importance of the regulatory system in the deployment of these
22 advanced reactors.

23 The NRC, as everyone knows, has two licensing pathways
24 today, Part 50 and Part 52, and is in the process of creating a third process
25 called Part 53.

1 In relation to that third process, NEI and USNIC collectively
2 surveyed our members, both developers and potential licensees, and 17 of the
3 21 members responded that they're not interested in using Part 53 because it's
4 less flexible, predictable, and efficient than Parts 50 and 52.

5 So, that means that we need to have an increased focus on
6 improving Parts 50 and 52 since they're expected to be utilized for the long-
7 term, and certainly, they're the only options in the short-term.

8 So, turning attention now to the Part 50, 52 Lessons Learned
9 Rulemaking that the staff has underway, we see and commend the staff for
10 making many improvements to both Parts 50 and 52 through this rulemaking.

11 Just some examples: they're removing the duration and
12 renewal requirements for design certifications. They're including change
13 processes for standard design approvals. They are eliminating the need for
14 Tier 2* information, and they're in the process of clarifying which large light
15 water reactor requirements are not applicable to advanced reactors.

16 But we think that there are other significant improvements that
17 should be made that are not being pursued by the NRC in the rulemaking.
18 Examples of these: we would encourage the NRC to include a process for
19 making changes to Tier 1 information at risk, before the NRC approves those
20 changes, in a way that both ensures the safety and avoids the need for
21 potential construction delays or huge licensing staffs to stand at the ready to
22 process those.

23 Another would be the ability to issue COLs, or Combined
24 Operating Licenses, referencing design certifications with known errors, with
25 the provisions that those would be corrected in time and so that this doesn't

1 delay the issuance of those Combined Operating License.

2 Another one would be the establishment of first principles for
3 Tier 1 and ITAAC information in order to right-size the content in those,
4 because those are areas that are very difficult to change.

5 And then, we also noticed that there may be some things that
6 are being included in Part 50 which we have some concerns about. And it's
7 potentially the appearance that there are expectations that the construction
8 permits would have equivalent level of design finalization as would be required
9 in a Part 52 Combined Operating License.

10 An example of that is the level of completeness of the PRA, or
11 Probabilistic Risk Assessment, and so that would blur the lines between the
12 distinctions of Part 50 and 52.

13 We believe that these additional improvements are needed to
14 increase the viability and ensure that there's distinctions between these two
15 processes. They both serve different needs in deployment models that our
16 companies are looking at doing.

17 You know, one of the things that we're seeing is a migration of
18 interest toward using the Part 50 process, not the Part 52 process, which was
19 established to be more efficient. And so, addressing these challenges would
20 help to make both of these viable.

21 There are other efforts beyond the Lessons Learned
22 Rulemaking that we think are very important to address.

23 So, one is to treat light water SMRs and non-light waters
24 equitably. So, there are some instances where we're seeing differences in how
25 they're being treated. So, for example, construction permit guidance is being

1 developed, one for non-LWRs and one for light waters, and we think there's a
2 technology-inclusive approach that could be done there.

3 Similarly, target review schedules are shorter for non-light
4 water reactors, and we think that the target review schedules should be similar
5 because they both have similar philosophies in terms of enhanced safety.

6 There are examples where the NRC is doing a great job in
7 treating things technology-inclusively, like the advanced reactor content of
8 applications and certainly in Part 53.

9 We also think that key technical policy issues need to be
10 addressed before submitting applications, and certainly, one of the most
11 important things is improving the efficiency of the licensing process. So, to this,
12 we recognize that that's important because there are new business models that
13 are being pursued. We also see that there's a potential, real potential, for large
14 volumes of applications in the future. And so, improving the efficiency is
15 something that can both ease the potential for future workforce challenges as
16 well as provide near-term benefits to applicants today.

17 Thank you.

18 CHAIR HANSON: Thank you, Mr. Nichol. Next we'll hear
19 from Carrie Fosaaen. She's the Senior Director for Regulatory Affairs at
20 NuScale.

21 MS. FOSAAEN: Thank you for inviting me today.

22 I was asked to speak about pre-application, and as a recent
23 applicant under Part 52 for both a design certification and now a standard
24 design approval application, I've got the perspective, unique perspective, of
25 having done it once and then getting to see the lessons learned implemented in

1 real-time.

2 So, I wanted to start with just a brief summary, very high level,
3 of NuScale's experience. NuScale first engaged the NRC on our design
4 certification application around 2009. Before our submission of the design
5 certification, we engaged in hundreds of pre-application engagements,
6 submitted numerous white papers and several topical reports. We supported a
7 gap analysis effort where we compared our design to the existing regulatory
8 framework and ultimately supported the staff developing design-specific review
9 standards.

10 We underwent a readiness review prior to our initial
11 application submission at the end of 2016. Ultimately, that application was
12 docketed in 2017 and, through a significant effort on both sides, was approved
13 in late 2020. So, that represents the final safety evaluations.

14 In the meantime, we recognized we were going to pursue a
15 power uprate, so we actually began engaging the staff in pre-application for the
16 standard design application we recently submitted, and that started in 2019. In
17 order to support this application, over 75 engagements -- so, you recognize
18 that's a much more reduced scope.

19 We also went under a phased readiness review. So, again,
20 looking at the way the design certification went, we applied lessons learned,
21 and ultimately, we are currently waiting to see if the application will be accepted
22 for review.

23 So, based on that history, I'd like to highlight three areas that
24 stood out to me, one with pre-application meetings. The staff is only allowed to
25 give informal feedback in a pre-application engagement meeting, which the

1 vendors, you know, use to be able to make decisions for business and move
2 forward.

3 What we found is timing of those engagements is critical.
4 Engaging too early with the staff, which is actually the staff's preference,
5 resulted in a lot of uncertainty. You find that the staff may change, they get
6 promoted, they retire, they move on to other assignments, and that informal
7 feedback is sometimes unique to the staff member that you're engaging. So,
8 timing is critical, and when we sought to engage more recently, we did keep
9 that in mind, and that's why we did not engage more until the year before we
10 submitted.

11 The other aspect is, I know there's a lot of benefits to pre-app
12 and we certainly realize most of them, efficiency. Every one of those
13 engagements represents resources on both sides, you know, both the vendor
14 and the NRC, so being efficient in choosing what we engage on and what we
15 choose not to, knowing that it's informal, you know, we pick and choose those
16 topics very carefully.

17 And I would like to say, you know, we did see record time for
18 our design certification, but when you look at the full scope of the picture, we
19 started engagement in 2009. So, you could argue -- are you really making a
20 more efficient review if you're just moving it into pre-app? So, just want to be
21 mindful of how that's being executed in future applications.

22 Readiness reviews. We found a lot of benefit in the readiness
23 review, but that is a highly resource intensive activity. Very complimentary of
24 the staff. We proposed, for the standard design application we recently
25 submitted, a phased review, and it was a novel approach. It came with some

1 challenges, and I recognize we put the staff in some interesting positions
2 where, you know, by submitting chapters at different times, they didn't have the
3 full picture, but I have to commend that they were willing to work with us on
4 something innovative and try something new.

5 Again, with the level of resource and time, I think you'd find,
6 for an optional process, the benefit has to be there, and for the design
7 certification, we feel that the readiness review really led to our ability to be
8 docketed and reviewed in an efficient manner. And that's really the benefit of
9 doing a readiness review, especially if the applicant makes a good faith effort to
10 address the comments provided by the staff.

11 And finally, I would like to talk a little bit about the risk-
12 informed review. Again, to compliment the staff, they have been seeking
13 opportunities to risk-inform the review, something I want to highlight that we're
14 very optimistic about in our design review that we're coming up on.

15 And the staff, in order to support that, did do a probabilistic
16 risk assessment of our design prior to submission, with the intent to really focus
17 the areas they were looking at. As we haven't actually begun the formal review,
18 I don't have conclusive results, but I want to highlight the efforts of the staff and
19 say that we're very optimistic about seeing a risk-informed review.

20 That's something I think can really contribute to the efficiency
21 of review, and with the number of applicants we've discussed potentially
22 submitting in the near-term, efficiency is going to be key to those reviews.

23 Thank you.

24 CHAIR HANSON: Thank you, Ms. Fosaaen. Next we'll hear
25 from Scott Hunnewell. He's Vice President for the New Nuclear Program at

1 Tennessee Valley Authority.

2 MR. HUNNEWELL: Thank you for the opportunity to speak
3 with you today.

4 Next slide. The TVA Clinch River advanced reactor licensing
5 strategy is to prepare and, upon TVA Board authorization, submit multiple
6 applications that conform to a 10 CFR Part 50 two-step regulatory pathway.

7 The Part 50 licensing pathway would allow for the effective
8 and systematic development of project licensing, design finalization, and
9 construction. TVA believes that the use of the part 50 pathway provides the
10 flexibility necessary to support potential design modifications required during
11 construction.

12 A construction permit application requires only preliminary
13 plant design and associated analysis. Preliminary plant design minimizes the
14 amount of engineering work required to support an NRC decision that will allow
15 construction to start.

16 TVA anticipates the design maturity to be approximately 30
17 percent complete for preparation of a construction permit application. An
18 application based on partially complete information is something that TVA's
19 licensing engineers are not accustomed to.

20 The operating license application contains the final safety
21 analysis report. The final safety analysis report contains the information that
22 describes the facility, presents the design bases and the limits on its operation,
23 and presents a safety analysis of the structures, systems, and components of
24 the facility.

25 Next slide, please. Next, I would like to highlight just a few

1 reasons why TVA believes the Part 50 licensing pathway will be the most
2 advantageous relative to our planning for the Clinch River site.

3 In 2021, TVA completed a technology assessment that
4 examined light water and non-light water small modular reactor designs. TVA's
5 conclusion was that light water designs are most ready for commercial
6 deployment and will support having a standard SMR option available by the
7 early 2030s as one of several technologies to help TVA meet its goal for net
8 zero carbon emissions by 2050. We believe the Part 50 licensing process can
9 readily accommodate the light water SMR designs due to their similarities with
10 previously approved designs.

11 TVA sees the potential for more timely and efficient licensing
12 of standardized SMR designs in the future. However, until an SMR is licensed
13 and constructed, the Part 52 process has the potential for time consuming and
14 costly delays in getting to a first deployment.

15 TVA anticipates that, for a first of a kind deployment, there will
16 be issues identified during construction that will require a change to the design.
17 The Part 50 process allows the licensee to address the majority of any issues
18 discovered during construction without prior NRC approval, which helps
19 maintain the schedule and the budget.

20 TVA's assessment of licensing options for first SMR also
21 identified potential risks associated with the Part 50 licensing pathway. These
22 risks include that, to the best of my knowledge, it has been over four decades
23 since a Part 50 was last used to license a new power reactor design.

24 The guidance updates for Part 52 removed Part 50
25 information. The difference in the Part 50 process is that NRC reviewers will

1 see a preliminary design rather than a final design needed under Part 52.

2 TVA's conclusion is that for the light water SMR technology, a
3 Part 50 licensing approach provides many advantages and that the potential
4 risks and any associated regulatory uncertainty can be mitigated.

5 Next slide. A regulatory engagement plan establishes rules of
6 engagement between the applicant and NRC. The primary goal of the
7 regulatory engagement plan is to reduce regulatory uncertainty by establishing
8 such agreements as early in the regulatory process as possible.

9 Implementation of a comprehensive regulatory engagement
10 plan can provide project stability and predictability in the full scope of activity,
11 supporting the licensing process.

12 Early engagement between TVA and the NRC staff will be
13 used to establish a mutual understanding of the application scope and to
14 identify key areas of regulatory risk in the draft application.

15 TVA anticipates that pre-application meetings, site visits, and
16 interactions that are well focused and have the appropriate technical experts
17 will provide meaningful discussions to reduce regulatory risk associated with
18 first-of-a-kind features, topics, and issues that are expected to be technically
19 complex, unique, novel, or challenging from a policy perspective.

20 TVA will rely on topical reports submitted by General Electric
21 Hitachi to improve the efficiency of the Part 50 licensing pathway, providing to
22 the staff proposed methodologies, first-of-a-kind design features, and unique
23 operational requirements early in the licensing process.

24 In conclusion, the Part 50 regulatory pathway is the preferred
25 approach in licensing and constructing a first-of-a-kind advanced reactor

1 design. TVA believes that benefits afforded through Part 50 by the flexibility to
2 make changes during construction of a first-of-a-kind advanced reactor design
3 outweigh any regulatory risks.

4 TVA will work with the NRC staff, as we prepare the first
5 construction permit application under Part 50 in over 40 years, to ensure that all
6 parties involved understand that the construction permit application is based on
7 a partially completed design. Thank you for your time.

8 CHAIR HANSON: Thank you, Mr. Hunnewell, and now we'll
9 hear from Jamie Coleman, she's the Director of Regulatory Affairs for Southern
10 Nuclear Company.

11 MS. COLEMAN: Thank you, Chair Hanson and
12 Commissioners. I'm honored to have the opportunity to share Southern
13 Nuclear's experiences with you today on the Part 52 licensing process during
14 construction of Vogtle 3 and 4.

15 When I was preparing for this discussion, the biggest
16 challenge was trying to condense 10 years of construction testing and startup
17 activities into a few minutes, but I'll do my best. Next slide, please.

18 I'll first start with some observations regarding the advantages
19 of Part 52. Part 52 met the aim of the original rule, which was to previous
20 procedures for standardization of nuclear power-plants in early resolution of
21 safety and environmental issues in the licensing proceedings.

22 Certifying the design on the front end enabled improved
23 predictability on the back end through the ITAAC verification and closure
24 process. Once SNC had submitted the final ITAAC closure notification, timely
25 issuance of the Part 52 103(g) finding was possible because of the confidence

1 that the plant was constructed as designed which was proven through the
2 ITAAC process.

3 In addition, having dedicated regulatory resources in both
4 NRC Headquarters and NRC Region II was crucial in providing a central focal
5 point throughout the course of the project.

6 Consistency in leadership and technical staff created a depth
7 of knowledge that significantly contributed to getting the project to where it is
8 now. In our view, NRC's use of dedicated regulatory resources for new
9 construction projects constitutes a best practice and should be continued for
10 potential advanced reactor licensing and construction if possible.

11 Next slide, please. I'll now share some observations
12 regarding opportunities to improve Part 52 licensing process based on our
13 experiences.

14 There is our scope identification during design certification
15 phase, increased use of licensee self-approval processes, use of risk-informed
16 processes, and changes to implementation milestones.

17 The scope, complexity, and challenges of a first-of-a-kind
18 project of this magnitude requires flexibility on the part of the licensee and the
19 regulator to deal with changes as they arise.

20 I'll start with the first two bullets because they go hand in hand.
21 It's important to appropriately identify ITAAC Tier 1, Tier 2*, and Tier 2 scope
22 during the design certification.

23 It is also important for the licensee to have avenues to make
24 changes quickly through self-approval processes where appropriate. Either
25 one or preferably both of these improvements would increase efficiency without

1 compromising reasonable assurance of adequate protection of public health
2 and safety.

3 Through the ten years from issuance from the combined license
4 to issuance of the 103(g) finding, SNC reduced the number of ITAAC, reduced
5 the scope of Tier 2* information, and processed hundreds of departures from
6 the updated final safety analysis report, or FSAR.

7 Today SNC has processed approximately 220 licensing actions
8 in the forms of license amendments, exemptions, or alternatives, which is far
9 more than operating fleets typically over a ten-year period.

10 Looking at SECY-22-0052, one of the NRC's stated goals is to
11 reduce the need for request for exemptions from existing regulations and
12 license amendments. Establishing a more refined scope on the front end and
13 self-approval processes for changes would support achieving this goal.

14 Moving to the next bullet, Part 52 has not kept pace with the rest
15 of industry's progress towards a more risk-informed approach in several areas.
16 When a Part 52 licensee makes changes, they rely primarily on a burdensome,
17 deterministic justification.

18 Where a risk-informed analysis demonstrates little or no risk,
19 there should be a corresponding reduction in the necessary justification for the
20 change.

21 When potential compliance issues are identified, NRC should
22 employ a more risk-informed construction reactor oversight process and use of
23 the very low safety significance issue resolution process. The same benefits
24 NRC has cited for risk-informing Part 50 processes should also apply to Part
25 52.

1 Finally, a more recently realized area for improvement is in
2 implementation milestones. The effective date for many regulations is tied to
3 the date of the 103(g) finding, which is largely administrative and legal in
4 nature.

5 In reality, not much physically changed on plant site when the
6 103 finding was issued, thus, no change to the risk profile of the plant. In SECY
7 22-0052 it specifically discusses changing implementation milestones for two
8 areas, physical security requirements and fitness for duty requirements.

9 This is a good start but reportability and technical specifications
10 also become applicable at 103(g). In the period between the 103(g) finding but
11 prior to initial criticality, our experience has been that the application of these
12 requirements has diverted staff and site focus.

13 Requirements should be phased in to minimize the unnecessary
14 burden during startup testing when the site is working to ensure the plant will
15 run safely and reliably.

16 Looking at the project holistically, our principal recommendation
17 is to provide both the licensee and the regulator greater flexibility to deal with
18 changes throughout the construction process, and thereby enable our collective
19 resources to focus on issues based on their safety and risk significance.

20 I appreciate the opportunity to share Southern Nuclear's
21 perspective with you and look forward to your questions.

22 CHAIR HANSON: Thank you, Ms. Coleman. Thank you all for
23 your presentations. We'll begin questions this morning with Commissioner
24 Wright.

25 COMMISSIONER WRIGHT: Thank you, Chair. Good morning.

1 So thank you for your presentations and I've really been looking forward to this
2 meeting. In the past, we've had several meetings on Part 53.

3 As you all know, we were charged by Congress to look at a risk-
4 informed technology-inclusive pathway for advanced reactors and so hopefully
5 when that process is over, we're going to have something that's going to be
6 both useful and usable by the stakeholders that use it and our Staff.

7 That said, though, as you all have mentioned, most of the
8 applicants in front of us right now are those considering coming before us are
9 using Part 50 or Part 52. NuScale, Kairos, TerraPower, X-energy, just to name
10 a few.

11 So, it's important that we not be a barrier in this whole process to
12 these new technologies. So, we're going to need to demonstrate that we're
13 capable of licensing the new technologies and designs using our existing
14 regulations.

15 So, to show that we can actually make safe use of nuclear
16 technology possible, which is actually NRR's slogan. So, Part 53 can be
17 informed by lessons learned if we indeed need it in the end, which I think you
18 were referring to in your comments, Marc.

19 To me being a modern risk-informed regulator is more than just a
20 motto or a slogan. It's going to have to be a behavior, it requires action and it's
21 going to require our staff to answer the call to action which I believe they can
22 do.

23 So, with that I'm going to ask my first question and I'll start with
24 you, Carrie, since I name-dropped your company earlier in remarks. And given
25 all the experience that NuScale has had with being the first SMR reactor

1 designed and certified.

2 Congratulations on that by the way. I want to delve a bit into the
3 lessons learned letter that NuScale wrote a couple years ago. I think we can all
4 agree there were several lessons, many of which the Staff presented in a report
5 March of last year.

6 It brings to mind the SRM that we had on the IAB, the
7 inadvertent actuation block valve issue, which was a big deal back then where
8 the Commission directed the Staff to apply risk-informed principles from the
9 usual prescriptive deterministic criteria such as single failure criteria.

10 So, I'm interested in an external perspective, your perspective,
11 on where we might be as an agency right now, on how well the Staff has been
12 implementing this direction, and if you or anyone else on the panel has noticed
13 any improvements or differences since the Staff issued the lessons learned
14 report?

15 MS. FOSAAEN: Yes, thank you. I would like to say I have seen
16 some improvements, as I mentioned, in my opening remarks. The Staff is
17 looking to implement risk-informed initiatives.

18 I would say in my observation that the SECY hasn't promulgated
19 all levels of the Staff so we do see benefits at some levels of the organization
20 but not all the way down to the bottom working level. So, that's my perspective.

21 COMMISSIONER WRIGHT: Anyone else? Marc?

22 MR. NICHOL: Thanks, I'd add to that. In response to the
23 NuScale lessons learned letter and I know NEI had sent a lessons learned as
24 well, we do see the NRC is starting to implement many improvements in the
25 licensing process.

1 And they've had meetings to explain other improvements that are
2 in the works that will not yet have manifested themselves. But we also note that
3 there were some significant, we thought, improvements the NRC could make
4 that are not being adopted that we would encourage the NRC to think about.

5 One is aggressive yet reasonable schedule targets. Today the
6 NRC's review schedule is somewhere between three to four years. That's from
7 the beginning of the safety review to the end of the safety review.

8 There's also pre-review processes, the acceptance review and
9 the pre-application process, there's post-review processes, hearings,
10 certifications, other things.

11 So, when you add all that up you're getting close to five years
12 and that's a long time for an Applicant to be in the NRC process. So, we would
13 encourage to try to get down as close to one year as possible for the safety
14 review.

15 There is the definition of credible, which is really important. That
16 term credible for accidents is used over and over and over again and a lack of
17 understanding of what the NRC means by credible makes it difficult for industry
18 to try to meet that definition.

19 The SRM-SECY-19-0036, we've asked on occasions, how are
20 you implementing that, and we've not heard any response. We've not seen any
21 indication that that is actually being implemented. There's others but please
22 continue.

23 COMMISSIONER WRIGHT: Anybody else? Speaking of the
24 IAB valve, one of the recommendations from the report I believe the Staff
25 should reconsider is a clearly defined process-resolved disagreements.

1 I understand there were considerable resources expended when they
2 had technical disagreements that maybe could have been resolved sooner had
3 you had a process in place to seek alternative safety perspectives.

4 And we've got a number of those things now in other areas for
5 internal and external stakeholders, differing professional opinion program being
6 one of them. There's even a documented agreement in the MOU between us
7 and the CNSC that gets to that.

8 So, what would be your thoughts on that type of a process being
9 implemented?

10 MS. FOSAAEN: I would be very supportive of it. I am aware
11 that for our standard design application, we are working with the Staff currently
12 to implement an independent reviewer. I haven't seen documented what that
13 process looks like, it's only been verbalized.

14 But I think that's something that's been encouraged and the Staff
15 understands. One thing we've come to agreement on is the need to escalate
16 quickly. So, having that third-party independent reviewer would help facilitate
17 that disagreement period.

18 Because I think on both sides you've got reasonable people with
19 different opinions, much like you can expect. So, it's possible and very likely
20 you'd have different opinions of the ultimate outcome but I'd be highly
21 supportive of it.

22 COMMISSIONER WRIGHT: Good, thank you. We've got about
23 three minutes left, so I'll see if I can try to get two questions in here.

24 Jamie, welcome. Having the first plant to use Part 52, I'm kind of
25 interested in the additional insights you may have on efficiencies with current

1 our regulatory process here with Part 50 and 52.

2 Hypothetically, if you were to build Vogtle 5 and 6, talk to me a
3 little bit about whether you would take the same path under Part 52 or would
4 you consider Part 50, and maybe why?

5 MS. COLEMAN: Thank you for your question. I expected this
6 one.

7 COMMISSIONER WRIGHT: Did you?

8 MS. COLEMAN: I would want to know the answer to this. I can't
9 speak for what direction Southern Nuclear would choose because there's a lot
10 of variables and I think some that were highlighted today is the percentage of
11 design that's completed and is it a first of a kind or have there been others
12 ahead of it?

13 My personal opinion if we were going to build additional AP-
14 1000s that Part 52 would certainly be a viable option because we have
15 exercised it. And one of the things that is still yet to be unseen is that Part 52
16 was made for a reference plant and then standardization following it.

17 And we've seen changes and we've seen efficiencies in Unit 4
18 but most of those have come from changes that we made on 3 that we did for 4
19 as well and it made sense to do so. So, we haven't really fully seen the benefits
20 of having a reference plant and other plants to follow.

21 But I think 52 would certainly be viable.

22 COMMISSIONER WRIGHT: Thank you for that. My final
23 question is going to be for anybody at the table here. What do you see as the
24 biggest regulatory hurdle to licensing technologies under Parts 50 and 52? Is it
25 being addressed? And if not, any thoughts on how to address it?

1 MR. NICHOL: I'm happy to answer that. I think there's many
2 things to address and the NRC is addressing many, many of them. But the
3 biggest one I think should be addressed right now is the efficiency of the
4 processes, especially the review process.

5 I talked about the five years and trying to get that down to
6 something shorter. Not only does it help industry and time to market but it
7 helps the NRC in terms of the resources that you have to apply.

8 And so when we talk about a more efficient process we're not
9 talking about cutting back on safety. We want the same rigor in the review and
10 the same safety outcomes. What we're looking at is how can you do it more
11 efficiently, approve safe designs more efficiently?

12 COMMISSIONER WRIGHT: Right, it's saving resources on both
13 sides. Thank you so much.

14 CHAIR HANSON: Thank you, Commissioner Wright.
15 Commissioner Caputo?

16 COMMISSIONER CAPUTO: Good morning, thank you all for
17 being here. Given the challenges with Part 53, this meeting is incredibly timely
18 and I think it certainly has crystallized my focus on the proposed changes for 50
19 and 52 through this rulemaking.

20 Mr. Hunnewell, you discussed in your remarks the fact that TVA
21 is choosing Part 50 for Clinch River because of the greater degree of flexibility it
22 provides, especially for changes during construction and particularly for designs
23 that are first of a kind.

24 One of the proposed requirements, requirements proposed by
25 the Staff, would be to include the requirement for a probabilistic risk

1 assessment for a design and the results of that assessment as part of a
2 construction permit application.

3 So, Mr. Nichol and Mr. Hunnewell both, how does that limit that
4 flexibility during construction? Because as we heard from Ms. Coleman, 220
5 licensing actions during construction, if a PRA has to be revised with any
6 number of those actions and those revisions to PRAs were reviewed at the
7 same time, that's going to add a fair amount of review time and complication.

8 What are your thoughts on that situation?

9 MR. HUNNEWELL: I would say that requiring a PRA for the
10 construction permit application would negate the benefits from a Part 50
11 application. Because with a 30 percent design, you don't have enough analysis
12 to prepare a PRA.

13 So, that design would have to be matured significantly before
14 you could prepare a PRA and then you could possibly have those impacts of
15 changes during construction. I don't think that's practical in a Part 50, 30
16 percent design application process.

17 MR. NICHOL: I'll add to that. There are two primary benefits
18 that were built into Part 52, one was finality at the approval before construction,
19 the other was -- and then the distinction with Part 50 is that you can submit the
20 design with less design completion.

21 As so as Scott just pointed out, requiring a PRA essentially
22 requires the exact same design completion as a Part 52 combined operating
23 license. So, you have all of the same burden of proof but you have none of the
24 benefits of finality.

25 COMMISSIONER CAPUTO: And so I'm guessing that while that

1 might be less of an issue for a more established design like the AP-1000, that's
2 going to be a particular challenge for novel advanced technologies?

3 MR. NICHOL: It is. One of the reasons why people are looking
4 at Part 50 is because it can be a faster process to get to market because you're
5 submitting your design with less design completion and you're completing that
6 design in parallel with construction.

7 And so if you require that PRA, then you've negated the benefit
8 of time to market.

9 COMMISSIONER CAPUTO: Thank you. Mr. Nichol, I'm going
10 to stay with you for another question getting at applicability.

11 One of the challenges I think for novel designs in proceeding
12 through this rulemaking framework is these frameworks were envisioned for
13 light water reactors so there are clearly going to be segments of our regulations
14 that aren't really applicable for advanced technologies.

15 The question is how do we give clarity for applicants on what's
16 applicable and what isn't applicable so that it can file complete high-quality
17 applications?

18 There's a white paper on the subject, but how do you envision or
19 what do you see in terms of progress with getting clarity and some measure of
20 certainty and reliability to support drafting of applications?

21 MR. NICHOL: This rulemaking is critical, to get that clarity on
22 which of the large light water reactor requirements apply to advanced reactors.
23 The papers you mentioned, we had a lot of discussion with the Staff, they
24 ultimately came back and said this can only be done in a rulemaking.

25 And so they are incorporating this into the rulemaking so it'll be

1 very important to look at the details, to what extent are they going to disposition
2 all of those large light water reactor requirements.

3 COMMISSIONER CAPUTO: Now, the differences between
4 designs may alter which regulations are applicable. How do sort through that in
5 a rulemaking?

6 MR. NICHOL: There's a couple of ways to look at it. You could
7 look at some that are clearly not applicable to anything except large light water
8 reactors. There are others where you could come up with some performance-
9 based criteria that you would then judge the design against.

10 So, if you have the criteria you could look at the design and say,
11 well, I meet the criteria and therefore it doesn't apply to me or I do not meet the
12 requirement and therefore it does apply to me.

13 COMMISSIONER CAPUTO: Thank you for that. Carrie, thank you for
14 being here. I have to say your discussion on risk-informing definitely piqued my
15 interest. One of the things that jumped out at me from your lessons learned
16 letter was a threshold for a design basis source term event.

17 So, I understand that we're about to receive -- this is something
18 the Staff has wrestled with in Part 53 that I expect we will continue to wrestle
19 with in this rulemaking as well but one of the items has to do with including
20 quantitative health objectives in Part 53.

21 However, what we saw in NuScale's lessons learned is the
22 numbers seem to go even lower than the QHOs of once every two million
23 years, including consideration of an event that happens three times every ten
24 billion years.

25 I'm kind of struggling with how we got there because -- and this

1 is where I have to put a number like that in context. Astronomers estimate the
2 earth is only 4.6 billion years old.

3 So, when we start getting into numbers like this I struggle, and
4 yet, in your remarks you talked about being optimistic about a risk-informed
5 review. So, between your lessons learned letter to us and the remarks that
6 you've made today, what has changed in terms of our ability to be risk-informed
7 and what progress or challenges do you still see in terms of how we are looking
8 at what constitutes a credible event?

9 MS. FOSAAEN: That's a great question. I guess I'd start with
10 I'm always an optimist so I can start with that. But I mentioned the effort the
11 Staff went through prior to our submission. It was their idea looking at what
12 we've done with them, let's look at your PRA so we can focus our review.

13 That wasn't something we had in the design certification so my
14 optimism is spawned by some of the behaviors I'm seeing in the engagement
15 between the design start and now. I do think there are still going to be
16 challenges.

17 The definition of credible, as we alluded to in our letter, not
18 having that clarity leaves a lot of space for interpretation. I think the SRM you
19 issued on our IAB, our inadvertent actuation block, was a great first step.

20 I'd like to see that more infused into the processes. I think that's
21 one thing that there's room for improvement, to continue to embrace that
22 philosophy. And that would be the challenge, how do you define something?

23 Because there are so many different technologies but I would
24 question does it really matter what the technology is if safety can be established
25 at a certain threshold?

1 Because as you alluded to, we're talking about probabilities that
2 are very hard to grasp and I think that's part of the challenge.

3 It's how credible, and incredible in a different sense, but how
4 much can you trust the numbers when they're that low? And that's something
5 we run into with the Staff, is that's so low how can I believe you?

6 COMMISSIONER CAPUTO: So, Mr. Nichol, given how we're
7 considering a range of technologies that are going to be coming our way, how
8 do we create within that definition of credible event – how do we create clarity,
9 certainty, and reliability that we know what the definition is and that it will be
10 constant and that it will be reliably applied to a range of technologies and
11 subsequent applications?

12 MR. NICHOL: I think the answer is in creating a performance-
13 based metric to compare it to. And the performance-based criteria should be
14 directly related to public health, protection of public health and safety. And so
15 that comes down to doses.

16 And so looking at a consequence-based approach first and then
17 looking at, well, what types of risk insights do we need to apply to that? I would
18 not say it needs to be a quantified PRA number because then that goes into
19 some of the concerns we have with Part 52.

20 COMMISSIONER CAPUTO: So, however consequence-based
21 differ from the Staff's approach of using the quantitative health objectives
22 approach in Part 53?

23 MR. NICHOL: I could point to the rulemakings - SMR
24 emergency planning zone and the SMR security rulemakings that are more
25 consequence-based that focus on the consequences and the dose with

1 appropriate risk insights, not using probabilistic risk assessment metrics.

2 COMMISSIONER CAPUTO: Ok. Thank you. Thank you, Mr.
3 Chairman.

4 CHAIR HANSON: Thank you, Commissioner Caputo.
5 Commissioner Crowell?

6 COMMISSIONER CROWELL: Thank you, Mr. Chair. Thank you
7 all for your presentations today. As the newest Commissioner, this has been
8 illuminating for me in a variety of ways.

9 I'm still struggling with the construct that NRC has created
10 between traditional reactors and advanced or new reactors when the more I
11 learn about this, I really think it should be a discussion of light water versus
12 non-light water technologies and how we approach the issues.

13 That being said, I'm going to try to get to all of you with some
14 questions, starting with Ms. Coleman.

15 Based on your experience with the AP-1000s at Vogtle 3 and 4,
16 if Southern or even another entity were to look to move forward with an AP-
17 1000 design, how much confidence do you have that the process would be
18 quicker based on the experience that the NRC Staff has gained from Vogtle 3
19 and 4?

20 MS. COLEMAN: Thanks for your question.

21 There have been actions taken based on the lessons learned at
22 Vogtle and I'm not sure that anybody has exercised those fully yet around the
23 license amendments and self-approvals and some of the things that I spoke
24 about in my remarks.

25 So, some of the lessons learned are already out there and

1 they're already being worked on and moving forward there are things that are
2 new that I talked about, with the implementation milestones, that we're just
3 realizing now.

4 So, for others kind of behind, we have to continue to bring these
5 topics forward as we learn more, as we grow, making changes along the way
6 and not only for future but for the organizations who are in the different design
7 phases.

8 So, some of the lessons learned didn't get applied back to Vogtle
9 because we already had our license but the pursuit of getting better, learning
10 more, is going to always be there.

11 So, we've got to have a process for incorporating those lessons
12 learned as they come and making them available for current applicants and
13 future applicants.

14 COMMISSIONER CROWELL: Thank you. Mr. Hunnewell, I
15 believe in your presentation you said that Part 50 is best for first-of-a-kind
16 advanced reactor designs?

17 MR. HUNNEWELL: That's correct.

18 COMMISSIONER CROWELL: And did you mean that to apply
19 to both light water and non-light water advanced reactor designs?

20 MR. HUNNEWELL: As we assessed it for our application, we
21 determined Part 50 was best and we're looking at Gen 3 reactors, so we didn't
22 directly go look at the Gen 4s in terms of Part 50 versus 52.

23 COMMISSIONER CROWELL: So, in layman's terms, you see
24 Part 50 as best for light water advanced reactors?

25 MR. HUNNEWELL: That's correct.

1 COMMISSIONER CROWELL: Thank you. Ms. Fosaaen, thank
2 you for being here today. I want to make one comment about your presentation
3 so it doesn't get lost about early engagement opportunities and knowledge
4 management. This has been a topic for a lot of us, Commissioner Caputo
5 particularly.

6 It's a concern that we're having that the pre-engagement process
7 is undermined by the lack of good knowledge management. And I just want to
8 make that point here today so that we can hopefully get better on it internally
9 and make use of those pre-engagement opportunities. That being said, how
10 familiar are you with the draft of the Part 53 regulation?

11 MS. FOSAAEN: As we are currently engaged in Part 50, I'm
12 only vaguely aware. We do follow it to look for opportunities to leverage
13 concepts if they were to be implemented. But I'm not intimately aware of all of
14 the details.

15 COMMISSIONER CROWELL: I ask just because I want to make
16 my next question fair and if you don't feel like you don't have the depth of
17 knowledge, feel free to defer.

18 If you had to start from scratch for NuScale and Part 53 was in
19 place, would you look to use Part 53 or would you stick with the 50-52
20 framework?

21 MS. FOSAAEN: As it currently stands, we would stick with Part
22 52.

23 COMMISSIONER CROWELL: That's notable, thank you. Mr.
24 Nichol, for your stakeholders, particularly the ones looking at advanced light
25 water designs, are you hearing they're likely to use Parts 50 and 52 or are they

1 looking forward to Part 53?

2 MR. NICHOL: I'll preface by saying I don't think the issue is with
3 the distinction between light water SMRs and non LWRs. I think that distinction
4 is actually causing challenges today. But for whether it's light water SMRs or
5 non LWRs, most are looking at using the Part 50 process.

6 Now, I'll preface it by saying when Part 52 was developed, it was
7 intended to be the best, newest process. In fact, there was some discussion on
8 should we even continue to allow Part 50 for new reactors because Part 52 was
9 supposed to be so much better.

10 The trade-off that was made is that in Part 52 you could get
11 finality of NRC decisions before beginning construction and the trade-off was
12 that you would have a little bit longer time to market because you couldn't do
13 parallel design with construction.

14 But now what we're seeing with the challenges of Part 52 is that
15 it's very difficult and very resource-intensive to make changes during
16 construction. That was never the intent of Part 52. And so a lot of lessons
17 learned are going to address that.

18 There are other lessons learned we think are needed to be able
19 to fully address that so that statements about Part 50 is the only way to license
20 a first of a kind. Those shouldn't be true statements, in my mind.

21 In fact, if that is the facts of the current state of the requirements,
22 then I think we should not convince ourselves that Nth of a kind are going to
23 have it easier.

24 Nth of a kind will still have changes in the design during
25 construction and so if we don't address these problems to enable first of a kind

1 in Part 52, I don't think we'll ever find Part 52 to be much more viable for other
2 Nth of a kinds.

3 COMMISSIONER CROWELL: So, even though Parts 50 and 52
4 really grew up based on light water technologies, you still see those two
5 applicable to non-light water technologies without having to use more
6 exemptions than make sense?

7 MR. NICHOL: So, Part 50-52 is difficult even for light water
8 SMRs and the reason is I say I don't distinguish between LWRs and non LWRs
9 is because if you look at them from a safety performance basis, they're both
10 incorporating features that enhance safety: higher margins, elimination of
11 accident sequences, better mitigation.

12 They're both coming out with the conclusion that you might be
13 able to do site boundary emergency planning zones, you could probably not
14 have to rely on safety-related emergency diesel generators.

15 So from a performance base, they look almost identical. Now,
16 how they get there is very different, so there are technology differences and we
17 think those should be addressed in guidance.

18 So, yes, there are challenges even for light water SMRs using 50
19 and 52 technical requirements and that's what Part 53 is intended to address.

20 COMMISSIONER CROWELL: Thank you. Many of your
21 member companies operate in states currently or plan to operate in states with
22 carbon reduction goals. There's also national carbon reduction goals. Do you
23 think that the current Part 50 and Part 52 or the proposed Part 53 can be timely
24 enough to meet those production goals?

25 MR. NICHOL: I think we need robust changes beyond what the

1 NRC is looking at but, yes, with significant improvements in the efficiency and
2 timeliness of licensing decision-making, yes, they can support the market
3 needs.

4 COMMISSIONER CROWELL: Dr. Ducros, I think we have a lot
5 to learn from the Canadian experience here and one of the places I think we
6 have a lot to learn is in the public engagement space and how broad and robust
7 of a public engagement undertaking the Canadian model includes.

8 To the extent you're familiar with how we do that here in the
9 U.S., could you give us any highlights of places we could improve our public
10 engagement that's built on your experience? And you can say anything and it's
11 going to be appreciated, so be free to be candid.

12 MS. DUCROS: Thanks, that's a difficult question for me to
13 answer in terms of how you can improve; the contexts are quite different.

14 What I could say is what we have found in our lessons learned is
15 that there is an onus on the proponent or the applicant to make sure that they
16 have reached out very well to the community, and in our context, indigenous
17 communities and nations to ensure there is some level of public buy-in.

18 From the Federal Government perspective, we try to get up there
19 early but I heard earlier too early is sometimes not necessarily beneficial. You
20 have to have enough to speak about.

21 We're still learning, we're using as many platforms and
22 mechanisms as we have. With COVID, we found the virtual platform to be
23 really beneficial in terms of we get way more people out. But there are some
24 meetings that definitely need to be had in person if that's possible.

25 And I would say with indigenous communities, face to face is

1 almost always the preferred option. And what we're noticing with the license
2 review that we're going through right now with Ontario Power Generation and
3 the BWRX is we're building in workshopping of different technical topics.

4 So, I can't say whether or not this is different from the U.S.
5 context but these are the things we've noticed work well.

6 As much transparency as possible ends up with a better result
7 when we appear before the Commission because there should be no surprises
8 and basically, that's the key.

9 And also, that engagement has to be two-way. We have to have
10 a real open heart and open mind to what is being put before us and the
11 concerns of the public and indigenous communities and nations, and to treat
12 those fairly.

13 COMMISSIONER CROWELL: Thank you. I take your point and
14 I hope we all do given the complexity of these topics, as we've discussed today.
15 With the historic distrust in many areas of commercial nuclear, I tend to think
16 more is always better in this regard.

17 Thank you.

18 CHAIR HANSON: Thank you, Commissioner Crowell. Dr.
19 Ducros, I'd like to stick with you if I can for just a second. I think I'm going to try
20 and extract some themes, if I can, of the conversation that's happened so far
21 among the presentations.

22 One of the things I heard, and we on the Commission have been
23 having this discussion but the spectrum of predictability versus flexibility and
24 that one of the advantages of a 50 or 52 approach for new reactors is that it is
25 kind of an established process.

1 But I'd be really interested to hear how the CNSC is approaching
2 that issue about regulatory predictability versus flexibility in evaluating new
3 technologies.

4 MS. DUCROS: Thank you. What I would say is going back at
5 least a decade, we went through all our regulatory framework documents and
6 those are the documents that elaborate what the requirements are in the
7 regulations under the Nuclear Safety Control Act to make sure that they were
8 very CANDU-focused.

9 So, to go back and make sure they're technology-neutral and
10 what this means is there could be a level of a graded approach when someone
11 comes in, but how do you provide the clarity of what do we mean by a graded
12 approach, what do we mean by risk-informed?

13 And we're trying to elaborate that going back to some of the
14 regulatory documents to provide a little bit more clarity on that. The flexibility
15 versus predictability is an interesting one.

16 Because regulatory documents only come up for renewal every
17 five years, one of the things we're really attempting to do is work very closely
18 with potential applicants to provide some sort of clarity.

19 And what we can put on our website might be a one-pager, a
20 fact sheet, describing what our expectation is. So, we do have a mixture of
21 prescribed and performance-based regulations and sometimes it is prescribed.

22 But if an alternative can be proposed to us that's very well
23 justified that would result in a neutral safety or better, then that is an acceptable
24 alternative to us.

25 CHAIR HANSON: Interesting, thank you, I really appreciate that.

1 Graded approach, mix of prescribed and performance-based, very helpful,
2 thank you.

3 Mr. Nichol, one of the other things that I had picked up was
4 about what does it mean to be risk-informed and sometimes the way we
5 approach that has been in a PRA where in some cases we may be equating
6 being risk-informed with the use of a PRA.

7 But as we go about building the regulatory infrastructure, if you
8 will, and I agree with the need for efficient licensing reviews of these new
9 reactors, do you have or does NEI have thoughts on additional areas?

10 And given that we've got limited resources, not only in the
11 monetary sense but just in the brain power sense, of areas for guidance
12 development that we could or should focus on and whether NEI is looking at
13 those areas where you are developing potential guidance documents to put in
14 front of the Staff that help achieve the overall safety goals while still achieving
15 the balance in the areas we need to achieve?

16 MR. NICHOL: Thank you for the question. I think the NRC is
17 doing a good job in addressing most of the major key technical policy issues
18 and risk-informing those. I mentioned the SMR emergency planning zone,
19 SMR security, population siting.

20 There are many like that that Staff is already embarking on. And
21 I'll note that a lot of those are being risk-informed without the prescriptive use of
22 PRA numbers to be able to justify it.

23 So, certainly the PRA will be informative and useful when the
24 designs try to meet those performance standards. But the performance
25 standards are not being written in terms of quantitative PRA results.

1 I think where we go from here, the next frontier of risk-informing
2 is going to be in the construction and operation space, specifically looking at
3 what are the construction oversight programs, what does it look like, what does
4 the reactor operating oversight program look like?

5 The ones that we have for the large light reactors, just like the
6 other policy and technical issues I mentioned, are not the best fit for these
7 advanced technologies. So, we need to do that same type of thinking for those
8 areas.

9 CHAIR HANSON: Thank you, that's really helpful. Mr.
10 Hunnewell, I'll ask you the same question. You had brought up I think there
11 was a discussion about the difficulty of using a PRA in Part 50 for a
12 construction permit.

13 I'll ask you the same question about additional guidance that can
14 potentially help risk-inform but also mitigate any licensing risks in Part 50?

15 MR. HUNNEWELL: There are probably a couple of things as I
16 think through the Part 50 application. When I think about risk and risk during
17 construction until such time as you have nuclear fuel on site, the risk is really
18 with the applicant, right?

19 It's a financial risk until the NRC has the opportunity to review
20 that final application. So, there may be an opportunity to look at that. What are
21 those things that really need to be reviewed during that construction permit?

22 Because it is a partial design but which of those, perhaps
23 because of such significant safety significance, the NRC would want to see
24 more developed so that the final design would not be deviate much from that
25 and it would be understood, if that makes sense.

1 CHAIR HANSON: I think so, thank you very much.

2 Ms. Coleman, I'd like to finish up with you. I thought the
3 discussion you noted in your presentation, recent guidance updates focused on
4 Part 52 and that's a potential licensing risk.

5 Sorry, this is the wrong question. We were talking about risk-
6 informed processes during construction. Do you have thoughts on how a 50.69
7 process or a 50.69-like process, if available, may have addressed design
8 changes during construction?

9 MS. COLEMAN: Certainly. I gave a pretty big number of
10 licensing actions that we have had and part of that I think is because there was
11 so much detail in the ITAAC and there was so much scope and specifics –
12 numbers - and things that we just had very, very little margin to work through.

13 So, if you have a 50.69-type process that you could apply, it
14 would give you I think more options to address issues.

15 Because maybe during a certain timeframe we didn't have time
16 to get a license amendment or something like that, you're kind of forced to go a
17 certain direction when maybe there's other options that are less impactful for
18 resources and time.

19 And you don't have those available to you because you have to
20 go and have pre-approval, which takes time to get. And I would say the number
21 of days for the 220-ish licensing actions is variable, some of them a year, some
22 of them half of year, it just kind of depends.

23 But certainly, there were things that were not safety-significant
24 that we were required to submit for pre-approval.

25 CHAIR HANSON: Thank you. Is there any thought or comment

1 you would want to make about use of PRA? Usually, we approve a licensee
2 for use of 50.69 because they've done a PRA on their current plant and
3 operations. 52 might lend itself to that because of the completeness of design,
4 but would you like to comment on that?

5 MS. COLEMAN: You're asking about 50.69 and I went 50.59.
6 Sorry.

7 CHAIR HANSON: It's okay, as of yesterday at 4 o'clock I was a
8 little confused about that myself.

9 MS. COLEMAN: I apologize, 50.69, yes, we certainly could use
10 PRA in those applications. Like I said, we're learning as we go, we're finding
11 we've had some supply chain issues during this process due to the pandemic
12 and things.

13 50.69 even lends to the equipment that you bring in and safety
14 significant and non-safety-significant. So, we can certainly apply PRA and
15 50.69. I do think we need to go further than just that piece but certainly, that
16 would help.

17 CHAIR HANSON: I won't ascribe it to confusion but the
18 relationship between 50.69 and 50.59 in that process is actually kind of an
19 interesting one that might be worth looking at.

20 A formal review and evaluation process versus something that is
21 a little more, I don't want to call it less formal but less prescriptive in a way. So,
22 thank you very much. Commissioner Baran?

23 COMMISSIONER BARAN: Thanks. Thank you all for being
24 here and for your presentations, I think it's been a good discussion. I'm trying
25 to figure out what it leaves me to ask about. Maybe, Jamie, I'll stick with you for

1 a minute.

2 Our inspectors have been interacting with site personnel at the
3 Vogtle construction site for a while now. I'm interested in any reflections you
4 have on how those interactions have been over the years, maybe more the
5 people piece rather than the process piece we've been focusing on?

6 MS. COLEMAN: One of the advantages that I talked about early
7 was interaction through the inspectors certainly on site and both the NRC at
8 Region II and NRR.

9 I think we have had really good communications, having that
10 presence on site is well-known, well-established, there's a very open
11 communication chain, a very transparent communication chain.

12 It gives the NRC I think an early advanced look at things that are
13 happening as they're happening issues. So, it has worked very well having
14 inspectors on site, the relationships they have through Region II, and just the
15 relationship that we have all around. So, it's worked very well.

16 COMMISSIONER BARAN: That's great to hear. We've talked a
17 lot about flexibility and just the day-to-day changes one faces with a large
18 construction project. How has that gone?

19 Because obviously our folks have to be doing specific
20 inspections at certain times, it depends on when your folks are completing
21 something or doing work. How has that coordination been? Have you seen a
22 change over time on that?

23 MS. COLEMAN: No, I think that has been good and continues to
24 be good. One of the best practices I think we've had is a lot of public meetings,
25 a weekly standing public meeting, and so there's no lack of opportunities to

1 share information in both directions through normal inspections, through ITAAC
2 inspections, and just through the normal day-to-day inspections the residents
3 are in charge of.

4 COMMISSIONER BARAN: Great. Thanks. Scott, I was going
5 to ask a little bit more about the plans for the Clinch River site. Can you talk a
6 little bit more about how TVA has approached both your technology
7 assessment that you referred to and just your overall technology selection
8 process?

9 MR. HUNNEWELL: Sure, what we started in probably early '21
10 was assessing several of the different technologies that were out there and we
11 had numerous categories that we assessed those in. And what we did was we
12 gave each reactor design a score of 1 through 4, 1 being the most ready and 4
13 being the least ready.

14 And we went through and did it numerically and then color-coded
15 it, green through red, and very quickly the BWRX-300 was the leader of the
16 pack, meaning we thought it was the most deployable in the near term. Since
17 that time, we have decided to prepare an annual technology report for internal
18 use.

19 We expect the first one to be published by the end of March and
20 that's where we continue to evaluate the different technologies and we do that
21 through some non-disclosure agreements with the different vendors or publicly
22 available information for us to go through and evaluate their readiness so that
23 as we continue to look at what the future may hold we can continue to evaluate
24 is a Gen 3 reactor the appropriate decision for a future deployment or is there a
25 Gen 4 reactor that would best suit our needs?

1 COMMISSIONER BARAN: That's interesting. I had a great trip
2 to Darlington in Ontario a few months back and we had a similar conversation.
3 I asked Ontario Power Generation a similar question and they had a similar
4 response.

5 And I know you all have a relationship with them. Can you talk a
6 little bit about what role TVA is playing or will be playing going forward for the
7 Darlington project?

8 MR. HUNNEWELL: Sure. We do have an agreement for
9 collaboration with OPG and in that I traveled up there in mid-December to meet
10 with them and several members of my team and they traveled down to
11 Tennessee.

12 And the BWRX-300 that they're looking to deploy is a GEH
13 BWR, boiling water reactor.

14 So, we operate three GE boiling water reactors at Browns Ferry
15 so we've got experience in that area, so that's an area that we can help them
16 because they're operating the CANDU reactors and just entirely different,
17 especially when it comes to refueling.

18 That is when we sat in on the meetings and we started getting
19 into the refueling discussions, it was absolutely foreign to them what you do in a
20 BWR compared to what they currently do.

21 So, there's a lot of information that we're able to share with them
22 to help enlighten them on what to anticipate, how to staff. And likewise, what
23 we expect in return, what we are garnering from them, is insights into the
24 construction.

25 Once they actually break ground, we'll probably be about two

1 years behind them so we'll be able to get lessons learned. They're sending one
2 of their individuals to a BWR cert class at Browns Ferry.

3 We expect to embed at least one or two people up on their
4 project to help monitor and share information back and forth.

5 COMMISSIONER BARAN: Great, and TVA of course has an
6 early site permit for the Clinch River site. How are you all planning to leverage
7 that with the construction permit application?

8 MR. HUNNEWELL: By reference. We expect to entirely
9 reference it. The early site permit was technology-neutral for up to 800
10 megawatts electric so that bounds the technology.

11 There will be some things in the early site permit that weren't
12 addressed because it was technology-neutral that will have to be pulled in but
13 we do expect to capitalize on that early site permit.

14 COMMISSIONER BARAN: And Marc, you discussed and
15 maybe really a predicate for this whole conversation is there's obviously a lot of
16 interest right now in the new reactors in the U.S.

17 What's your current sense, I know you all at NEI have been
18 doing surveys and other things, to the extent you can talk about it, of the timing
19 and number of coming early site permit and limited work authorization
20 applications?

21 MR. NICHOL: Yes. What we're seeing is that the number is
22 increasing and they're all moving closer in time. So, I don't have specific
23 numbers and how many applications you'll get in any given year.

24 However, we do have a map that we share that shows 20 projects
25 between the U.S. and Canada that are either being considered or planned for

1 deployment by 2030.

2 And so that's at least 20 that are on the books out there publicly
3 that would all be applications between now and let's just say 2026 in order to be
4 timely by 2030. But as I said, we see that number increasing and moving closer
5 in time.

6 COMMISSIONER BARAN: Are you seeing a lot of interest in
7 early site permits in particular?

8 MR. NICHOL: We are, the updated survey that I mentioned to
9 you, we asked for the first time a question, are people looking at using early site
10 permits, and I think it was eight companies that said yes.

11 And so this really gets to time to market. An early site permit is a
12 way to get the siting questions resolved and then move on towards the
13 technology decisions and help accelerate future licensing processes.

14 COMMISSIONER BARAN: That's very helpful. We focused a
15 lot today on the processes which are obviously critical but there's also really the
16 Agency's capacity and capability, as Jamie in her discussion kind of alluded to
17 in a way.

18 For example, if we're looking at a large number of early site
19 permits in the next few years, we may need to beef up our environmental
20 capability here because that already is at times kind of taxed and stretched with
21 the work we're already doing.

22 So, as I've said to folks when I interact with them, the better
23 information we can get, the better we can plan for that ramp-up and be ready. I
24 want to avoid a situation where we're in some kind of triage mode.

25 I want to make sure the Agency can deal with the full demand as

1 it comes in for reviews of whatever type of application we're talking about. I'll
2 stop there, thank you all, I appreciate it.

3 CHAIR HANSON: Thank you, Commissioner Baran. Thanks
4 again to our panelists this morning for the really good presentations and the
5 good discussion we've had. We will reconvene probably just a little after 10:30.
6 Thank you all again.

7 (Whereupon, the above-entitled matter went off the record at
8 10:21 a.m. and resumed at 10:28 a.m.)

9 CHAIR HANSON: Okay, good morning, thank you, we've got the
10 second panel of our meeting on Reactor Regulation under Parts 50 and 52.
11 We've got, as I said, our Staff panel, and I'll hand it over to Dan Dorman, our
12 Executive Director for Operations.

13 Dan?

14 MR. DORMAN: Thank you, Chair, good morning, Chair and
15 Commissioners. Staff appreciates the opportunity to provide an overview this
16 morning of NRC's strategy to license advanced reactors utilizing the established
17 regulatory frameworks under Parts 50 and 52.

18 Today the NRC is ready to license new and advanced reactors
19 and other new technologies under Parts 50 and 52 as a result of substantial
20 progress we've made in our efforts to prepare for licensing new and advanced
21 reactors over the last decade.

22 However, our efforts continue as we push forward to improve our
23 regulations, guidance, and processes in preparation to license these reactors
24 and in accordance with our principles of good regulation.

25 Next slide, please. In this presentation today we will be

1 providing you insights as to where we are now, what we are doing to continue
2 to improve our regulations and processes and what we hope to achieve.

3 During this panel, Rob Taylor, the Deputy Office Director for New
4 Reactors in the Office Nuclear Reactor Regulation, or NRR, will talk about our
5 experience with and enhancements to the Part 50 and 52 frameworks in
6 licensing new and advanced reactors.

7 After Rob, Bernie Thomson, the Deputy Director in NRR's
8 Division of New and Renewed Licenses will be discussing licensing and
9 process improvements reflecting lessons learned from recent new reactor
10 application reviews.

11 Following Bernie, Omid Tabatabai, Senior Project Manager in
12 the Division of New and Renewed Licenses will provide an overview of the Part
13 50 and 52 rulemaking.

14 And finally, Candace de Messieres, a Branch Chief in the
15 Division of Advanced Reactors and Non-power Production and Utilization
16 Facilities will discuss development and use of modern and risk-informed
17 approaches to license advanced reactors and also successes and challenges in
18 reviews of advanced reactors applications under Parts 50 and 52.

19 Next slide, please. This concludes my opening remarks, and I'll
20 turn the presentation over to Rob.

21 MR. TAYLOR: Thank you, Dan, and good morning, Chair and
22 Commissioners. Thank you for the opportunity to provide you with our
23 experience with and enhancements to the Part 50 and 52 frameworks in
24 licensing new and advanced reactors.

25 Next slide, please. The Staff is demonstrating through its

1 ongoing safety and environmental reviews that the NRC is ready to license new
2 and advanced reactors and other new technologies using Parts 50 and 52.

3 In conducting these reviews, the Staff is focused on the NRC's
4 mission to protect public health and safety and the environment. We realize
5 that we can achieve that mission best through focusing our reviews on the most
6 risk and safety-significant aspects of these new technologies.

7 This risk-informed safety focus is yielding benefits for the NRC,
8 applicants, and the public through more timely and efficient reviews. I want to
9 take a few minutes and talk about recent successes that demonstrate our ability
10 to apply these approaches to current and future reviews.

11 In 2020, the NRC completed the first review of a small modular
12 reactor when we issued the final safety evaluation report and environmental
13 assessment for the NuScale design. The NRC Staff completed that review
14 within an established schedule, resolving many highly challenging and novel
15 issues for this first-of-a-kind design.

16 We undertook a thorough lessons learned effort, recognizing this
17 novel review would provide significant insights in how the NRC and applicants
18 can better execute on future reviews.

19 We will discuss how we're applying lessons learned from that
20 review to current and future reviews during Bernie's presentation.

21 In addition to the completed NuScale review, the NRC recently
22 issued the final environmental impact statement and anticipates issuing the final
23 safety evaluation report this month for the SHINE medical isotope facility
24 operating license.

25 We are also making substantial progress on the Kairos Hermes

1 test reactor construction permit and plan to issue the advanced safety
2 evaluation report with no open items this month.

3 Both of those reviews have afforded us opportunities to apply the
4 enhancements we have been developing to conduct risk-informed safety
5 reviews and to better leverage data.

6 For each of those reviews, we have conducted our thorough
7 safety and environmental reviews ahead of established schedules and budgets.

8 In fact, for the Kairos review through open and constructive
9 engagement during pre-application and the licensing review, the NRC was able
10 to establish an aggressive 21-month review schedule that we anticipate
11 beating.

12 We also recently accepted the Abilene Christian University
13 research reactor construction permit application and have established an 18-
14 month review schedule.

15 Finally, in preparation for future submittals, 15 vendors are
16 engaging us in pre-application activities such as the reviews of topical reports
17 and white papers.

18 The NRC is leveraging data and performance tracking
19 capabilities to assessing our ability to complete these reviews in a safe, timely,
20 and efficient manner.

21 Over the last two years, the NRC has completed 63 pre-
22 application review activities, executing these approximately 90 percent of the
23 time on schedules and within budgets.

24 This early engagement and timely resolution of issues will
25 facilitate more efficient reviews of future licenses and permits. Next slide,

1 please.

2 I spent the first slide talking about the outcomes that we're
3 seeing. Now I would like to shift our focus and talk more about the efforts we're
4 implementing that Dan previously mentioned and how it is yielding the results I
5 just discussed.

6 We are building on our previous accomplishments and assessing
7 any lessons learned. We recently issued the NuScale lessons learned report
8 which provided an overview of how the Staff is taking lessons from our previous
9 experience to enhance current and upcoming reviews.

10 The Staff is working with the ongoing Vogtle lessons learned
11 initiative to capture any insights for future Part 52 licensing and construction.

12 Lastly, the Staff will continue to identify and institutionalize best
13 practices as we gain more experience with the Kairos Hermes construction
14 permit, the Abilene Christian University construction permit, and the NuScale
15 U.S. 460 standard design approval applications.

16 The Staff is preparing proposed updates to our regulations
17 targeted on ensuring the right safety focus for new and advanced reactors.

18 For example, Candace will touch on the advanced reactor
19 nuclear reactor generic environmental impact statement and Omid will be
20 discussing the rulemaking to align the licensing processes and lessons learned
21 from new reactor licensing, often referred to as the Part 50-52 rulemaking.

22 Other rulemaking efforts focus on alternative physical security
23 requirements for advanced reactors and emergency preparedness for small
24 modular reactors and other new technologies that will provide risk-informed,
25 performance-based approaches for demonstrating safety and security for new

1 designs.

2 We also work closely with potential applicants to assess the
3 appropriate applicability of the Part 50 and 52 regulations to their novel designs.
4 This is an essential early review area that provides clarity and reliability for
5 licensees and the NRC.

6 We recognize that updating our guidance can also play a crucial
7 role in ensuring clear and reliable safety reviews.

8 We have invested significantly in enhancements to our guidance
9 that are intended to provide new and advanced technologies, clearer and more
10 efficient approaches to satisfying NRC regulations.

11 Bernie and Candace will provide additional details as to how
12 we're preparing guidance that demonstrate new risk-informed approaches to
13 making our regulatory decisions and how we are ensuring the right level of
14 effort in our licensing reviews.

15 In addition to enhancing our regulations and guidance, we have
16 made substantial improvements to our regulatory processes including how we
17 prepare and issue requests for additional information, conduct audits, and
18 perform and document our safety and environmental reviews in re-envisioning
19 our engagement with our partners such as the Advisory Committee on Reactor
20 Safeguards, or ACRS.

21 Lastly, we've embraced data and analytics to provide ongoing
22 assessment of our performance and to track project execution.

23 We've implemented better project tracking tools that allow us to
24 monitor progress with more precision and accuracy in discrete review areas to
25 assess whether they are progressing as envisioned and engage early when

1 challenges arise.

2 This is leading to better project execution and transparency as
3 we prepare and present project status through tools such as public dashboards
4 which are being piloted for current reviews. Bernie will provide additional
5 details on our efforts to leverage data for performance monitoring
6 accountability.

7 Next slide, please. This brings us to what we expect success to
8 look like. Our efforts are grounded on our perceptions of good regulation in
9 which the Staff is independent, open, efficient, clear, and reliable in their
10 execution of the licensing of new and advanced reactors.

11 To accomplish this, we are ensuring we have a talented and
12 qualified workforce with relevant education, skills, and experience. We will
13 have regulations and guidance that provide clear expectations of what is
14 needed to receive a license.

15 We will conduct risk-informed reviews focusing on the most
16 safety-significant areas. We will be efficient and reliable in executing our safety
17 and security mission through timely and cost-effective decisions.

18 Finally, we will continue to be open and appropriately consider
19 the interest of stakeholders in meeting the Agency's important safety and
20 security mission.

21 Next slide, please. Now I'm happy to turn the presentation over
22 to Bernie Thomson.

23 MS. THOMSON: Thank you Rob. Good morning, Chair
24 Hanson, and Commissioners. Thank you for the opportunity to provide an
25 overview of improvements we've made to conduct efficient and reliable reviews

1 through enhancements to our regulatory processes of organizational changes,
2 better data analysis, and execution. Next slide, please.

3 Rob mentioned that we undertook a lessons learned effort
4 following the NuScale review and we are applying those lessons to ongoing and
5 future reviews. As we prepare for the licensing of new and advanced reactors,
6 we've leveraged the lessons learned from the NuScale review, successes and
7 challenges from the Clinch River early site permit, the Korea Hydro and Nuclear
8 Power APR 1400 design certification and ongoing activities for Vogtle's Unit 3
9 and 4.

10 We've made changes in our regulatory processes based on the
11 lessons learned. We've reviewed how we prepared and issued requests for
12 additional information or RAIs, conduct audits, prepare safety and
13 environmental reports, and track and elevate issues quickly.

14 During the NuScale review, Staff identified how we could
15 improve the overall process when preparing and issuing RAIs. RAIs remain a
16 valuable and essential tool to ensure our regulatory decisions are open and
17 transparent and that the necessary information is on the docket to support our
18 safety and environmental findings.

19 Recognizing that we are not always clear and consistent in our
20 preparation of RAIs, we launched a team to overhaul the process.

21 This team identified key attributes that every RAI should include,
22 such as clear regulatory basis, an explanation of the safety significance, and
23 what information is needed to make a safety finding using risk-informed
24 methodologies.

25 RAIs not having these attributes contribute to additional time

1 between the NRC and licensees discussing the needed information and how to
2 respond. The Staff implemented these revised processes in the middle of the
3 NuScale review and immediately noticed improved communications and
4 efficiency in engagements.

5 We've carried this forward in future reviews and are realizing the
6 benefits there are as well. Staff expanded an enhanced use of audits which
7 allowed us to engage directly with the Applicants and clearly and efficiently
8 understand safety and environmental aspects of the application.

9 Specifically, we've enhanced our audit processes to more clearly
10 in the audit plan regarding the scope of the audit and desired outcomes and the
11 documentation of the audit findings. At the end of the audit, additional
12 information needed for docketing can come through more focused RAIs.

13 The Staff also recognized the importance for streamlining safety
14 evaluations and environmental reports to focus efforts on key details needed to
15 support conclusions satisfying the Commission's regulations.

16 We've done this without compromising our safety and
17 environmental mission. Finally, the Staff implemented enhanced processes to
18 identify and elevate challenging issues early.

19 During the NuScale review, the Staff and Applicant worked
20 constructively to address 29 highly challenging issues.

21 For future reviews, the NRC is focused on the early identification,
22 communications, and the elevation of such issues. This brings the issue to
23 management attention promptly and focuses our resources on timely resolution.

24 Next slide, please. In addition to enhancing our regulatory
25 processes, we've made changes to how we organize and prepare ourselves to

1 conduct an efficient review. Two key changes that were made are the
2 implementation of core and interdisciplinary review teams and streamlining
3 phases of our reviews.

4 Historically, new reactor reviews used the matrix organization.
5 Staff within divisions were assigned their portion of the review and provided
6 their safety and environmental input.

7 This approach did not always provide reviewers with a holistic
8 safety perspective and detracted from a fully informed review. To address this
9 limitation, we implemented core and interdisciplinary review teams with
10 dedicated subject-matter experts.

11 This allows for collaborative work across key technical
12 disciplines to holistically address safety aspects of the design and allow the
13 Staff to focus on the more risk and safety-significant aspects of the design.

14 Kairos is the first advanced reactor review where we fully
15 implemented this concept and we have seen substantial benefits in the safety
16 focus and efficiency in the review. We are implementing this for the Abilene
17 Christian University and NuScale reviews and plan to carry it forward in other
18 reviews.

19 Additionally, after the NuScale review we examined how we
20 organized the phases of our review. Historically, we used the six-phase review
21 model which we have now consolidated to a four-phase model.

22 In looking at the six-phase model we identified inefficiencies in
23 the areas such as ACRS engagement and documenting safety evaluations. For
24 safety evaluations, we consolidated phases to produce fewer interim
25 documents which consumed resources and time.

1 By working with the ACRS, we identified ways we could enhance
2 our focus on the most important safety aspects of the design and consolidate
3 the two ACRS reviews into one phase. We implemented this in the latter
4 stages of the NuScale review but the NuScale review more recently with the
5 SHINE review with success.

6 We will soon present the Kairos review to the ACRS and we
7 expect similar benefits. Next slide, please. We focused substantial efforts on
8 our use of data to improve our planning and execution for new and advanced
9 reactors.

10 During the NuScale review, the Staff used legacy project
11 management tools which were cumbersome and inefficient for status tracking.

12 These systems were unable to provide ongoing assessment of
13 project progress and resource expenditures to evaluate against deviations from
14 expectations. Recognizing these limitations, Staff initiated an effort to enhance
15 project management and execution tools.

16 For the SHINE and subsequent review, the Staff is using the
17 enhanced capability of the reactor program system, a project management tool
18 to plan, budget, and monitor execution.

19 The Staff now can more effectively allocate resources based on
20 the most risk and safety-significant aspects of the design and then monitor
21 performance in those areas.

22 The tools provide insight into whether we are performing the risk-
23 informed reviews we designed. Additionally, we built dashboards and reports
24 that allow for quick assessment of project execution and achievement of key
25 milestones to ensure accountability of schedule and budget.

1 These tools will allow us to acknowledge and implement
2 changes in review schedules and budgets in response to unanticipated
3 situations such as an Applicant's design change during a review while
4 maintaining a safety focus.

5 These tools contribute to our openness with the Applicants and
6 the public. The Kairos review is the first application using a public-facing
7 dashboard for the application and for the public to track and review progress.

8 We have developed and published a simpler dashboard for the
9 Abilene Christian University review and are developing one for the NuScale
10 standard design review application. Next slide, please.

11 Thank you and I will now turn it over to my colleague, Omid.

12 MR. TABATABAI: Thank you, Bernie. Good morning, Chair
13 Hanson and Commissioners.

14 I'll be providing an overview of ongoing rulemaking efforts to
15 align the regulatory requirements between 10 CFR Parts 50 and 52, particularly
16 how this rulemaking would enhance the licensing reviews of new and advanced
17 reactors.

18 Next slide, please. In September of 2015, the Commission
19 approved the Staff's recommendation in SECY-15-0002 to initiate a rulemaking
20 to align nuclear power plants licensing requirements under Parts 50 and 52.

21 In May of 2022, in response to the Commission's direction, the
22 Staff submitted a proposed rulemaking package under SECY-22-0052 for the
23 Commission's review and approval.

24 The rulemaking's objective is twofold, first, to align Parts 50 and
25 52 licensing requirements and second, to incorporate lessons learned from the

1 recent new reactor licensing reviews.

2 As Bernie stated in her presentation, incorporating lessons
3 learned from past licensing reviews would reduce unnecessary burden on
4 Applicants, licensees, and the Staff without adversely impacting Staff's ability to
5 make a safety determination.

6 The proposed rule applies to any new or advanced reactor
7 technology. As such, this rulemaking will enable the Staff to review license
8 applications for any reactor design against a consistent set of technical
9 standards regardless of the licensing process that the Applicant has chosen to
10 submit to the NRC.

11 Some examples of proposed changes include eliminating the
12 duration of the design certifications, eliminating standardization as a criterion for
13 justifying the change request by licensees and Applicants, processing change
14 requests while a plant is under construction, and referencing manufacturing
15 licenses and standard design approvals while they are under the NRC review.

16 Next slide, please. Since the mid-1980s, the NRC Staff had
17 focused its efforts on developing and updating requirements in Part 52 without
18 consistently incorporating similar requirements in Part 50.

19 In the regulatory basis document for this rulemaking published in
20 January of 2021, the Staff identified 11 regulatory areas for alignment. These
21 alignment areas include consistent application of Commission policy statements
22 to different licensing processes as well as select safety, security, and
23 environmental-related regulations.

24 In identifying these alignment areas, the Staff took a holistic look
25 at Parts 50 and 52 to identify opportunities for enhancement through the

1 regulations and engaged with the Staff across the Agency and sought input
2 based on licensing experience.

3 In this rulemaking, the Staff has proposed over 120 changes to
4 the requirements in 67 sections of Parts 50 and 52. The proposed changes
5 require conforming changes to 9 other parts in Title 10 of the Code of Federal
6 Regulations, 3 chapters of the Standard Review Plan and 11 Regulatory
7 Guides.

8 The NRC has continued to demonstrate openness during the
9 development of the proposed rule by conducting multiple public meetings with
10 stakeholders. In developing the proposed rule, the Staff received 8 letters with
11 a total of approximately 100 individual public comments.

12 For instance, one public comment requested the Staff to develop
13 a generic change process for standard design approvals, or SDAs, such that
14 SDA holders can make generic changes to the approved SDAs.

15 To address this comment, the Staff drafted a new change
16 process for approved SDAs and additionally drafted a new process for the
17 Applicants who wish to take departures from referenced SDA in their
18 applications.

19 Next slide, please. As I mentioned before, the proposed
20 changes in this rulemaking apply to any new or advanced reactor design.

21 To enhance the clarity of how the existing regulations apply to
22 new and advanced reactors, the Staff recognized the value of a public comment
23 requesting the Staff to clarify the applicability of the regulations to non-light
24 water reactors.

25 In response, the Staff drafted applicability statements in several

1 regulations to clarify the requirements such that only applications whose
2 designs meet the entry conditions for the reference regulations would be
3 required to meet the regulations.

4 For example, a combined license Applicant must provide a
5 description of the reactor vessel material surveillance program required by
6 Appendix H to Part 50. The Staff's proposed change clarifies that the
7 requirements associated with the reactor vessel surveillance program only
8 apply to light water reactors.

9 The next presenter, Candace, will provide additional information
10 regarding Staff's current activities to identify on a generic basis which
11 regulations in Parts 50 and 52 are applicable to non-light water reactors.

12 In conclusion, I would like to reiterate that aligning the regulatory
13 requirements between Parts 50 and 52 and incorporating lessons learned from
14 the past reviews will better enable the Staff to conduct a clear, reliable, and
15 efficient review of new reactor license applications regardless of technology or
16 the licensing process that an Applicant chooses to pursue.

17 Next slide, please. Thank you, and I now turn the presentation
18 over to Candace.

19 MS. DE MESSIERES: Thank you, Omid, and good morning,
20 Chair and Commissioners. I am pleased to be here today to highlight NRC's
21 progress using modern risk-informed approaches to review advanced reactor
22 applications under Part 50 and 52.

23 Next slide, please. While foundational work to improve the
24 licensing of advanced reactors has been underway for the last decade, goals
25 detailed in NRC's 2016 vision and strategy for safely achieving effective and

1 efficient non-light water reactor mission readiness provided an actionable line of
2 sight for regulatory readiness preparations.

3 I am pleased to say that the NRC Staff is on track in executing
4 the vision and strategy through the completion of implementation action plans.

5 The Staff's significant progress in areas such as computer codes
6 and review tools, flexible review processes, Staff knowledge, skills, and
7 capabilities, policy and technical issues, consensus codes and standards, and
8 communication are resulting in enhanced regulatory clarity and reliability for
9 Applicants while advancing NEIMA objectives.

10 Next slide, please. Here I will highlight key regulatory guidance
11 completed in part under the implementation action plans but is enabling near-
12 term advanced reactor applications.

13 Regulatory Guide 1.233 endorses the licensing modernization
14 project, or LMP. The LMP methodology is risk-informed, performance-based,
15 and technology-inclusive and focuses on key areas of the design and licensing
16 of advanced reactors.

17 While LMP was one approach considered during the
18 development of Part 53 Framework A, it is being leveraged today to support
19 pre-application activities of near-term Applicants such as TerraPower and X-
20 energy.

21 Regulatory Guide 1.232 provides guidance regarding the
22 development of principal design criteria or PDC. Like the light water based
23 general criteria contained in Part 50 Appendix A, the PDC established the
24 necessary design, fabrication, construction, testing, and performance
25 requirements for structures, systems, and components that are important to

1 safety.

2 Guidance regarding the content of application for non-light water
3 Applicants using the LMP approach will be issued in draft form as nine interim
4 Staff guidance documents and one draft Regulatory Guide for public comment
5 as part of the advanced reactor content of application project, or ARCAP.

6 ARCAP encompasses the industry-led technology-inclusive
7 content of application project and when issued, will be available for use by
8 near-term Applicants.

9 The ARCAP guidance will help ensure complete submittals while
10 avoiding unnecessary burden on the Applicant and right-sizing the application
11 commensurate with the complexity of the design.

12 Additional recent guidance supporting advanced reactor
13 applications include updates and supplements in NUREG-1537 addressing
14 non-power reactor molten salt construction permits and interim Staff guidance
15 for light water reactor construction permits.

16 The NRC recognizes the benefits of having a flexible regulatory
17 framework, allowing potential Applicants to select a best-fit path towards
18 regulatory reviews and decisions.

19 In this regard, I'll briefly expand on Omid's reference to the
20 Staff's white paper on applicability of NRC regulations for non-light water
21 reactors.

22 The NRC Staff is gaining notable experience applying this
23 guidance in technology-specific contexts through white papers and topical
24 report reviews from designs from vendors such as Kairos, TerraPower,
25 Westinghouse, and X-energy.

1 The Commission was recently briefed on advanced reactor fuels.
2 I won't go into detail, but I'll just mention here that the recently issued NUREG-
3 2246 on fuel qualification is providing a risk-informed, technology-inclusive
4 framework for assessing fuel performance and developing adequate evaluation
5 and validation parameters.

6 Notably, NEIMA highlighted the need for guidance in this area.
7 The NRC is also working to ensure consensus standards can be leveraged by
8 advanced reactor developers through endorsements in areas such as non-light
9 water reactor probabilistic risk assessment and high-temperature materials.

10 Next slide, please. I will now discuss a few notable
11 accomplishments and reflections from ongoing non-light water licensing reviews
12 starting with the Kairos Hermes construction permit review.

13 Reflections to date reveal that primary factors facilitating the
14 aggressive review schedule were the high quality of the application and
15 Applicant responsiveness to NRC Staff information needs. Substantial pre-
16 application engagement contributed to the high quality.

17 For example, Kairos submitted 11 topical reports on key topics
18 for a first-of-a-kind reactor in areas such as fuel qualification, materials
19 qualification, mechanistic source term, reactor coolant, and principal design
20 criteria.

21 Submission of topical reports during pre-application fostered
22 early meaningful engagement with the ACRS. The Hermes project team
23 arranged to send early drafts of safety evaluation chapters and coordinated
24 design overview briefings to the ACRS.

25 Bernie and Rob mentioned the use of audits. For the Hermes

1 review, the extensive use of audits resulted in numerous timely application
2 updates and an optimized use of RAIs.

3 Finally, I cannot emphasize enough the role of highly skilled
4 experts in a dedicated core team review team structure to review success.
5 You've heard we are innovating in both safety and environmental review areas.
6 I'll add that the comprehensive draft environmental impact statement, or draft
7 EIS, for this application was issued ahead of schedule without compromising
8 thoroughness.

9 Like the safety review, this was enabled in part through
10 successful pre-application preparations and focused audits.

11 Additionally, certain innovative approaches that were developed
12 as part of the Staff's advanced nuclear reactor generic environmental impact
13 statement, or ANRGEIS effort, such as streamlined EIS format were used.

14 Notably, the ANRGEIS features enhanced innovations such as
15 use of technology-inclusive performance-based plant parameter envelope
16 approach and generic evaluation of over 80 percent of environmental issues.

17 If implemented, the ANRGEIS will help further streamline the
18 environmental review process. I will now briefly touch on very early insights
19 from the recently accepted Abilene Christian University molten salt research
20 reactor construction permit review.

21 Again, pre-application engagement ensured the early
22 identification of technical issues needing resolution prior to application
23 acceptance as well as key technical information that is used to risk-inform the
24 review.

25 Pre-application audits served as a forum to discuss attributes of

1 a high-quality application that again are needed to establish aggressive review
2 schedules. Next slide, please.

3 While we are effectively and efficiently reviewing non-light water
4 advanced reactors today, we are also managing and overcoming challenges.
5 Non-light water reactors come in a wide variety of designs, from molten salt to
6 high-temperature gas-cooled, to liquid metal and microreactors.

7 This diversity can pose training and other resource challenges.
8 To manage this, the NRC provides technical Staff with internal and external
9 training and development, supports cross-training between core teams, and
10 promotes cross-office collaboration.

11 As needed, contract support is also pursued. To address
12 uncertainty in application submittal schedules and design changes, the NRC
13 continues to encourage the development of regulatory engagement plans and
14 pre-application engagements including early submission of topical reports and
15 white papers.

16 Lastly, while NRC has the tools and experience to implement
17 novel regulatory infrastructure for first-of-a-kind applications, any new approach
18 inherently comes with unique technical challenges.

19 In this regard, we encourage Staff to be flexible and leverage
20 their knowledge and experience implementing related guidance and
21 approaches in new contexts.

22 Next slide, please. Thank you for your attention, and I'll now turn
23 the presentation back over to Dan.

24 MR. DORMAN: Thank you, Candace.

25 As you've heard, the staff has made tremendous progress

1 towards improving our regulations, guidance, and processes and is ready to
2 license new and advanced reactors and other new technologies under Parts 50
3 and 52.

4 I would like to thank all the panelists today, the Staff who
5 supported the preparations for this Commission meeting, and the Staff who are
6 working to prepare for the future of licensing new and advanced reactors using
7 the current regulatory framework.

8 And the Staff implementing our lessons learned in the ongoing
9 pre-application and licensing activities. Thank you, Chair Hanson and
10 Commissioners, for the opportunity to present today and we now welcome your
11 questions.

12 CHAIR HANSON: Thanks, Dan, and thanks to the rest of our
13 panelists. We'll begin again with Commissioner Wright.

14 COMMISSIONER WRIGHT: Thank you, Chair, and good
15 morning, good presentations, a lot of fruitful discussions so far and I hope it
16 continues on this panel.

17 As I mentioned in my opening remarks and I know you agree on
18 it, I do believe it's important that we're not a barrier to these new technologies if
19 they do meet our reasonable assurance threshold.

20 So, with that, I'm going to go ahead and start. Rob, I've got a
21 question for you. On your Slide 5 you talked about the need to focus on our
22 licensing reviews for those portions of the design with the highest risk and
23 safety significance.

24 I know that's been an Agency goal for a long time and it's one
25 that obviously I support and I know the others do as well. It's how we should be

1 thinking about our reviews.

2 I've also been told that past efforts have shown that it's
3 sometimes harder to do than it looks. And what I mean by that is while we have
4 PRA and other tools to show us which aspects of a design might be of lower
5 safety significance, it can be difficult to tell our reviewers not to spend time in
6 those areas, especially if they start finding problems or maybe the application
7 doesn't contain the level of detail that maybe they expect traditionally.

8 So, with that in mind, can you maybe provide an example of how
9 this philosophy actually played out maybe in one of the recent reviews?

10 MR. TAYLOR: Sure, Commissioner, I agree, we haven't done
11 the job we've desired to do on risk-informing our reviews.

12 So, actually, if I could focus on the lessons learned, what we're
13 going to do here for the NuScale review, since the NuScale representative
14 brought it up. We initiated that audit to do a review of their PRA right at the
15 beginning of the review. So, we have great insights to the core damage
16 frequency sequences for that facility and the large release frequency
17 sequences related to that. We're taking that information, which would be
18 information we would review in Chapter 19 of the application, and at the
19 beginning of the review we're going to use it to define which areas of the review
20 require more in-depth aspects and which require less.

21 And we're going to allocate resources in those areas based on
22 that risk-informing. So, that's taking the risk-informed information and
23 incorporating it into the review focus.

24 When we identify highly challenging issues early, which we didn't
25 do well in the NuScale review, it was a little bit into the review before we started

1 to document the highly challenging issues, we going to identify those on the
2 front end.

3 And then we're going to take the risk insights and ask how are
4 we going to resolve those in the most efficient manner possible and address it?

5 And we may find some are very low risk significance so you can
6 accept less detail in that area because there's no challenge to public health and
7 safety based on the combination of the risk insights and the deterministic.

8 So, we're incorporating the risk aspect right into the review right
9 at the front, defining the scope in-depth that we're going to go into and various
10 areas of the review, and allocating the resources based on that.

11 So, we're going to hold true as issues are identified to asking
12 what's the risk significance of that issue and then tailoring our resolution of it
13 based on that risk insight.

14 COMMISSIONER WRIGHT: Am I understanding you to say that
15 maybe you haven't -- because I guess what I was looking for you to do was to
16 give me some example of where you identified something that was lower safety
17 significance and you therefore decided to focus your resources elsewhere.

18 You're kind of saying it a little bit differently?

19 MR. TAYLOR: Yes. So, I'll give you one from the NuScale
20 review. There was a late design change in the NuScale review related to a
21 boron dilution situation.

22 So, the Staff in looking at that issue, recognizing that the
23 modeling was a challenge for that complex assessment, that the tools weren't
24 perfect for that, went and leveraged risk insights to ask ourselves what was the
25 potential consequences of that situation and what was the likelihood of that

1 situation.

2 And that really shaped how much information did the Staff need
3 to make its finding on that late issue. We were able to disposition that issue
4 without an adverse effect on our schedule for completing the FSER.

5 COMMISSIONER WRIGHT: So, as a follow-up, and Bernie, you
6 might want to chime in on this one as well, the industry has been calling for
7 short review schedules and less resource-intensive stuff, as long as safety is in
8 the box.

9 Have your lessons learned from previous completed reviews
10 identified areas that could be leveraged by the Staff to accommodate their
11 requests like that? And maybe if you have an example that would be nice too.

12 MS. THOMSON: So, the Staff continues to leverage lessons
13 learned from past experiences, engaging in agile approaches we learned. We
14 adjust, we adapt moving forward.

15 I discussed many of the internal changes that we were able to
16 leverage from past reviews in the current NuScale and Hermes going forward.

17 The pre-application engagement to optimize an application
18 review we can use to help get better clarity on applications coming in.

19 Ideally, having early pre-engagement or pre-application
20 engagements clearly in communications clarify the issues or identifies which
21 issues we need to focus on as we go forward.

22 So, Staff continues to use these opportunities to adapt as we
23 learn more, as we progress in the reviews, and apply them in a timely manner
24 so that it can impact the schedule, the budget, but ultimately we get quality
25 product so when it comes in we are managing our resources accordingly.

1 COMMISSIONER WRIGHT: Let me probe there a second. In
2 the first panel the lady from NuScale referred to the fact that sometimes early
3 engagement can be a problem potentially. And recognizing that, because
4 you're nodding your heads, how are we finding that sweet spot?

5 MR. TAYLOR: I'll take a shot at that. Pre-application being
6 voluntary has a span of the level of effort that gets put into it. So, on one
7 spectrum is making presentations to the Staff.

8 That's good, that's helpful, but it's almost always not in sufficient
9 detail to make decisions on resolution of issues in pre-application. It informs
10 the Staff.

11 I agree, starting pre-application seven years before you're going
12 to submit to us is probably not the most efficient because there's almost
13 guaranteed Staff turnover during that.

14 But if you get to white papers and topical reports, the Staff
15 makes conclusions based on that, that can provide clarity and reliability and
16 efficiency to the review at the end.

17 So, what we've seen in recent pre-application and for the next
18 set of Applicants, as Candace kind of mentioned even with Kairos, is we're
19 making decisions based on white papers and topical reports that become to the
20 maximum extent possible settled issues when the application comes in.

21 We don't re-open the book other than to confirm that any
22 limitations and conditions on the topical report were satisfied. So, they take
23 pieces off the table.

24 COMMISSIONER WRIGHT: That's a benefit of a core team?

25 MR. TAYLOR: And the core team is phenomenal.

1 COMMISSIONER WRIGHT: It's the turnover that we heard
2 about, bringing somebody new in who may have to go back to the baseline and
3 start all over again.

4 MR. TAYLOR: But if we've documented those conclusions they
5 have that knowledge management for sure.

6 COMMISSIONER WRIGHT: Thank you. So, there's a lot of
7 work going on to improve Part 50 and 52 and we know that most folks, if not all
8 of them, are going to come in under 50 and 52. We've also heard from some
9 external stakeholders, not all, but given all of that, maybe we may not need Part
10 53.

11 And in NEIMA, Congress challenged us to create a pathway for
12 advanced technologies to get regulatory certainty and get to market and to
13 make it technology-inclusive, performance-based, risk-informed.

14 Can you talk to me a little bit about Part 52 and how this
15 rulemaking is different than Part 53 and whether or not we still need Part 53, or
16 do we need both?

17 MR. TAYLOR: I'll go ahead and take that on. The 50-52
18 rulemaking is taking the existing regulations and trying to enhance those.
19 Those are right, wrong, or indifferent prescriptive regulations.

20 You have requirements for fuel, you have requirements for
21 piping, you have requirements for containment.

22 We're trying to make those as efficient as possible for the
23 licensing process using all the lessons learned that we've got and trying to
24 enhance the tech-inclusivity that they have.

25 So, the goal of that rulemaking is to take those lessons learned

1 and make the process more efficient for those who want to use Part 50 and 52.

2 But we can't fundamentally change the construct of 50 and 52 without a
3 substantial overhaul and that wasn't the direction we initiated on.

4 So, Part 53 being I think one of the most important pieces is that
5 risk-informed, performance-based aspect of it. You're not going to find very
6 prescriptive regulations at each one of those steps.

7 You're not going to find a prescriptive fuel regulation or a
8 prescriptive containment regulation because we have to be open to a variety.
9 So, we try to set higher performance standards and provide more flexibility.

10 I think Part 53 is valuable to do because I think it's a place where
11 we want to get to as an Agency. But I think 50 and 52 should remain viable
12 options for those who want to use it.

13 COMMISSIONER WRIGHT: Ok. Thank you so much.

14 CHAIR HANSON: Thank you, Commissioner Wright.
15 Commissioner Caputo?

16 COMMISSIONER CAPUTO: Good morning, thank you all for
17 being here and thank you all for the work that you've done to prepare today. I
18 know it's quite an effort to be here and I do thank you for putting forward your
19 expertise for us to learn from you.

20 Rob, I'm going to start with you, one of the things that we talked
21 about on the previous panel was the challenge of defining credible event and
22 having clarity with that definition.

23 And one of the lessons learned coming out of NuScale is a
24 reference to a design basis source term event of 3 in 10 billion years.

25 So, can you give me a little more information on just how you are

1 looking at risk-informing the definition and creating clarity, certainty, and
2 reliability around that given the range of designs we anticipate seeing in the
3 future?

4 MR. TAYLOR: I'll acknowledge during the NuScale design
5 certification application we knew what the PRA was. We didn't take and put the
6 tools in place to bring it into the rest of the review to inform, in all cases, our
7 decision-making.

8 Now with the core teams, with the emphasis on the PRA at the
9 front end and integrating it into our review, we'll take and look at those
10 scenarios like you just mentioned, the frequency consequence of those, and
11 say, what do we really need in this case to make our safety finding?

12 So, if we find very unlikely, very low-consequence events that
13 the PRA tells us aren't worth it and have no impact on public health and safety,
14 then we can scale those reviews appropriately relative to that. So I hope that
15 answers your question.

16 COMMISSIONER CAPUTO: A start, but it also raises another
17 question which is the challenge of bringing the PRA that far forward, particularly
18 in the context of a construction permit.

19 So, I'll ask a different question. One of the things that the
20 proposed rulemaking would do is codify several Commission policy statements.
21 I'd like to understand better what problem is being solved here because we
22 definitely heard from TVA and Mr. Nichol about the challenges of trying to use
23 PRA in a construction permit situation.

24 So, has the Staff had difficulties in applying these Commission
25 policy statements that we aren't aware of?

1 MR. TAYLOR: We've done one construction permit in the last
2 four years for SHINE.

3 What the PRA aspect is trying to get to, and maybe I'll clarify
4 something I heard on the prior panel, we recognize that at the construction
5 permit phase, the maturity of the design isn't there for a full-scope PRA.

6 We won't have that level of detail. So, the idea is to get insights
7 from the PRA that can be developed commensurate with the maturity of the
8 design at that point to make sure you identify issues early and you factor them
9 into your review to provide more reliability and clarity in the decisions.

10 So, if you only have 30 percent of the design done at that point,
11 the PRA should be commensurate with the level of the design that's being
12 completed.

13 We're not going to hold Applicants at the construction permit
14 stage to having a full and comprehensive PRA because we know that's not
15 possible.

16 COMMISSIONER CAPUTO: So, how do you give clarity to that?

17 MR. TAYLOR: The PRA can lend insights into what the design
18 basis accidents should be and what the beyond design basis accidents may be
19 needing consideration as part of that, as well as well what safety structures and
20 components might need to be safety-related.

21 COMMISSIONER CAPUTO: I understand the benefit, the
22 question I have is how do you give certainty to how much risk information you're
23 going to require in a construction permit? There's a balance between some risk
24 information that's going to inform some aspects of the application and a full-
25 blown PRA.

1 How does Staff know how much and where to draw that line if
2 the design is 30 percent complete versus 50 percent complete? How are the
3 Staff going to draw that line?

4 MR. TAYLOR: I understand. Candace will help me on this one I
5 think. I think we have a guidance document under development that will help
6 inform this activity. If I'm remembering correct, we're planning to issue it here in
7 a few months.

8 MR. TABATABAI: I can start, Rob. Thank you for that question.
9 Actually, the NRC Staff is being proactive and the Office of NRR they have put
10 together a team who's looking at exactly the same questions.

11 They're working with our potential construction permit Applicants
12 individually to better understand the design, what the level of information for
13 PRA at construction permit stage.

14 So, absent of having guidance, generic guidance, we are right
15 now working individually with the Applicants to come to a common
16 understanding as to expectations.

17 And I think the goal for the light water reactor side of the house
18 is by late summer or early fall this year, to have that guidance out. Candace?

19 MS. DE MESSIERES: Yeah, and maybe I'll add a little bit just
20 from the non-light water perspective. Something that's really exciting about
21 what I do every day is that I get to see this at the front lines.

22 I recently was in a meeting with TerraPower seeing some
23 preliminary information about their PRA and it was actually astounding. It was
24 even more comprehensive than I anticipated at that point and that's during pre-
25 application activities.

1 And so I did want to just mention, and I took a couple notes
2 during some of the other remarks, that we are actually exercising this issue
3 right now as pre-applicants look to use the LMP process for non-light water
4 reactors.

5 So, we are developing guidance in the light water space. I would
6 say there are similar efforts in the non-light water space. In fact, having
7 discussions just this week about trying to identify those main technical issues
8 about expectations at a more tactical level.

9 But I would say, again, at a review level, the Staff looking at
10 these today, it's quite amazing to see this playing out in real time and really
11 demonstrating those early insights, even if they're not reflective of the final
12 design they inform the design.

13 And they're really an active component of the LMP process. So,
14 I just want to offer that a little bit too because we are living it today.

15 COMMISSIONER CAPUTO: Thank you. So, Rob, what other
16 Commission policy statements are you looking to codify in the rulemaking and
17 why?

18 MR. TAYLOR: The other one that comes to mind is a severe
19 accident policy statement to assess and consider severe accidents early in the
20 design of the reactors.

21 We think that's an important piece because in our historical
22 approach to this, we've implemented severe accident regulations after the fact,
23 after plants were designed, and that creates significant costs and regulatory
24 uncertainty.

25 So, doing a look for the severe accidents early and assessing

1 them and what needs to really be there, because most of the time you don't
2 need safety-related equipment for that but you can credit non-safety-related
3 equipment, assessing that and making sure we have clarity on that early in the
4 design to avoid imposing those later.

5 COMMISSIONER CAPUTO: I'm not clear that the safety benefit
6 of that was actually included in the regulatory analysis.

7 MR. TAYLOR: I'd have to go back and look at the regulatory
8 analysis.

9 COMMISSIONER CAPUTO: Ok. Thank you. Ms. Thomson, I'd
10 like to ask you a question about RAIs.

11 RAIs have historically been a huge challenge for the Agency and
12 there is certainly a correlation between the quality of the application and the
13 number of RAIs that the Staff needs to send in order to make the decisions and
14 the safety findings they need to make.

15 So, hopefully the legacy of thousands of RAIs being issued on
16 design certification applications are hopefully behind us.

17 Now, you discussed improving how we are using RAIs, in
18 particular identifying key attributes that every RAI should include, a clear
19 regulatory basis and explanation of safety significance and what information is
20 needed to make a safety finding.

21 This seems reminiscent of an office instruction from the early
22 2000s. Have you revised the office instruction or is this more an effort to bring
23 that more fully into practice among the Staff?

24 MS. THOMSON: Thank you for that question. It is more of an
25 effort to bring it into practice with the Staff.

1 As I discussed, having clearer communications early on, we're
2 able to identify the key components that are needed for the application, identify
3 where the risk areas are, or potentially will be, in that application.

4 And that helps focus the Staff to the safety significant portions
5 that they need to engage a thorough in-depth request for additional information.

6 And it's almost a triage of the issues, those are highly significant.

7 We can get a clearer scripted RAI to get the information that is
8 needed to make a safety finding or to clarify the information the Staff needs.
9 So, the early discussion and we have engaged on developing a better template
10 for RAIs so there is more consistency in how you're asking for the information.
11 So, that coupled with the focused approach gets to a better result.

12 MR. TAYLOR: I'll clarify one thing. In NRO, before we merged
13 the offices, we did overhaul the office instruction and then we merged the
14 offices. We brought the insights from that and did a consolidation of the NRR
15 and NRO office instructions to incorporate those insights and expectations.

16 So, that makes it applicable to the operating reactors and the
17 new reactors.

18 COMMISSIONER CAPUTO: Ok. Great, thank you.

19 MS. THOMSON: I would add that I am post-NRO.

20 CHAIR HANSON: Thank you, Commissioner Caputo.
21 Commissioner Crowell?

22 COMMISSIONER CROWELL: Thank you, Mr. Chair and thank
23 you all for your presentations today. Helpful as always and the work that you
24 and your colleagues do is integral to the success that we all hope to share here.

25 But to do so you need clear direction from the Commission, from

1 leadership in the EDO's office that's clear, consistent, and then having the
2 resources to do those jobs. So, if that's ever not happening, make sure that
3 feedback comes up as well as down.

4 So, Rob, I'm going to start with you -- Mr. Taylor, I'm trying to be
5 more formal in these things but it is awkward to call you Mr. Taylor.

6 MR. TAYLOR: Either is fine by me.

7 COMMISSIONER CROWELL: Obviously, there's extensive
8 experience at the Agency under Part 50 and 52 and I think Part 52 alone,
9 there's been somewhere in the realm of 25-plus permit reviews and approvals.

10 Tell me a little bit more about the biggest lessons we've learned
11 from those 52 reviews, and specifically how we've translated or passed those
12 lessons learned and knowledge on to new employees who may not have been
13 here during those previous reviews?

14 MR. TAYLOR: Thank you for that question. There is a lot that
15 we've learned over the years, I'll emphasize maybe a couple here. I want to
16 talk about the core teams more or the interdisciplinary review teams.

17 We didn't always have a systematic approach to bringing the
18 Staff together and looking at the design holistically. That matrix organization
19 construct that we talked about, that led to Staff doing their work sometimes in
20 silos.

21 So, they look at their work and rightfully they're focused on
22 safety, but they may not have the perspectives from other groups if they don't
23 know to go look for those perspectives.

24 So, I think changing our model for how to do it and putting a core
25 team together that looks at each issue holistically, so as they look at reactor

1 system design, they're asking what the PRA says, they're asking what the
2 materials do, because that shapes what's really necessary in the design for
3 robustness and quality.

4 So, I think that one is incredibly important. Going back to the
5 RAIs discussion we were just having with Commissioner Caputo, we issued a
6 lot of RAIs in those applications before and that was our go-to tool.

7 I'll give you an anecdote here. In Kairos through the use of
8 audits, we issued a single-digit number of RAIs to the Applicant.

9 So, we got through that entire review raising the questions for
10 clarity and context in audits that we would have usually just defaulted to issuing
11 RAIs, and said, okay, do I need anything on the docket related to this or can I
12 reasonably infer from what's already there and have a better understanding of
13 what the words mean?

14 That shapes how many we need, how many RAIs we need,
15 which streamlines the review.

16 COMMISSIONER CROWELL: Can I assume that core team
17 structure you described is what helps when new employees come to the
18 Agency or employees from other parts of the Agency come into NRR or NRO or
19 wherever that they aren't starting from scratch?

20 MR. TAYLOR: It does. Another thing I'll emphasize is we have
21 an advanced reactor training qualification program that we put the Staff through
22 as we bring them on, lots of in-person instruction and education as well as
23 courses on specific advanced reactor technologies so that they understand
24 what the safety basis of those different technologies are so that they're primed
25 to hit the ground running when applications come in.

1 So, we invest a lot in our people to get them ready for the
2 reviews.

3 COMMISSIONER CROWELL: I want to come back to the pre-
4 application engagements for a second because something you said earlier
5 actually concerns me now about this.

6 Recognizing that the scope of pre-application activities is broad
7 and varies from Applicant to Applicant, I think what I heard you say is the value
8 is minimal because of Staff turnover, which isn't a great answer.

9 Please tell me that's not actually the case, because I think the
10 pre-application space is going to be pretty important going forward because
11 we're going to have new players we're dealing with than the traditional ones that
12 have experience here.

13 And so they may not have the ability to come to you with things
14 that are ready for a white paper or a decision. They need some feedback,
15 some brainstorming perhaps even. So, talk me through how that pre-
16 application phase can still be helpful?

17 MR. TAYLOR: I'm sorry if I gave you that impression. We are
18 striving for stability in the review teams and putting and keeping the people
19 experienced in the pre-application engagement on the team and then
20 transitioning them when we develop the charter for each review to the actual
21 review.

22 So, that's an emphasis and a point. I think the challenge comes
23 sometimes that if pre-application is spread over a significant amount of time,
24 there's a lot of dead time for Staff so we have to keep the Staff engaged and
25 working.

1 So, they might be working on multiple projects at the same time.

2 I can't lock one Staff Member down just doing pre-app for one Applicant
3 sometimes because it might be months between submittals and things like that.

4 So, we have to balance that to use our resources efficiently while
5 providing stability in the core teams wherever possible. So, we are
6 emphasizing and actively looking at that because we want the people who
7 made the decisions engaged in the meetings to carry those issues through.

8 They're going to be the most knowledgeable and the most
9 efficient because they'll have a construct to the safety case for that design.

10 COMMISSIONER CROWELL: So, I assume there is some
11 method for memorializing those pre-engagement activities so that when Staff
12 move on or you reassign Staff as needed, a new person can come in and know
13 what was the substance of those pre-application discussions?

14 MR. TAYLOR: Yes, we keep records on all the pre-applications.
15 We get a licensing project plan or regulatory engagement plan from the
16 Applicants and that often defines what they want to accomplish in pre-
17 application.

18 So, as we go through each of those activities, we collect the
19 information and maintain it for new Staff who may need to come onto the
20 project.

21 COMMISSIONER CROWELL: You mentioned working on
22 multiple things at the same time and I want to pick up on that theme but with
23 you, Ms. Thomson.

24 How do you, from your management perspective, balance Staff
25 resource allocation when you have multiple simultaneous applications that need

1 review? I'd say for instance like reactor systems or seismic engineering
2 experts, those are important parts of the review and in short supply sometimes
3 in terms of the expertise.

4 So, how do you balance that? Are you positioned to be able to
5 manage multiple simultaneous reviews on those types of topics?

6 MS. THOMSON: We've been preparing for quite some time for
7 managing applications of this type coming in.

8 We understand each application is going to be unique, so some
9 of the efforts we've undertaken to, as Rob said, balance what we are doing.
10 We routinely monitor changes that are going on in the industry so that we can
11 help streamline and get better estimates of how long things will take to do.

12 Because many of these are a new type of applications coming in.
13 We also look at, as we've discussed, pre-application engagements to get a
14 good idea of what areas are clear, what areas need additional clarity.

15 We've discussed training our workforce, initiatives ongoing at
16 divisional levels to capture information, knowledge transfer, and get that new
17 Staff up to speed so that they can manage when the application comes in or
18 work shifts.

19 We look at collaboration amongst ourselves so that we are better
20 informed, and we can focus more on safety-significant issues. So, when you
21 look at a project, a project is composed of the schedule, you've got the cost,
22 and you've got the quality of it.

23 We engage in communications; we can directly impact quality
24 because that application that comes in is going to be a higher standard.

25 By use of training our Staff we can impact schedules because

1 we have better estimates of what work needs to be done, how long it's going to
2 take to get done, and that impacts our budgeting and out year's budgeting
3 approach.

4 COMMISSIONER CROWELL: Within that context, is there an
5 area of technical expertise that gives you the most concern about not having
6 capacity on when you're faced with simultaneous reviews?

7 MR. TAYLOR: I'll take that, I've done this a few times. Nuclear
8 engineers. It's a highly, highly competitive job market and we're competing with
9 the very vendors and utilities who are preparing those applications and stuff
10 and they're hiring up the nuclear engineers.

11 And so convincing folks to come to the NRC and being
12 competitive with the industry is something we're working on heavily, but we do
13 need to continue staffing up in the nuclear engineering realm because they're
14 going to do the fuels portion of the review, they're going to do the reactor
15 systems portion of the review that are so critical to the overall safety profile.

16 Those are the areas we're going to spend probably more
17 resources on and less in other areas.

18 COMMISSIONER CROWELL: And I think a sense of purpose is
19 something the NRC can offer those folks that is different from our stakeholders,
20 so lean on that.

21 CHAIR HANSON: Thank you, Commissioner Crowell, and
22 thanks to my colleagues, you guys have already plowed a lot of ground, so poor
23 Commissioner Baran. I want to pick up, again, I'm trying to highlight some
24 themes and I want to have a conversation I think, Rob, with you and Bernie
25 about Staff development.

1 A number of folks have already touched on knowledge
2 management. As we bring in new Staff, Rob, you were just talking about
3 nuclear engineers, into the Agency, I want to highlight and recognize and
4 celebrate the substantial work that's been done.

5 Certainly processes are important but my sense is overall culture
6 change in this area around new reactors and the approach to doing these
7 things. Rob, I'll start with you about as new Staff come onboard, that knowledge
8 transfer is happening.

9 How is training and qualification of new Staff happening so that
10 they can slip into those reviews and be effective reasonably soon?

11 MR. TAYLOR: We're investing in that knowledge management
12 and training significantly. So, as new Staff come in to do the reviews there are
13 established qualification programs for technical reviewers, qualification
14 programs for project managers, and they are guided by senior staff and Branch
15 Chiefs who have extensive experience to make sure they understand how the
16 processes work, but also the kind of thinking that we want to have on these
17 reviews.

18 So, we have that opportunity to do it early. The merger of NRR
19 and NRO is bringing some Staff who have worked their lives in NRR into New
20 Reactor Reviews for the first time.

21 So, we're giving them background training on the technologies
22 and the needs relative to doing those kinds of reviews as well.

23 So, we're investing in it with the goal to make sure the Staff is
24 ready to hit the ground running. What we try to do is make sure we have a plan
25 for the Staff that are going to do each review about six months before it comes

1 in.

2 That's when we can say, okay, we know the application is
3 coming, we can start to assign Staff to it, build our core teams out and then
4 make sure those people all have the necessary training, because they might
5 need molten salt reactor training, they might need high-temperature gas-cooled
6 reactor training.

7 And then we make sure they've got that.

8 CHAIR HANSON: Thank you. I think Commissioner Caputo has
9 talked about the importance of understanding the effectiveness of our training
10 qualification and knowledge management efforts. I think I would certainly agree
11 with her about that.

12 Bernie, one of the things you talked about is early identification
13 and elevation. Can you maybe say a little bit more about that and about how
14 that's working and where in the process, what does 'early' in the early
15 identification mean, and what is the elevation piece in that? Can you talk a little
16 bit more about that and how it's working internal to the Staff?

17 MS. THOMSON: Currently on the NuScale review that we've
18 been reviewing, we've employed the opportunity to take the collective
19 knowledge of the Staff and as we're collaborating we will be employing a
20 technical advisor in that review when it comes in.

21 And part of the rationale and the requirements for that position is
22 to work across the Staff and as issues are identified, if the Staff amongst
23 collaboration within themselves are not able to resolve it, it elevates up.

24 And that individual, based on their background, their depth of
25 knowledge, their experience, is able to direct the technical group to a resolution.

1 If they themselves cannot get that resolution, it can continue elevating.

2 So, it's a real-time application of solving the issue as it's
3 identified and working with the Applicant to get the necessary information to
4 resolve it. Again, I mentioned before agile project management, I've got a lot of
5 background in project management.

6 You are using a communications tool to identify the issue and
7 then part of your roles and responsibilities, you know who the solution-maker is.
8 It may not necessarily be a collective at the Staff level, but the Staff informs the
9 decision and that historically is a project management best practice and it
10 works.

11 And that is a method that we are using going forward with the
12 NuScale review because we realized there may be some challenges.

13 MR. TAYLOR: Just real quick, we're in acceptance review on
14 the NuScale and we've identified two potential highly challenging issues. So,
15 the emphasis we're trying to right now with the Staff is to say it's not a bad thing
16 to elevate issues.

17 We want awareness at all levels because management provides
18 some help to make sure we're taking the right risk-informed approach, that we
19 have the right construct for making the decision in accordance with the
20 regulations.

21 What we want to avoid is the churn of the Staff trying to resolve
22 this and not making progress because at that level it just isn't getting resolved.
23 So, we elevate it to push for resolution quickly because we recognize if you let
24 these things linger, they'll consume resources throughout the review and
25 detract from other areas of the review.

1 CHAIR HANSON: That's a great segue, Rob. And Bernie, I'm
2 going to get back to your PMP certification in just a minute because I noticed it
3 in the slides.

4 But before I do, in your presentation, Bernie, two words really
5 jumped out at me when we're talking about the project management and trying
6 to inculcate a project management culture in our reviews.

7 One was visibility and the data and the dashboards and those
8 kinds of things and I think that's absolutely critical. And then you mentioned
9 accountability but I almost wonder if the missing element in there was authority.

10 If project managers absolutely need to have visibility and they
11 need to be held accountable but they also need the authority in a way to
12 enforce -- I don't know what the right word is -- discipline and focus in those
13 reviews.

14 So, do our project managers have that as they're going through
15 this process?

16 MS. THOMSON: From an outside perspective, I've been here
17 about a year now, looking at project management processes within the Agency,
18 it's got the foundational pieces there. A lot of emphasis does have to be put on
19 the accountability piece.

20 Because like I said, a project is essentially three parts and two of
21 those parts affect cost. It's just standard practice.

22 But I think some of the things that we have been doing across
23 the Agency, the use of the dashboards, does highlight clarity and a clear, visible
24 picture of the program and what's going on with it. And that forces
25 accountability.

1 The training aspect, we're training up project managers, there is
2 a project management qualification that they go through.

3 We are using technology, the dashboards, to leverage at the
4 management level, quickly identify trends and how we need to impact or weigh
5 into -- if it's a positive trend, that's good, if it's a negative trend we can weigh in
6 to affect it and change it to a positive impact.

7 I would say this, though, I'll take a chance here to say this, that
8 Lean Six Sigma is an opportunity I think for the organization to holistically look
9 at the processes that it has and streamline to best practices and that we can
10 use to inculcate the culture of the new people coming in.

11 Because we've got to train them anyway and they will be the
12 future of the Agency and they will be closing out some of these projects and
13 programs. So, it's a short circuit method to get the culture engaged in best
14 principles for project management, et cetera.

15 And, yes, I guess I am speaking from a PMP perspective.

16 CHAIR HANSON: I know I'm running out of time but I do want to
17 sneak in one question about that because I'm a PMP drop-out, I took the course
18 but never took the exam and as a former management consultant, Lean Six
19 Sigma, you're kind of singing my song here on some of this stuff.

20 But I did want to ask you how you, as a PMP, project
21 management professional, the value of that for you in your own work and
22 whether that course and that certification is something we should make more
23 widely available to the NRC Staff, either through encouragement, kind of soft, or
24 more formally integrate some of the principles in the project management book
25 of knowledge into our training and qualification courses?

1 MS. THOMSON: So, since I've been here I've been informally in
2 transition with some of those best practices. The overall PMP certification, I'm
3 all in favor of doing it. The key thing that it does is it sets a baseline level of
4 knowledge for all project managers.

5 And when you have that common language, it makes it much
6 easier to resolve issues to transition from various projects easily because you
7 know when you go to something different there's a certain standard that it has
8 ascribed to and you can easily move the knowledge, you can easily transition
9 people across projects.

10 It does require an extensive amount of experience. The test is
11 extremely difficult, but I think the value that you gain from it far outweighs the
12 challenges.

13 When I was at Corps of Engineers before I came here, the
14 process there was you went through a screen to identify and focus a certain
15 group to take that test.

16 Now, if others wanted to do it, that was encouraged but the
17 Agency actually paid for a certain percentage of people to get training. There
18 was like a boot camp or something. I did it the hard way, there was bootcamp
19 and then take the test.

20 And if you passed the test, the Agency paid for it, if you didn't
21 pass the test, you paid for it. So, there was some incentive there to pass the
22 test but what it did was a group would be learned in the best practices and that
23 helped enrich the culture of the organization to take it forward.

24 And the Corps does a lot of projects, billion-dollar, multi-million-
25 dollar projects very similar to what this Agency is doing with these applications.

1

2 From my perspective, it is an investment in the future of the
3 people and the Agency that is well worth it.

4 CHAIR HANSON: Thank you very much, culture change, and
5 thank you, Commissioner Baran, for your patience.

6 COMMISSIONER BARAN: Sure. Thanks, everyone. I think it's
7 been a great discussion. I'll focus my questions on a rulemaking we've talked a
8 fair bit about which is this Part 50-52 rulemaking, to get those parts better
9 prepared for new reactors.

10 I think maybe the piece of it we've talked the most about is PRA.
11 There are dozens of other pieces of this rule and maybe we could cover at
12 least a few of those but let me start with PRA again just to ask on that.

13 There was a fair bit of discussion about the challenge of gauging
14 design maturity and then therefore appropriate PRA maturity at the construction
15 permit stage.

16 Can someone, backing up a little bit, does the Staff see a safety
17 benefit with carrying the Part 52 PRA requirement over into Part 50? And can
18 someone talk about just the overall safety benefit they're seeing for that
19 provision?

20 MR. TABATABAI: Thank you, Commissioner, I can start and
21 others can chime in. Let me just start by saying the purpose of this proposed
22 rule with respect to PRA is to make Part 50 Applicants and Part 52 Applicants
23 treated equally.

24 Right now, as you know, Part 52 Applicants are required to have
25 a PRA, Part 50 Applicants are not required. And the Commission policy applies

1 to all regulatory matters so that is basically the reason for proposing that
2 change.

3 In terms of benefits of PRA, of course, we are talking about risk-
4 informing our reviews with respect to any application and construction permit is
5 basically a licensing process.

6 We understand that of course the design maturity is not
7 developed that much, like a combined license application for instance, not to
8 that level, but an Applicant who comes to the NRC and applies for a
9 construction permit, they know what kind of reactor they want to build.

10 That's the minimum information that's available and that's a good
11 starting point basically. Designs are different and PRA levels could be different
12 obviously.

13 And I think that's the reason why the Staff is working with
14 potential Applicants, to better understand, basically, what the design is and how
15 much information the Applicants could provide by the time they submit their
16 application.

17 And based on my conversation with my colleagues in the
18 Division of Risk Assessment, they don't see any pushback from the Applicants.
19 They are willing to work, they are willing to cooperate with the Staff to come up
20 with a common understanding as to what the expectations are.

21 And I think I would answer that from that perspective. And of
22 course, if you have a PRA at the construction permit stage, by the time you
23 transition to operating license space obviously you would only focus on
24 reviewing the changes from the construction permit to operating license.

25 MR. DORMAN: I just wanted to make an observation. Over the

1 last couple hours I kind of heard what I thought was a paradox, that we wanted
2 to do more risk-informed construction oversight but were not clear on what level
3 of risk the staff is looking for at the construction permit stage.

4 So, I think clarity in what the Staff expects at the construction
5 permit stage is important because I think what the Staff is looking for is risk
6 insights commensurate with the maturity of the design that will help us, A, focus
7 on the most important parts of the application for the construction permit, and
8 then also we can bring that forward and make sure in our oversight we're at the
9 most important items. So, the overarching trend of what we're trying to do over
10 the last five years or so is really this focus on risk insights at the front end of the
11 process, whether it's the licensing or the inspection process and how does that
12 inform our focus on our level of effort as we go forward in the process to be
13 most effective and efficient.

14 So, that's where I think the Staff sees an opportunity for benefit
15 from having risk insights such as are available commensurate with the maturity
16 of the design at that stage of the process.

17 COMMISSIONER BARAN: Great. One issue down, and we've
18 got 60 to go. (Laughter) I'll lower my ambitions.

19 The requirements established after the 1979 Three Mile Island
20 accident were applied to Part 50 construction permit and operating license
21 application pending at that time, as well as future Part 52 design certification
22 and combined license applications.

23 But they were never applied to future Part 50 applications I think
24 because future Part 50 applications weren't anticipated. The Agency thought
25 everyone would use Part 52.

1 The draft proposed rule would address that gap by applying the
2 Three Mile Island requirements to new Part 50 applications. Does anyone want
3 to say anything about the rationale for that provision or the safety requirements
4 or the lack thereof of it?

5 MR. TABATABAI: Thank you. I can start and others can chime
6 in. Post-TMI requirements are applicable to all designs and new reactors and
7 all of them. And along with a proposal to have a construction permit Applicants
8 or Part 50 Applicants to have a PRA available, having done that, many of the
9 TMI action items will become redundant.

10 And as part of this proposal, we are also proposing to remove
11 some of those TMI action items that would become redundant if a CP Applicant
12 would develop a PRA. So, it's a matter of aligning the requirements, getting rid
13 of duplicates.

14 We have duplicate requirements in, let's say, Part 55, for
15 instance of that TMI action items. So, in this rulemaking we are trying to see if
16 we are adding requirements where we can remove the duplicates and things we
17 would not need in proposing this new requirement.

18 MR. TAYLOR: Can I add one thing? We talked so much about
19 lessons learned. The TMI event posed probably the most significant
20 opportunity for lessons learned for the Agency in our entire history.

21 So, the idea of taking those lessons learned and making sure we
22 factor them into reviews just seems to make sense, appropriately factor them in
23 based on the applicability to the technology.

24 So, I really think that's driving a lot of our perspective on this and
25 there's no reason they shouldn't be applicable to certain designs.

1 COMMISSIONER BARAN: Let me ask about a couple potential
2 changes that raised some concerns in my mind. Currently, design certification
3 standard design approvals and manufacturing licenses have a 15-year term.
4 After 15 years they would need to be renewed if they are continue to be used.

5 The draft proposed rule would eliminate the terms for a design
6 certification and standard design approvals and extend the term for a
7 manufacturing license to 40 years. What gives me pause is that we've seen
8 several issues arise with the AP-1000 design certification, these were problems
9 that needed to be fixed.

10 So, they were repeatedly addressed in combined licenses and
11 they were fixed in the design certification renewal. But if the design certification
12 is of unlimited duration, those fixes probably wouldn't have been incorporated
13 into the certified design and we'd have a design codified in the regulations with
14 known issues indefinitely potentially.

15 Does the Staff see that as a disadvantage? And maybe I'll just
16 ask a related question and you can talk about the issue in its totality. I can
17 definitely see an argument that the 15 years is too short, but there are other
18 options besides unlimited duration.

19 My understanding, though, is that Staff didn't really analyze 20-
20 year, or 30-year, or 40-year terms. I could see a 40-year term striking a
21 balance between the current 15-year term and the Staff's concept of an
22 unlimited term, and that would also match the Staff proposal of 40 years for a
23 manufacturing license term.

24 So, I'm interested in your thoughts about whether a 40-year term
25 has any merits?

1 MR. TABATABAI: Yes, actually I would say that the Staff did
2 and did not consider different duration for design certification. We did not look
3 at 20 or 30 or 40 years but the question that we asked ourselves was it worth
4 extending or just eliminating?

5 And we looked at our experience from AP-600 renewal, ABWR
6 renewal, and we realized that it really doesn't matter how long the duration is if
7 nobody is going to reference the design certification.

8 So, there is no actual experienced licensing facility that
9 references the design. So, from that perspective, it makes sense that we keep
10 it open as when somebody comes in to reference those designs, then you can
11 look at if there are changes, if there are errors in them, if there are updates that
12 have to be done.

13 Otherwise, AP-600 and ABWR was just extra burden on the
14 Applicants and the Staff and there is still no other Applicants referencing those.

15 MR. TAYLOR: Commissioner, just to add on Omid's response
16 which was really good, if the Commission wants to put a longer term on it, the
17 Staff would be supportive of that of course.

18 The key is there's a number of certified designs in the
19 appendices that I'm not sure will ever be built.

20 We know nobody wants to build an ABWR in the United States
21 or any ESBWR at this point in the United States. So, we can go through
22 certifications or renewals on any periodicity and address those issues but if
23 there's no plan to build it, have you enhanced safety for the public at that point?

24 So, I think it's a good question, we can do it on a frequency
25 defined by the Commission but we also have to question the effective use of

1 our resources and those licensees' resources as well.

2 COMMISSIONER BARAN: I guess the challenge there is
3 striking the balance on readiness because we don't really know who might
4 come through the door at any time on a certified design and if we haven't done
5 any of the work to make sure the design is where it needs to be, then it does
6 create additional work on the COLs or whatever the vehicle is that comes in.

7 Well, we're dealing with about 60 issues, or 59, but I'll leave it
8 there so we can wrap up. I'll just say that I think this rule, the draft proposed
9 rule, includes some very important safety enhancements.

10 It also includes a lot of lessons learned as we've talked about
11 today that we didn't get to talk about on operator licensing, simulators, fitness
12 for duty, change processes.

13 It's almost like a walk through memory lane of the issues that
14 were encountered and resolved on the AP-1000 sites or with the NuScale
15 design.

16 And I think a lot of those things make a lot of sense and are the
17 kinds of updates that are going to improve the use of Parts 50 and 52 for future
18 Applicants, these near-term Applicants that we have now or will have soon.
19 Thanks.

20 CHAIR HANSON: Thank you, Commissioner Baran, and thanks
21 to all of our panelists, both external and internal this morning. I think we
22 covered a wide breadth of issues as we often do and we also I think in this case
23 ranged from the very high level also to the very detailed. And I found it very
24 illuminating.

25 As we move forward, whether with Part 53 or harmonizing

1 appropriately Part 50 or 52, I hope the Staff stays in close communication with
2 the Commission about -- in addition to the review and policy decisions that you
3 might need from us about any one of those specific proposals - but also about
4 some of the policy statements that are out there that are being incorporated in
5 these, and if there are other kinds of revisitations or whatever that may be
6 needed to enable these kinds of forward-looking regulatory infrastructure that
7 we're trying to build here that I hope you all will be willing to engage us, identify
8 and elevate early and often.

9 With that, we're adjourned, thank you all.

10 (Whereupon, the above-entitled matter went off the record at
11 12:02 p.m.)