

**Official Transcript of Proceedings**  
**NUCLEAR REGULATORY COMMISSION**

Title:                   Advisory Committee on Reactor Safeguards  
                              NuScale Design-Centered Subcommittee  
                              Open Session

Docket Number:     (n/a)

Location:             teleconference

Date:                  Tuesday, February 6, 2024

Work Order No.:     NRC-2701

Pages 1-49

**NEAL R. GROSS AND CO., INC.**  
**Court Reporters and Transcribers**  
1716 14th Street, N.W.  
Washington, D.C. 20009  
(202) 234-4433

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23

DISCLAIMER

UNITED STATES NUCLEAR REGULATORY COMMISSION'S  
ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

The contents of this transcript of the proceeding of the United States Nuclear Regulatory Commission Advisory Committee on Reactor Safeguards, as reported herein, is a record of the discussions recorded at the meeting.

This transcript has not been reviewed, corrected, and edited, and it may contain inaccuracies.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

NUSCALE DESIGN-CENTERED SUBCOMMITTEE

+ + + + +

OPEN SESSION

+ + + + +

TUESDAY, FEBRUARY 6, 2024

+ + + + +

The Subcommittee met via hybrid Video  
Teleconference, at 1:00 p.m. EST, Walt Kirchner,  
Chairman, presiding.

COMMITTEE MEMBERS:

WALTER L. KIRCHNER, Chair

RONALD G. BALLINGER, Member

VICKI M. BIER, Member

CHARLES H. BROWN, JR., Member

VESNA B. DIMITRIJEVIC, Member

GREGORY H. HALNON, Member

JOSE A. MARCH-LEUBA, Member

ROBERT P. MARTIN, Member

DAVID A. PETTI, Member

THOMAS E. ROBERTS, Member

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 ACRS CONSULTANT:

2 DENNIS BLEY

3 STEVE SCHULTZ

4

5 DESIGNATED FEDERAL OFFICIAL:

6 MICHAEL SNODDERLY

7

8 ALSO PRESENT:

9 ANTONIO BARRETT, NRR

10 ANDREW BIELEN, RES

11 ALLYSON CALLAWAY, NuScale

12 KRIS CUMMINGS, NuScale

13 SARAH FIELDS, Public Participant

14 MAHMOUD JARDANEH, NRR

15 STACY JOSEPH, NRR

16 JOSHUA KAIZER, NRR

17 ZHIAN LI, NRR

18 JEFF LUITJENS, NuScale

19 KEVIN LYNN, NuScale

20 SCOTT MOORE, ACRS

21 REBECCA PATTON, NRR

22 ADAM RAU, NRR

23 HAROLD SCOTT, Public Participant

24 GETACHEW TESFAYE, NRR

25 SARAH TURMERO, NuScale

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

TABLE OF CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

Opening Remarks . . . . . 4

Discussion of Subchannel Analysis . . . . . 10

    Methodology and Rod Ejection

    Methodology Topical Reports

Staff's Evaluation of NuScale . . . . . 26

    Topical Reports

Opportunity for Public Comment . . . . . 45

P-R-O-C-E-E-D-I-N-G-S

12:59 p.m.

1  
2  
3 CHAIR KIRCHNER: The meeting will now come  
4 to order. This is a meeting of the Advisory Committee  
5 on Reactor Safeguards, NuScale Design-Centered  
6 Subcommittee. I'm Walt Kirchner, the lead member for  
7 this meeting. Members in attendance today are Ron  
8 Ballinger, Jose March-Leuba, Bob Martin, David Petti,  
9 Greg Halnon, Thomas Roberts, and Charles Brown.

10 Do we have anyone listening in?

11 MR. BLEY: Vesna.

12 MEMBER DIMITRIJEVIC: Yes, I am here. Hi,  
13 good morning.

14 CHAIR KIRCHNER: Welcome, Vesna. Good  
15 afternoon.

16 MEMBER DIMITRIJEVIC: Good afternoon.  
17 Right.

18 CHAIR KIRCHNER: Mike Snodderly is the  
19 Designated Federal Officer for this meeting. The  
20 subcommittee will review the staff's evaluation of two  
21 NuScale topical reports on subchannel analysis  
22 methodology. We are going to review two -- pardon me.  
23 Let me find my place again. The subcommittee will  
24 review the staff's evaluation of two NuScale topical  
25 reports on subchannel analysis methodology and rod

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1       ejection accident methodology.

2               The committee reviewed and commented on  
3       Revision 1 of the subchannel analysis methodology  
4       topical report in 2018 and also on Revision 1 of the  
5       rod ejection methodology topical report back in 2020.  
6       Since that time, NuScale has revised these  
7       methodologies to include a statistical subchannel  
8       analysis methodology that utilizes an approach, a  
9       statistical approach in defining critical heat flux  
10      analysis limits. It is NuScale's intent that a  
11      statistical treatment of uncertainty in certain areas  
12      will reduce some of the conservatisms and treatments  
13      with a defensible basis to provide a better  
14      representation of the actual core physical response.

15              One objective of this meeting is to help  
16      prepare the full committee for its upcoming review of  
17      Chapters 4 reactor and Chapter 15 transient accident  
18      analysis of the NuScale standard design approval  
19      application that includes a power upgrade from 50  
20      megawatts electric to 77 megawatts electric for each  
21      module.

22              The ACRS was established by statute. It  
23      is governed by the Federal Advisory Committee Act  
24      (FACA). The NRC implements FACA in accordance with  
25      its regulations found in Title 10 of the Code of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 Federal Regulations, Part 7. The committee speaks  
2 only through its published letter reports. We hold  
3 meetings to gather information and perform preparatory  
4 work that will support our deliberations at a full  
5 committee meeting.

6 The rules for participation in all ACRS  
7 meetings were announced in the Federal Register on  
8 June 13th, 2019. The ACRS section of the U.S. NRC  
9 public website provides our charter, bylaws, agendas,  
10 letter reports, and full transcripts of our full and  
11 subcommittee meetings, including the slides presented  
12 there. The agenda for this meeting was also posted  
13 there. A portion of this meeting will be closed to  
14 protect NuScale proprietary and export controlled  
15 information pursuant to 5 U.S. Code 552(b)(c)(4).

16 As stated in the Federal Register notice  
17 and in the public meeting notice posted to the  
18 website, members of the public who desire to provide  
19 written or oral inputs to the subcommittee may do so  
20 and should contact the Designated Federal Officer five  
21 days prior to the meeting. A communications channel  
22 has been opened to allow members of the public to  
23 monitor the open portions of this meeting. The ACRS  
24 is now inviting members of the public to use the MS  
25 Teams link to view slides and other discussion

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 material during these open sessions. The MS Teams  
2 link information was placed in the agenda on the ACRS  
3 public website.

4 We have received one set of written  
5 comments from Harold Scott. Those comments have been  
6 distributed to the members, and they have been  
7 provided to the staff at NuScale for awareness. The  
8 comments will be read into the record during the  
9 public comment portion of this meeting and attached to  
10 the transcript. We have not received any additional  
11 requests to make oral statements from members of the  
12 public regarding today's session.

13 Written comments may be forwarded to  
14 Michael Snodderly, today's DFO. There will be an  
15 opportunity for public comment, as well, and we have  
16 set aside ten minutes in the agenda at the conclusion  
17 of the open session of this meeting for comments from  
18 the public listening to the meeting.

19 A transcript of the open portions of the  
20 meeting is being kept, and it is requested that  
21 speakers identify themselves and speak with sufficient  
22 clarity and volume so that they can be readily heard.  
23 Additionally, participants should mute themselves when  
24 not speaking, including their cell phones.

25 And with all of that, we'll take a breath

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 and turn to, proceed with the meeting. And I'll call  
2 on Kris Cummings of NuScale to begin today's  
3 presentations. Kris.

4 MR. CUMMINGS: Great. Thank you very  
5 much. So my name is Kris Cummings. I'm a licensee  
6 engineer with NuScale. I have been with NuScale for  
7 about four years. Prior to that, I have had roles  
8 with test vendors and reactor vendors Holtec and  
9 Westinghouse and have been familiar with these  
10 particular types of analyses in the past.

11 I want to thank the ACRS for having us  
12 here. This is what I consider, in essence, the  
13 kickoff of the ACRS review of the SDA application and  
14 the associated methodologies that support that  
15 application. So thank you for having us here. It has  
16 been a pleasure working with the NRC staff during the  
17 review of this process, and I think we've had some  
18 good dialogue with them during the process and come to  
19 what we feel is a good resolution of the issues and an  
20 approved methodology.

21 I want to note that we took some of the  
22 ACRS's comments from the DCA period under advisement,  
23 and so we submitted these two topical reports about a  
24 year in advance of when we submitted the SDA. So that  
25 allows all of us, the NRC, the ACRS, and ourselves, to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 get, in essence, a methodology approved, you know,  
2 well in advance of the approval of the SDA  
3 application. So we took that advice from the DCA time  
4 to heart.

5 So today we're focused in particular on  
6 the two methodologies that you mentioned and the  
7 changes that we made to those methodologies associated  
8 with the revisions were supplement to these topical  
9 reports. I want to note we will be back again in  
10 front of the ACRS, as you mentioned, for Chapter 4 and  
11 Chapter 15. So we're focused, again, today on the  
12 methodologies that will support the analysis or do  
13 support the analysis in the SDA application.

14 With that, that is my opening comments,  
15 and so what I would like to do is have my colleagues  
16 here that are presenting give an introduction of  
17 themselves. Yes, an introduction.

18 MS. TURMERO: Hi. So my name is Sarah  
19 Turmero. I'm a licensing engineer for NuScale, and I  
20 have been with the company in this position for about  
21 a year and a half. And before coming to NuScale, I  
22 was a reactor engineer at Waterford 3. And I will be  
23 covering the open portion of the statistical  
24 subchannel analysis methodology slides.

25 MEMBER MARCH-LEUBA: The microphones are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 extremely sensitive if you are close to them. They  
2 are more concerned with minimizing background noise,  
3 so do talk into them.

4 MS. TURMERO: Okay. Thank you.

5 MR. LYNN: My name is Kevin Lynn. I'm a  
6 licensing engineer with NuScale. I have been here  
7 almost three years. And prior to that, I was working  
8 in licensing at an operating plant, a BWR operating  
9 plant, and I also have previous licensing experience  
10 with new plants, the Japanese designed the U.S. APWR  
11 that was in process a few years ago and came to the  
12 ACRS several times. So that's my background.

13 MR. LUITJENS: My name is Jeff Luitjens.  
14 I'm in the nuclear fuels group. The last few years,  
15 11 years at NuScale, jumping around from validation,  
16 code development, testing. My background, Ph.D. in  
17 nuclear engineering, focus on CHF, and today I am here  
18 to provide information on the subchannel.

19 MS. CALLAWAY: My name is Allyson  
20 Callaway. I'm the senior manager of nuclear fuels.  
21 I have been at NuScale for 13 years in various  
22 capacities within the fuels and neutronics  
23 organization.

24 MS. TURMERO: So to kick off, I just want  
25 to acknowledge that we are the proud recipient of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 financial assistant awards from the U.S. Department of  
2 Energy and are thankful to identify their support of  
3 our program.

4 And to get started, we're going to start  
5 off with the statistical subchannel analysis  
6 methodology topical report. So for the history of the  
7 statistical subchannel analysis methodology, it starts  
8 with the originally approved subchannel analysis  
9 methodology that was approved by the NRC in December  
10 of 2018 and previously presented to the ACRS in August  
11 and September of 2018. And this was the topical  
12 report that was used for the NuScale US600 design  
13 that's codified in 10 CFR Part 52, Appendix G.

14 And so the statistical subchannel analysis  
15 methodology was submitted in December of 2021, and it  
16 serves as a supplement to the originally-approved  
17 methodology. So the staff performed a review and  
18 audit of the topical report where there was one  
19 request for supplemental information, no requests for  
20 additional information and multiple audit questions.  
21 The topical report was revised during the review  
22 process to address staff feedback and the most recent  
23 revision is Revision 4. That was submitted in  
24 November of 2023.

25 So an overview of the previous subchannel

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 methodology. VIPRE-1 was used for steady state and  
2 transient analysis. The methodology fulfilled the  
3 requirements of VIPRE-1 generic safety evaluation  
4 limitations, and the topical report covered the  
5 methodology application and treatment of uncertainties  
6 where the objective of the topical report was to  
7 provide a methodology to determine fuel thermal  
8 margins, such as critical heat flux and fuel center  
9 line melt.

10 And here on the slide, we have an outline  
11 of the general methodology approach, and we'll be  
12 going over the differences from the original topical  
13 report to the statistical method.

14 So the changes from the original method,  
15 of course, the treatment of uncertainties. There's a  
16 statistical treatment of uncertainties for a set of  
17 parameters instead of a deterministic approach.,  
18 radial and axial nodalization, and axial domain. And  
19 what remains unchanged is the fuel conduction, grade  
20 and frictional losses, cross-flow and mixing, and the  
21 qualification or the validation and applicability of  
22 the topical report.

23 MEMBER MARCH-LEUBA: Number one, we are  
24 going to interrupt you all the time. When you say  
25 statistical analysis of the uncertainties, you mean

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 what is called best estimate plus uncertainty type of  
2 approach where we do kind of a Monte Carlo propagation  
3 of -- can you explain to a member of the public that  
4 doesn't know what you've done what you've done?

5 MR. LUITJENS: Yes. So we're talking  
6 about statistical here. We're focusing just on the  
7 CHF analysis limit, not how subchannel talks to, you  
8 know, the systems code. So it's not a best estimate  
9 plus uncertainty. I would say our overall methodology  
10 is still deterministic. It's just in the CHF analysis  
11 for subchannel we're talking about statistical  
12 treatments.

13 MEMBER MARCH-LEUBA: In the previous,  
14 Revision 2, I don't remember the number, the approved  
15 one, we used bounding uncertainties for every single  
16 pyramid, whereas here, for the CHF, you do a Monte  
17 Carlo type of sampling?

18 MR. LUITJENS: Yes. For a set of those  
19 uncertainties, you know, five or six, we do a Monte  
20 Carlo type uncertainty kind of based on what's the  
21 uncertainty value and what's the distribution  
22 associated with that uncertainty. We do a Monte Carlo  
23 --

24 MEMBER MARCH-LEUBA: The ACRS is here for  
25 the public, so you're talking to, somebody is going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 read this transcript, and they need to understand what  
2 you're saying. So don't assume you're talking to your  
3 professors at university. Assume you're talking to  
4 your students.

5 MEMBER MARTIN: Robert Martin, member.  
6 Treatment of uncertainties specific to systems code,  
7 my understanding is you run thousands of cases with  
8 VIPRE, correct? You can --

9 MR. LUITJENS: So for the systems codes,  
10 those are done deterministically, so we take the  
11 bounding, you know, high flow, low flow. Those get  
12 fed to the subchannel, and we analyze those and get  
13 the limiting value.

14 MEMBER MARTIN: So those parameters are  
15 deterministically treated while the other ones are  
16 sampled --

17 MR. LUITJENS: Correct, yes. So  
18 determining the CHF analysis --

19 MEMBER MARTIN: The deterministic  
20 subchannel is the statistical.

21 MR. LUITJENS: Correct.

22 MS. TURMERO: Okay. And as Jeff had  
23 mentioned, so the statistical subchannel analysis  
24 methodology utilizes the statistical approach into  
25 finding the CHF analysis limit, whereas many of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 aspects of the methodology still use a deterministic  
2 approach. And so our intent of introducing the  
3 statistical treatment of uncertainties was to reduce  
4 some of the overly conservative treatments with a  
5 defensible basis and to provide a better  
6 representation of the physical response.

7 So statistical versus deterministic. For  
8 the deterministic approach, the event analysis input  
9 uncertainties are biased independently in a limiting  
10 direction. And so range of axial and radial power  
11 distributions that's allowed by operations are not  
12 treated statistically. There are variations that  
13 could be from exposure, power, boron concentration,  
14 control rod insertion, axial offset. And so in the  
15 existing methodology, the radial power distribution is  
16 artificially created to preserve the tech spec-allowed  
17 measured radial peaking and minimizing the beneficial  
18 cross flow, and the axial power distribution is  
19 determined for the limiting shape allowed by axial  
20 offset.

21 For the statistical approach, all of the  
22 uncertainties associated with both critical heat flux  
23 correlation and event analysis inputs are  
24 statistically treated and accounted for with a 95-  
25 percent probability at the 95-percent confidence level

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 in order to determine the critical heat flux analysis  
2 limit. And the statistical approach still requires  
3 the use of a critical heat flux correlation, the  
4 approved critical heat flux correlation with a 95/95  
5 design limit.

6 With that, I'll turn it over to Kevin  
7 Lynn.

8 CHAIR KIRCHNER: Okay. You're going to do  
9 a handover. Good. I just want to note the presence  
10 of Member Vicki Bier. And, Sarah, since I have my  
11 mike on, this is -- your previous slide said  
12 actinically created. Perhaps I'm hanging up on the  
13 word. What you're really saying is that, when you  
14 apply the existing approved methodology, you  
15 accurately, not artificially, model what the core  
16 radial peaking is such that it's representative of the  
17 actual conditions. It's not artificially created.  
18 I'm just stumbling over the choice of words there and  
19 not what I believe is what you're actually doing.

20 MR. LUITJENS: Yes, I think that's the  
21 correct interpretation of artificially. What we're  
22 really trying to capture is what do we allow from the  
23 core design aspect to make sure we're capturing what  
24 we could possibly see.

25 CHAIR KIRCHNER: Okay. Artificially

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 created could give one the wrong impression. You're  
2 trying to accurately model what the radial power  
3 distributions is when you conduct your analyses.

4 Okay. Go on.

5 MEMBER MARCH-LEUBA: By artificial, I  
6 guess you mean bounding, right?

7 MR. LUITJENS: Yes. By artificial, we  
8 mean bounding.

9 MEMBER MARCH-LEUBA: So the tech specs is  
10 really what bounds your operation. You may never  
11 reach that solution, but you have tech specifics, you  
12 going to need to be under that or you'll be shut down.

13 Since we are the end of this presentation  
14 and if you can say it in the open session, will this  
15 exercise gain you a 2-percent margin, a 10-percent  
16 margin, a 25-percent margin? Was it worth it? I  
17 mean, if you get into a factor of 500 percent, I would  
18 be worried that you were tweaking too much.

19 MR. LUITJENS: Yes. If you're talking  
20 about the specific application, kind of going back --

21 MEMBER MARCH-LEUBA: Yes. You also might  
22 need to --

23 MR. LUITJENS: So from a sense, we're  
24 actually maintaining the same amount of margin for  
25 different designs.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 MEMBER MARCH-LEUBA: It's the same core.

2 MR. LUITJENS: It's the same core with a  
3 little power upgrade, but we came back and sharpened  
4 our pencils on some of the approaches. We had 5 to  
5 10-percent margin last time. We still have that same  
6 amount of margin this time. So there's not an order  
7 of magnitude change on the margins that we're seeing.

8 MEMBER MARCH-LEUBA: Let me refresh the  
9 question. If you have a core and you are under a  
10 license with your method and with the new method,  
11 what's the change in margin that you calculate? Is it  
12 in the 5-percent range or is it in the 100-percent  
13 range?

14 MR. LUITJENS: Yes, I'd say that's really  
15 hard -- it's hard to get that because you don't have  
16 a limit that's made for that specific methodology, so  
17 it's hard to go back --

18 MEMBER MARCH-LEUBA: Is it a big  
19 difference in your mind?

20 MR. LUITJENS: I would say it would not be  
21 a big difference.

22 MEMBER MARCH-LEUBA: I'm going to  
23 stipulate in the open, this statistical methodology is  
24 well developed and used everywhere. There's nothing  
25 new here. You're just joining the 21st century, as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1       opposed to just doing methods --

2               MR. CUMMINGS:   Yes, Kris Cummings.  I'd  
3       say we came from the 70s to the 90s.

4               MEMBER MARCH-LEUBA:  Yes.  Nothing new --

5               MR. CUMMINGS:  Right.

6               MR. LYNN:  Okay  Thanks, Sarah.  My name  
7       is Kevin Lynn.  I'll be covering the open session for  
8       the rod ejection methodology.  Rod ejection accident  
9       methodology was previously approved as Revision 1 by  
10      the NRC in June 2020, and it was previously presented  
11     to the ACRS at the full committee meeting in March and  
12     the subcommittee meeting in February of 2020.

13              The Revision 1, the approved version, was  
14      used for the NuScale US600 design, which is codified  
15      in 10 CFR 52, Appendix G.  Subsequently, we submitted  
16      Revision 2 in December 2021, and the NRC staff  
17      performed a review and audit of Revision 2.  We had no  
18      RSIs.  We had one RAI with two questions, and then we  
19      had multiple audit questions.

20              So during the course of that interaction  
21      with the NRC staff, we ended up making some changes to  
22      the methodology throughout the process.  And so we  
23      submitted Revision 3 in October 2023, which is the  
24      current revision.

25              The previously-approved version, Rev. 1,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 provided the methodology for modeling the rod ejection  
2 accident, which is the bounding reactivity-initiated  
3 accident in accordance with GDC 28. The rod ejection  
4 is a bit unique compared to other Chapter 15 events.  
5 It has its own phenomenon and time scales that are  
6 looked at, very compressed time scales, as well as its  
7 own unique acceptance criteria. And that sort of  
8 lends itself to having its own special method.

9 The approved method used a combination of  
10 codes and methods, three codes, SIMULATE-3K, NRELAP5,  
11 and VIPRE-01, and it also had a adiabatic fuel model  
12 which was used to perform the calculation for fuel  
13 entropy and temperature using, essentially, a hand  
14 calculation.

15 The acceptance criteria that we used in  
16 Revision 1 was based on Regulatory Guide 1.77, which  
17 was the reg guide at the time, and also from the SRP  
18 in NUREG-0800. And, overall, we provided a  
19 justification for the software, the acceptance  
20 criteria, the applicability, and the treatment of  
21 uncertainties.

22 When we moved into Rev. 2, what were the  
23 changes? Well, the big change was Reg. Guide 1.77 was  
24 replaced with Regulatory Guide 1.236, and that was in  
25 June 2020. So, essentially, just after the old

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 methodology was approved, the new reg guide came out.  
2 And that new reg guide had a change to the PCMI fuel  
3 failure acceptance criteria, so that was sort of the  
4 main driver for why we needed to (audio interference).

5           While we were doing that revision, we  
6 looked it up. There's stuff that we can incorporate,  
7 and one of the things we identified was that the  
8 adiabatic fuel model calculation, the hand  
9 calculation, could be removed and, instead, we could  
10 use VIPRE to perform those calculations of fuel  
11 entropy and temperature.

12           In addition, as you just heard, we were  
13 looking at the statistical analysis for subchannel, so  
14 we wanted to incorporate that, as well. So bringing  
15 that limit and make any changes that we needed to make  
16 to the rod ejection methodology to better talk and  
17 interface with that new method. And then, finally,  
18 changes that were incorporated during the process were  
19 details and justification that we added based on our  
20 interaction with the NRC staff.

21           So we did not change the actual STIMULATE-  
22 3K analysis for uncertainty treatment or the overall  
23 qualification of the method. So, again, the primary  
24 driver was the new regulatory guide. The methodology  
25 itself was not really impacted by the design changes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 we made going from DCA to SDA, and the increase in  
2 power was not really the driver for the change.

3 As far as a summary for our open session,  
4 for the subchannel analysis, the statistical treatment  
5 of uncertainties allows for improved results while  
6 still maintaining an overall robust analysis approach.  
7 And for the rod ejection, we've incorporated changes  
8 from the new reg guide and simplified our analysis to  
9 better work with VIPRE and the new subchannel method  
10 while still maintaining a conservative result.

11 And as Kris discussed earlier, these  
12 methodologies, at this stage we're talking about the  
13 methodologies themselves, but those methodologies are  
14 ultimately used to produce results that are identified  
15 in Chapters 4 and 15 of the NuScale standard design  
16 approval application for US460. Those results will  
17 obviously be coming back to the ACRS when those  
18 chapters are reviewed.

19 MEMBER MARTIN: You don't get off too  
20 easy. NuScale is, fundamentally, a light water  
21 reactor and, clearly, you've --

22 MR. BLEY: Can you use the mike?

23 MEMBER MARTIN: I'm pretty close to the  
24 mike. Fundamentally, you follow NUREG-0800. Early on  
25 in the development of your safety case, you would have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 had to evaluated unique aspects of your design with  
2 respect to NUREG-0800. Is there anything in this  
3 section related to reactivity insertion accidents that  
4 is unique? Anyway, if I can get my composure back, is  
5 there anything unique about reactivity insertion  
6 accidents? As an integral PWR, yes, as an integral  
7 PWR, it's a little bit different regarding the design  
8 in this aspect. I would think it would, in some way,  
9 benefit design change might benefit the likelihood of  
10 such an event. Does that come into your thinking  
11 going into this at all, or you're just pretty much  
12 pushing the button like any LWR on this particular  
13 event?

14 MR. LYNN: Well, I think one unique  
15 aspect, right, being a smaller core and looking at  
16 that certainly factors into it. And I know one  
17 interesting thing, when we went from the uprate for  
18 the power, actually, the benchmarking that was  
19 performed, some of the benchmarking to the SPUR  
20 analysis, for example, actually, when we uprated, the  
21 power level is actually more in line with some of the  
22 experimental data that's out there that was performed.

23 So sort of one unique aspect of being  
24 small and being low power, you know, we're sort of  
25 moving up in the power range and actually bring it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 maybe more in line a little bit with some of those  
2 cases in some of the more operating plants. So that,  
3 you know, change, although it is an uprate, you know,  
4 it sorts of brings us into line with that, but they're  
5 unique aspects.

6 I know that during the previous ACRS there  
7 was some discussion about unique aspects, including  
8 the design of our containment, you know, and the  
9 containment being closer to the vessel than it is in  
10 a operating plant; and, therefore, does that change  
11 anything when it came to rod ejection. But, you know,  
12 we addressed that previously, and so there's nothing  
13 new this time around that would make us revisit that,  
14 no changes that we've made that would make that a  
15 different scenario than it was before.

16 MEMBER MARCH-LEUBA: But, I mean, there's  
17 no change between the approved design and the new  
18 concept, but raw injection can be worse can be worse.  
19 What I'm asking, when we're asking the question about  
20 NUREG-0800, what could be -- 800 tells you take the  
21 worst rod and eject it, right; so, in that case, you  
22 have to do that. But, typically, if I remember  
23 correctly, rods are a lot heavier than typical PWR; is  
24 that correct?

25 MR. LYNN: I don't have the answer to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 that, but I do know that -- Allyson, do you want to --

2 MS. CALLAWAY: Allyson Callaway. You're  
3 asking if the rods are heavier in mass or --

4 MEMBER MARCH-LEUBA: No, no, in the  
5 dollars.

6 MS. CALLAWAY: Because there's fewer, each  
7 ejected rod relative has more worth than a PWR. We  
8 preclude fuel failures still, and so that effectively  
9 limits how much worth can be ejected, and that's all  
10 just controlled through the power-dependent insertion  
11 limits. So the effective worth that's being ejected  
12 is still low.

13 MEMBER MARCH-LEUBA: Because of the --

14 MS. CALLAWAY: Power-dependent insertion.

15 MEMBER MARCH-LEUBA: -- safety controls  
16 over the rods are positioned.

17 MS. CALLAWAY: Right.

18 MEMBER MARCH-LEUBA: Similar to what BWRs  
19 do, correct? They're all worth minimizers.

20 MEMBER ROBERTS: A general question. What  
21 I think I heard -- this is Tom Roberts -- at least  
22 from Jose is that, for the subchannel analysis, this  
23 is basically what many people do. And for the rod  
24 ejection, I think what you said is this is following  
25 the reg guide revision. So would you characterize

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 neither of these topical reports as novel in scope or  
2 innovative in terms of nuclear safety?

3 MR. LYNN: Yes, we would agree.

4 MEMBER ROBERTS: Good. Thank you.

5 CHAIR KIRCHNER: Other members, any  
6 comments, questions --

7 MEMBER MARCH-LEUBA: Since we're in the  
8 open session, I want to put on the record that I  
9 concur with your evaluation that this is a small  
10 evolution. A few more years of learning and tweaking  
11 on the calculations, nothing groundbreaking in my  
12 opinion.

13 CHAIR KIRCHNER: Okay. Then we'll turn to  
14 the staff for their presentation in the open session.  
15 Thank you. Okay. When you're ready. Stacy, are you  
16 leading off? Just pull it closer to you, please.

17 MS. JOSEPH: I'm going to turn it over to  
18 my branch chief, Mahmoud Jardaneh, to give some  
19 opening remarks, and then I'll kick off.

20 MR. JARDANEH: Thank you. Good afternoon,  
21 Chair Kirchner, and good afternoon, ACRS subcommittee  
22 members. I'm Mahmoud Jardaneh, M.J. for short. And  
23 I serve as the branch chief of the New Reactor  
24 Licensing Branch in the Division of New and Renewed  
25 Licenses in NRR. I recently assumed this position and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 look forward to being a member of the team working on  
2 the licensing review of the NuScale US460 design and  
3 engaging with you in this and future NuScale meetings.

4 Thank you for the opportunity today for  
5 the staff to present their review of the NuScale rod  
6 ejection accident and subchannel analysis  
7 methodologies topical reports associated with the  
8 standard design approval application (SDAA). These  
9 two topical reports are the last two of eight topical  
10 reports submitted prior to the application. The  
11 remaining SDAA topical reports are reviewed as part of  
12 the application, and we will inform the ACRS when  
13 their safety evaluation reports are available for the  
14 ACRS.

15 In addition to the safety evaluation of  
16 these topical reports, we have completed the Phase A,  
17 the advanced safety evaluation, without open items for  
18 five SDAA chapters, and advanced safety evaluations  
19 for them will be available for ACRS in the coming few  
20 weeks.

21 In today's meeting, the staff will focus  
22 on the differences from the last time we presented on  
23 the previous revisions of these topical reports that  
24 supported the now-certified NuScale US600 design.  
25 Once again, thank you for the opportunity, and we look

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 forward to a good discussion. Thank you.

2 CHAIR KIRCHNER: Thank you. And, Stacy,  
3 next.

4 MS. JOSEPH: Thank you very much. Thank  
5 you, M.J., and good afternoon, members of the ACRS,  
6 NuScale, colleagues from the NRC, and members of the  
7 public. My name is Stacy Joseph, and I'm a project  
8 manager for the two licensing topical reports that  
9 we're here to discuss today. I'm joined by our lead  
10 PM for the NuScale SDAA review, Getachew Tesfaye, as  
11 well as the staff members from both the Office of  
12 Nuclear Reactor Regulation and the Office of Research,  
13 who contributed to the reviews of the statistical  
14 subchannel analysis methodology and the rod ejection  
15 accident methodology.

16 A discussion on the statistical subchannel  
17 methodology will be led by Joshua Kaizer and Antonio  
18 Barrett from NRR; and for rod ejection, Adam Rau and  
19 Zhian Li will be leading the discussion from NRR,  
20 along with insights from Andrew Bielen from the Office  
21 of Research. Andrew will be joining us virtually  
22 today on Teams and will be presenting during the  
23 closed session.

24 Thank you to NuScale for giving the  
25 overview and the histories of the topical reports that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 we'll be discussing. We'll try not to repeat too much  
2 of what you've already heard today. So in this open  
3 session, I'll quickly run through the time lines for  
4 each of the topical reports, the reviews, and then  
5 Josh and Adam will walk through the regulatory basis  
6 for each of the reports and the conclusions the staff  
7 made at the completion of their reviews.

8           The statistical subchannel methodology was  
9 submitted to the NRC in December 2021 and was accepted  
10 for review after NuScale addressed the staff's request  
11 for supplemental information in April of 2022. The  
12 staff conducted an audit between July 2022 and  
13 December 2023; and, as NuScale previously mentioned,  
14 the topical report was revised during this time period  
15 to address staff feedback. NuScale submitted the  
16 final revision to the topical report just this past  
17 November, and the staff's advanced SER was issued  
18 shortly later.

19           With that, I'll turn it over to Josh  
20 Kaizer.

21           MEMBER MARCH-LEUBA: These four revisions,  
22 were they a consequence of deficiencies that the staff  
23 identified during the review, where there were points  
24 of finding of signs that was not completed and the  
25 extra features, or can you explain why we were not

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 happy with Revision 1?

2 MR. KAIZER: Sure. That's for the NRC  
3 staff. This is my answer to that, and NuScale is free  
4 to jump in and correct me. Everyone does quality  
5 control of their documents a little bit differently,  
6 so, if you're looking at a GE topical report or a  
7 Westinghouse topical report, you can generally expect  
8 to see Rev. 0, it comes in the door. Maybe if there's  
9 a major change to the topical, they might make a Rev.  
10 1. And that is one way to do it.

11 Other people decided to update the topical  
12 report, as information comes in, change the  
13 information in the topical report. A lot of times,  
14 that information would have been in the RAIs, it would  
15 have been in the Dash A version. Everything that we  
16 kind of saw here, there were some areas where we said,  
17 hey, we need more information, but it's really up to  
18 them whether they want to rev the topical, just  
19 provide the information and say, okay, we're going to  
20 attach it at the end of it. And I thought a lot of  
21 this came out of the QA program NuScale uses for its  
22 document generation, so there was nothing, I'd say,  
23 extra special about this topical report that it  
24 required four revisions before it even got there. It  
25 was just this is the way they chose to address the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 information.

2 MEMBER MARCH-LEUBA: So there was no major  
3 deficiency. It was just tweaking.

4 MR. KAIZER: Correct. Okay. So I'll give  
5 the regulatory basis for the statistical subchannel.  
6 It mostly comes from GDC 10 of Appendix A, so,  
7 basically, saying, hey, you need SAFDLs. Critical  
8 heat flux is a SAFDL. This gets a little bit broken  
9 down more in the standard review plan, SRP 4.4, which  
10 talks about the 95/95.

11 I can go into a lot more detail because we  
12 actually did a presentation on this to the staff a  
13 couple of years ago where we tried to track down where  
14 does the 95/95 come from and all that kind of stuff.  
15 But suffice to say, there is this 95/95 requirement,  
16 well, not requirement, but there's 95/95 in the SRP.  
17 Everybody says, yes, we want to satisfy that. And for  
18 direct correlations, it's a little bit more  
19 straightforward when you start to do statistical  
20 stuff. It is a little more challenging, but, like a  
21 lot of people have pointed out, this was a concern and  
22 a challenge that we have long since resolved. I think  
23 the earliest I've seen it used, I thought the topical  
24 was, like, sometime from the 1980s, the late 80s. So  
25 using 95/95 in the statistical sense is something

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 we're very familiar with, especially in DMB.

2           And I wanted to add the staff's  
3 conclusions, we found an acceptable method for  
4 combining all these uncertainties. We did have two  
5 limitations and conditions. The first one was,  
6 basically, saying that your correlation has to be  
7 approved. This was just a carryover from the  
8 original, the NuScale, the subchannel analysis  
9 methodology. It's kind of a general statement you'll  
10 see a lot of times. Any time you see a CHF  
11 methodology, hey, your CHF correlation has to be  
12 approved for the fuel you're using, so that's not that  
13 really big of a deal.

14           The next one, a little bit more complex,  
15 but we just basically said you have a whole bunch of  
16 models in this methodology that NuScale wanted to say  
17 we're going to model this, we're going to capture the  
18 uncertainty of this parameter. We're not really ready  
19 to tell you yet how we're going to do that. And so we  
20 kind of looked through it and said, okay, that's  
21 reasonable, but, before you actually apply this, you  
22 have to tell us how you're going to model this and we  
23 have to approve it. And there's a number of ways we  
24 can do that. We can either approve the equation or we  
25 can approve the direct uncertainty itself. So those

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 were the two conditions, limitations, on the staff's  
2 SER, and that was pretty much the majority of the  
3 review.

4 MEMBER MARCH-LEUBA: Revision number 2 is  
5 more a condition from the first --

6 MR. KAIZER: Yes.

7 MEMBER MARCH-LEUBA: -- license, and then  
8 the second can just --

9 MR. KAIZER: Correct, yes. And there's a  
10 bunch of ways that we can resolve those issues. We're  
11 just saying, hey, these have to be reviewed and  
12 approved by the staff.

13 MEMBER MARCH-LEUBA: It's not really  
14 limiting.

15 MR. KAIZER: Correct.

16 MEMBER MARCH-LEUBA: We need to look at  
17 the test at least once.

18 MR. KAIZER: Yes.

19 MEMBER MARTIN: With statistical methods,  
20 the presentation of information will be a little bit  
21 different from a deterministic presentation of  
22 information. And there might be a tendency to just  
23 kind of globally look at results from thousands of  
24 cases in a statistical sense. Do you still expect or  
25 require that NuScale present some deterministic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 representative type of results of what exists after  
2 95/95, or you'd be satisfied with for just the  
3 statistical presentation of information?

4 MR. KAIZER: I want to ask one  
5 clarification on your question because this is  
6 something that I get into a lot of conversations about  
7 this, and I don't quite understand sometimes when  
8 people use -- to me, the deterministic analysis is any  
9 analysis where you put in the input and you get out  
10 the same output, and a non-deterministic analysis will  
11 literally be if I give my computer code three, one  
12 time I get the number five, one time I get the number  
13 seven.

14 So I have always viewed that even  
15 statistical methodologies are deterministic in nature.  
16 It's just what we're doing is we're feeding them,  
17 instead of a constant, a random variable, and they're  
18 going to give me a different outcome. But if I give  
19 it that same initial input, I get the same thing. So  
20 I want to clarify that when I hear deterministic in  
21 this sense, I'm thinking more of do they have to do,  
22 like, the worst-case scenario type thing.

23 MEMBER MARTIN: No. That's a trick  
24 question, and we're aligned on that perspective.  
25 Deterministic is a term, because of Chapter 15

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 accident analysis in the old school, was truly  
2 bounding in a sense, and we've evolved to a different  
3 approach now.

4 But, yes, I was just really wondering  
5 whether, if an old school reviewer picked it up, would  
6 they recognize it?

7 MR. KAIZER: Well, one of the challenges  
8 with statistical CHF is it's been around for so long.  
9 I mean, you're talking 1980s, so I took over this  
10 position from Tony Attard. I think he started in the  
11 NRC in the mid 90s, so, yes, he would have already  
12 been familiar with that.

13 The other thing about statistical  
14 subchannel is it's not a replacement method, it's an  
15 alternative approach, so we'll talk about their normal  
16 subchannel analysis methodology. And I never thought  
17 of the statistics in it as giving you, I'd say the  
18 major benefit that I feel like you would get from a  
19 statistical LOCA where you're like ranging that break  
20 size. I mean, normally, what you're doing is you are  
21 taking a whole bunch of uncertainties and, instead of  
22 just adding them as straight adders, you're saying,  
23 okay, we can treat these as random variables and  
24 combine their things statistically.

25 So it is a statistical method, but I don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 think of it as something as far afield from a  
2 deterministic one because you're still going to find,  
3 I mean, you're treating the uncertainties  
4 statistically but not --

5 MEMBER MARTIN: I think you're  
6 overthinking my question.

7 MR. KAIZER: Okay.

8 MEMBER MARTIN: An uncertainty is a  
9 tendency with statistical methods that kind of present  
10 the cloud of results, and that is useful to some  
11 extent. But my point about kind of old school  
12 approach is people still kind of want to see, you  
13 know, plots of behavior because the trends give you a  
14 feeling of rate processes and what have you, and, you  
15 know, certainly, an expert analyst gets insight. It  
16 just doesn't come out of a statistical presentation  
17 of, you know, various metrics that might be valuable  
18 to measure against acceptance criteria. But to really  
19 assess as evidence, which, of course, ultimately, all  
20 these analyses are, there needs to be a tangible  
21 event. But when you're running thousands of cases,  
22 it's difficult to do so, so you're really looking for  
23 something representative. In this case, that's  
24 something at the 95/95 confidence probability.

25 As a throwback, I just wouldn't expect it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 to kind of look like a traditional analysis. For  
2 instance, what's difficult, where this kind of comes  
3 from, you know, comparing it to LOCA where they may  
4 only run 59, certainly, you can look at a limiting  
5 case. But in those limiting cases, the samples  
6 themselves, you know, particularly, say, less  
7 important than the more dominant ones, they may not  
8 look right, you know, because they're in the wrong  
9 direction of what might be otherwise considered  
10 conservative.

11 Now, maybe in a case like running  
12 thousands of cases, that would be so much of an issue.  
13 Truly, a 95 case would capture the more bounding  
14 conditions, you know, associated with the major  
15 parameters that you are looking at. So, again, it's  
16 a simpler question. You know, are there, basically,  
17 you know, results that, while they may be, you know,  
18 of one representative event, they're still there, just  
19 to throw back to the old ways these things were  
20 presented in safety analysis reports. I still think  
21 that's value in that. That's my point. There's still  
22 value, as opposed to statistically presenting  
23 information.

24 MR. KAIZER: Okay. I have just a -- is  
25 there a question that I should be answering? The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 reason I'm asking is because, like, this, to me, is a  
2 very interesting topic, as a lot of times things  
3 usually are. And I want to make sure I'm not going  
4 into down a rabbit hole that the ACRS, you guys,  
5 aren't asking us to go down to answer the question or  
6 just accept the comment.

7 MEMBER MARTIN: It's simply an expectation  
8 of content of a safety analysis report. And my  
9 expectation is that it truly looked like an analysis,  
10 even though there is, of course, the statistical  
11 component to it. It should still look like, you know,  
12 here's an event and this was the outcome, these were  
13 trends, inputs in affect, you know, the transient over  
14 time.

15 MR. KAIZER: I think what I would expect  
16 that in the transient analysis that they're  
17 performing, but I don't know if I would necessarily  
18 expect that in the method they would use to generate  
19 the statistical limit.

20 MEMBER MARTIN: That's fine. That's fine.

21 MR. KAIZER: Yes, okay.

22 MEMBER MARTIN: But a reasonable person  
23 coming from the outside picks up the safety analysis  
24 report. They want more than just a --

25 MR. KAIZER: Correct.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 MEMBER MARTIN: -- statistical  
2 presentation of information. They want something that  
3 they understand really from kind of a science,  
4 engineering basis, as opposed to a math based.

5 MR. KAIZER: Correct.

6 CHAIR KIRCHNER: Josh, could you put your  
7 limitations and conditions in number two in some  
8 perspective, given this is an open meeting? There are  
9 numerous equations that are referenced in the  
10 submodels and such. What you're really saying is,  
11 when it comes to applying this methodology in Chapter  
12 15, we are going to go back and review what?

13 MR. KAIZER: Sure. So there are a lot of  
14 input parameters or input variables that impact your  
15 statistical limit, and there's a question of how do  
16 you treat the uncertainty of those. When we say how  
17 do you treat the uncertainty, what equation are you  
18 going to use? Are you going to assume it's normally  
19 distributed, uniform distributed? If you are, what  
20 are the parameters of that distribution? Are you  
21 going to assume there's a linear relationship?  
22 There's a whole bunch of questions.

23 In the initial topical report, NuScale  
24 gave examples of how they would treat those  
25 uncertainties, but they hadn't finalized that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 information yet. So we pretty much said, okay, for  
2 these variables, and I think we listed however many  
3 there were, there was a handful, okay, that you would  
4 have to come in and tell us how you're going to  
5 capture that uncertainty. And there's just a bunch of  
6 different ways to do it. The one way is, well, we're  
7 going to assume a conservatively high or low value.  
8 You can do that, but, if it's statistical, you're  
9 probably going to say, well, we think that this is  
10 going to be normally distributed, and we think this is  
11 the way to determine the mean and this is the way to  
12 determine the variance. We think that it's best to  
13 treat this as a uniform distribution, so here's its  
14 lower limit, here's its upper limit. And that is,  
15 well, I guess, the further details of that number two.

16 CHAIR KIRCHNER: Thank you.

17 MR. KAIZER: If there are no further  
18 questions, I'll turn it over to Adam.

19 MS. JOSEPH: Just quickly. Thanks, Josh.  
20 Stacy Joseph again. The time frame for rod ejection  
21 topical report is similar to that of subchannel.  
22 NuScale submitted Revision 2 of the rod ejection  
23 topical report in December 2021. The staff issued an  
24 RAI and received NuScale's response in September 2022.  
25 The staff performed an audit between April and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 September 2023. And following completion of the  
2 audit, NuScale revised the topical report to address  
3 the feedback from the staff. The staff then completed  
4 the review and issued the advanced SER on January 4th,  
5 2024.

6 Adam.

7 MR. RAU: All right. Thank you, Stacy.  
8 Okay. And so, as NuScale mentioned in their  
9 presentation, the regulatory basis for the rod  
10 ejection accident is GDC 28. It requires an  
11 evaluation of limiting reactivity insertion accidents  
12 for the effect on the reactor coolant pressure  
13 boundary and for core coolability. In NuScale's case,  
14 rod ejection is the limiting accident in their case.

15 So the regulatory guidance for this  
16 accident is given in, primarily, Reg. Guide 1.236.  
17 You know, it was mentioned in their presentation that  
18 this is the new guidance that's come out since the  
19 previous revision of the topical. There's additional  
20 information in SRP 4.2, Appendix B, as well as 15.4.8,  
21 as well.

22 And so the NRC staff conclusions for the  
23 evaluation was that the rod ejection accident analysis  
24 methodology is a systematic methodology for analyzing  
25 this accident. We did place three limitations and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 conditions on the topical report that are primarily  
2 concerned with, if I could draw a trend between them,  
3 I would say articulating the scope of our approval for  
4 this, and I think, hopefully, that comes through as a  
5 through line through the three limitations and  
6 conditions.

7 So the first is related to the  
8 application. So when this is applied, it just states  
9 that applicability needs to be demonstrated. So this  
10 is, you know, a generic methodology that's applied to  
11 a new design that maybe NRC staff hasn't had a chance  
12 to look at yet, and that's just a question that would  
13 have to be answered at that time.

14 So limitation and condition number two.  
15 I know ACRS members had some questions on this, and,  
16 you know, we'll definitely get a chance to talk about  
17 the basis in the closed session. Just to try to say  
18 a bit about it in the open session, I think the  
19 motivation here is that there's a sensitivity to the  
20 axial offset in the code, and so the -- well, again,  
21 trying not to get into too many details in the open  
22 session, we wanted to have a condition reflecting that  
23 saying if this is applied to a design that operates  
24 with control rods inserted for a long period of time  
25 or has a load following scheme that involves this sort

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 of operation, that this is something that should be  
2 addressed and may be outside the scope of staff's  
3 approval.

4 MEMBER MARCH-LEUBA: Your efficient  
5 evaluation that if we allowed 1:53:20 operation, the  
6 uncertainty of the equation will increase because now  
7 you will have the offset, the axial offset, and all  
8 that --

9 MR. RAU: That's right, yes. Not sure if  
10 I say uncertainty or bias or conservatism, but one of  
11 those, something in that family would --

12 MEMBER MARCH-LEUBA: Another thing I  
13 wanted to place on the open session is, in my mind,  
14 there are two extremes. On one extreme, you can  
15 provide a link to the control rod position to the  
16 grade dispatcher and he controls the power of your  
17 reactor at any time he wants. On the other extreme,  
18 you have a power plant that is co-located with solar  
19 and wind, and you know in the middle of the day you're  
20 going to have lower power, and you have a pre-planned  
21 hour of shade during the day. And if you're in that  
22 way, you can probably control the power with boron,  
23 and it wouldn't cause such problems. And that's the  
24 most likely one.

25 So I understand what limitations are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 there. And if you decide to do load following, come  
2 talk to me and we'll decide if it's okay. Most  
3 likely, it will be reprogrammed during the day and  
4 many plants are doing that already.

5 MR. RAU: Yes. And, you know, hopefully,  
6 we provided enough in the SE and the condition itself  
7 that, you know, if that comes into a future reviewer,  
8 they'll understand where we --

9 MEMBER MARCH-LEUBA: It's good, like, in  
10 the SRP in NUREG-0800 you provided hints to the future  
11 reviewers, which might be younger 20 years from now to  
12 look for. My principle concern is if it's placing an  
13 undue burden on NuScale because we are limiting them  
14 to bystanders and say, well, we won't bother when  
15 maybe you can do it.

16 MR. RAU: Yes, that makes sense. The  
17 third limitation condition is just recognition that  
18 the NRC staff considered some of the methodologies  
19 cited in the topical report to be integral parts of  
20 the methodology, so that particular nuclear analysis  
21 methods that were cited, as well as the subchannel  
22 methodology, you know, played into our review. And so  
23 if these were to, you know, if you were to try to  
24 change these out, we would consider this a change to  
25 the methodology itself.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1                   With that, I will turn it back over to  
2 Stacy.

3                   CHAIR KIRCHNER:           Members, further  
4 questions, statements, comments? I note for the  
5 record I detected Dennis Bley, our consultant, and  
6 Steve Schultz also are participating today.

7                   So then thank you. At this juncture, I  
8 think we'll change to, turn to public comments. And,  
9 with that, we have Harold Scott, I see, on our screen.  
10 Good afternoon, Harold. Since you already submitted  
11 a comment, do you wish to make any public statement?  
12 You have to unmute yourself.

13                  MR. SNODDERLY: Well, I think Harold did  
14 request that someone, and I can do it for you --

15                  CHAIR KIRCHNER: We can read it.

16                  MR. SNODDERLY: Yes, that we would read it  
17 for Harold, and then we'll follow up and see if --

18                  CHAIR KIRCHNER: Okay. So, Harold, I'm  
19 going to ask Mike Snodderly, the Designated Federal  
20 Official, to read your comments into the record.

21                  MR. SNODDERLY: Thank you, Chair Kirchner.  
22 This is Mike Snodderly. This is an email that we  
23 received yesterday, Monday, February 5th, from Harold  
24 Scott. It reads as follows: My topic is amount of  
25 proprietary marking redaction. Can you or another NRC

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 staff read out this message during public comment  
2 period NuScale meeting? I have trouble speaking.  
3 What is it about plots of computer code output that  
4 makes them proprietary? I think the public would find  
5 value in seeing explicit margins. I would appreciate  
6 ACRS members considering if the topic is a concern to  
7 be raised with the commissioners. Thanks for  
8 listening.

9 That was the end of the email. This email  
10 will also be included in the official transcript.

11 CHAIR KIRCHNER: Now it's our, not policy  
12 but practice, I think, is more accurate to say that  
13 the committee doesn't respond in realtime. We address  
14 comments raised by the public and usually include them  
15 in our considerations for a letter. In this  
16 particular case, though, I just would observe that the  
17 committee in the past, as a general practice, has  
18 encouraged all applicants to make as much material  
19 publicly available as supports their safety case, and  
20 we've had numerous interactions over the last years  
21 with applicants to encourage them to do so.

22 So, Harold, your comment is duly noted.  
23 It is not in our control to decide what is proprietary  
24 or not, but it is in our, I think, the committee's  
25 interests to encourage all applicants to make as much

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309



1 of their safety case publicly available, and that  
2 would include such detailed plots as you were asking  
3 for.

4 MR. SCOTT: Thank you very much. Thank  
5 you. So thank you very much. Thank you.

6 CHAIR KIRCHNER: Thank you, Harold. Are  
7 there any other members of the public or those present  
8 here in the room who wish to make a comment? Please  
9 come forward or unmute your line and identify yourself  
10 and affiliation, as appropriate, and make your  
11 comment. Sarah. Okay, Sarah. Go ahead.

12 MS. FIELDS: Yes, this is Sarah Fields  
13 with Uranium Watch in Moab, Utah. To follow up on Mr.  
14 Scott's email comment, I found recently that large  
15 sections of applications related to so-called advanced  
16 reactors and also the NuScale small modular reactor  
17 project that you're reviewing now, they're just  
18 redacting. You look at an application, you look at a  
19 submittal, and most of it is redacted. So I think  
20 information that used to be readily available to the  
21 public is now being redacted.

22 So if you're under the illusion that the  
23 industry is making everything available possible  
24 available to the public, you're mistaken. All this  
25 stuff is just missing. Thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 CHAIR KIRCHNER: Thank you, Sarah. Any  
2 further comments?

3 MEMBER MARCH-LEUBA: Yes. Mine is related  
4 to this, too.

5 CHAIR KIRCHNER: Okay. This is Member  
6 March-Leuba.

7 MEMBER MARCH-LEUBA: One consideration  
8 that we need to have here is the export control is  
9 often more restricted on proprietary measures, and all  
10 of this, the science, are on export control. And if  
11 you release this information, you can go to jail much  
12 easier. Proprietary, NuScale can sue you. But if you  
13 release export control information, you can go to  
14 jail. So people are more careful because of that.

15 CHAIR KIRCHNER: Thank you. Further  
16 comments from the public?

17 MR. SNODDERLY: Excuse me, Chair Kirchner.

18 CHAIR KIRCHNER: Yes.

19 MR. SNODDERLY: If I could add, Ms.  
20 Fields, this is Mike Snodderly from the ACRS staff.  
21 You might find it interesting, if you look at the  
22 recent Revision 1 to the publicly-available non-  
23 proprietary version of Chapter 15, accident analysis,  
24 and Section 15.4 on the rod ejection accident, there  
25 is the description of the sequence of events and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1716 14th STREET, N.W., SUITE 200  
WASHINGTON, D.C. 20009-4309

1 results that may give you, you may find them of  
2 interest. So there are more results that are  
3 available concerning the rod ejection accident  
4 interview he publicly-available FSAR chapter. And if  
5 you have trouble finding that, Sarah, you have my  
6 email and I can help you find that.

7 MS. FIELDS: I was talking generally, not  
8 specifically about this issue that you're discussing  
9 today. I'm talking generally about applications.

10 MR. SNODDERLY: Okay. Thank you for the  
11 clarification.

12 CHAIR KIRCHNER: Thank you. Not hearing  
13 further comments, we are going to take a short break  
14 here and go into a closed session with a different  
15 Teams link. And those that need to know to  
16 participate will have access to that Teams link. And  
17 with that, we are on a break for 15 minutes. It is  
18 currently five minutes after two. We'll take a break  
19 until 2:20 Eastern Time.

20 (Whereupon, the above-entitled matter went  
21 off the record at 2:03 p.m.)  
22  
23  
24  
25

January 25, 2024

Docket No. 52-050

U.S. Nuclear Regulatory Commission  
ATTN: Document Control Desk  
One White Flint North  
11555 Rockville Pike  
Rockville, MD 20852-2738

**SUBJECT:** NuScale Power, LLC Submittal of Presentation Materials Entitled “Statistical Subchannel Analysis Methodology and Rod Ejection Accident Methodology Topical Reports, ACRS Open Session,” PM-154736, Revision 0 (Open Session)


The purpose of this submittal is to provide presentation materials to the NRC for use during the upcoming Advisory Committee on Reactor Safeguards (ACRS) NuScale Subcommittee Meeting on February 6, 2024. The materials support NuScale’s “Statistical Subchannel Analysis Methodology” and “Rod Ejection Accident Methodology” topical reports of the NuScale Standard Design Approval Application.

The enclosure to this letter is the nonproprietary version of the presentation entitled “Statistical Subchannel Analysis Methodology and Rod Ejection Accident Methodology Topical Reports, ACRS Open Session.”

This letter makes no regulatory commitments and no revisions to any existing regulatory commitments.

If you have any questions, please contact Wren Fowler at 541-452-7183 or [sfowler@nuscallepower.com](mailto:sfowler@nuscallepower.com).

Sincerely,



Tom Griffith  
Manager, Licensing  
NuScale Power, LLC

Distribution: Mahmoud Jardaneh, NRC  
Getachew Tesfaye, NRC  
Mike Snodderly, NRC

Enclosure: “Statistical Subchannel Analysis Methodology and Rod Ejection Accident Methodology Topical Reports, ACRS Open Session,” PM-154736, Revision 0 (Open Session)

**Enclosure:**

“Statistical Subchannel Analysis Methodology and Rod Ejection Accident Methodology Topical Reports, ACRS Open Session,” PM-154736, Revision 0 (Open Session)



# Statistical Subchannel Analysis Methodology and Rod Ejection Accident Methodology Topical Reports

February 6, 2024

## ACRS Open Session

# Acknowledgement and Disclaimer

This material is based upon work supported by the Department of Energy under Award Number DE-NE0008928.

This presentation was prepared as an account of work sponsored by an agency of the United States (U.S.) Government. Neither the U.S. Government nor any agency thereof, nor any of their employees, makes any warranty, express or implied, or assumes any legal liability or responsibility for the accuracy, completeness, or usefulness of any information, apparatus, product, or process disclosed, or represents that its use would not infringe privately owned rights. Reference herein to any specific commercial product, process, or service by trade name, trademark, manufacturer, or otherwise does not necessarily constitute or imply its endorsement, recommendation, or favoring by the U.S. Government or any agency thereof. The views and opinions of authors expressed herein do not necessarily state or reflect those of the U.S. Government or any agency thereof.

# Statistical Subchannel Analysis Methodology, TR-108601-P

Supplement 1 to “Subchannel Analysis Methodology,” TR-0915-17564-P-A, Rev. 2



## Statistical Subchannel Analysis Methodology – History

- “Subchannel Analysis Methodology,” TR-0915-17564-P-A, Rev. 2
  - Approved by NRC in December 2018 and previously presented to ACRS
    - August 24, 2018 subcommittee meeting
    - September 6, 2018 full committee meeting
  - Used for the NuScale US600 design codified in 10 CFR 52 Appendix G
- “Statistical Subchannel Analysis Methodology,” TR-108601-P, Rev. 0 submitted in December 2021
  - Serves as a supplement to TR-0915-17564-P-A, Rev. 2
- NRC staff performed review and audit of TR-108601-P
  - One request for supplemental information (RSI)
  - No requests for additional information (RAIs)
  - Multiple audit questions
- TR-108601-P was revised during the review to address NRC staff feedback
- Current revision is TR-108601-P, Rev. 4 – submitted November 2023

## Overview of Previous Subchannel Methodology in TR-0915-17564-P-A, Rev. 2

- VIPRE-01 used for steady-state and transient analysis
- Methodology fulfills requirements of VIPRE-01 generic safety evaluation report (SER) limitations
- Methodology application and treatment of uncertainties
- Objective: critical heat flux (CHF) and fuel centerline melt
- General methodology approach:
  - Input uncertainties treated deterministically; no credit for statistical randomness
  - Conservative basemodel development
  - Generic cycle-independent radial power distribution
  - Bounding axial power shapes
  - Detailed radial and axial nodalization evaluations
  - Detailed checklist to ensure compliance with method

## Subchannel Methodology Changes in TR-108601-P

- Changes from TR-0915-17564-P-A, Rev 2:
  - Treatment of uncertainties – statistical for a set of parameters instead of deterministic approach
  - Radial nodalization
  - Axial domain
  - Axial nodalization
- Unchanged:
  - Fuel conduction
  - Grid and frictional losses
  - Cross-flow and mixing
  - Qualification (validation and applicability)
- The Statistical Subchannel Analysis Methodology utilizes a statistical approach in defining the CHF analysis limit; but, many aspects of the methodology continue to employ a conservative deterministic approach (e.g., axial and radial power profiles)
- The intent of introducing a statistical treatment of uncertainties in certain areas was to reduce some of the overly conservative treatments with a defensible basis and to provide a better representation of the physical response

## Subchannel Methodology: Statistical vs. Deterministic

- **Deterministic:** Event analysis input uncertainties (power distributions, boundary conditions, tolerances, etc.) are biased independently in the limiting direction
  - Range of axial and radial power distributions allowed by operations not treated statistically
  - Variations possible from: exposure, power, boron concentration, control rod insertion, axial offset, etc.
  - As in existing approved methodology:
    - Radial power distribution: Artificially created to preserve measured Technical Specification allowed radial peaking and minimize beneficial cross-flow in analysis
    - Axial power distribution: Search performed for limiting shape allowed by axial offset
- **Statistical:** All uncertainties associated with both CHF correlation and event analysis inputs are statistically treated in order to determine the CHF analysis limit
  - Statistical approach accounts for all uncertainties with a 95% probability at the 95% confidence level
  - Statistical approach continues to require use of an approved CHF correlation with a 95/95 design limit

# Rod Ejection Accident Methodology, TR-0716-50350-P

## Rod Ejection Accident Methodology – History

- “Rod Ejection Accident Methodology,” TR-0716-50350-P-A, Rev. 1
  - Approved by NRC in June 2020
  - Previously presented to ACRS
    - February 19, 2020 subcommittee meeting
    - March 5, 2020 full committee meeting
  - Used for the NuScale US600 design codified in 10 CFR 52 Appendix G
- TR-0716-50350-P, Rev. 2 submitted in December 2021
- NRC staff performed review and audit of TR-0716-50350-P
  - No RSIs
  - One RAI with two questions
  - Multiple audit questions
- TR-0716-50350-P was revised during the review to address NRC staff feedback
- Current revision is TR-0716-50350-P, Rev. 3 – submitted October 2023

## Overview of Previous Rod Ejection Methodology in TR-0716-50350-P-A, Rev. 1

- Methodology for modeling rod ejection accident (REA)
- Bounding reactivity initiated accident (RIA) from General Design Criteria (GDC) 28
- REA is unique in comparison to other Chapter 15 events
  - Phenomena, time-scales, acceptance criteria, methods
- Combination of codes and methods:
  - SIMULATE-3K: Transient nuclear physics simulations
  - NRELAP5: Transient systems thermal-hydraulics
  - VIPRE-01: Transient detailed core thermal-hydraulics
  - Adiabatic Fuel Model: Conservative analytical model of fuel enthalpy and temperature
- Unique acceptance criteria from Regulatory Guide (RG) 1.77, NUREG-0800
- Justification for software, acceptance criteria, applicability, and treatment of uncertainties

## Rod Ejection Accident Methodology Changes

- Changes from TR-0716-50350-P-A, Rev. 1:
  - Replacement of RG 1.77 with RG 1.236 (issued in June 2020)
  - Change to pellet clad mechanical interaction (PCMI) fuel failure acceptance criteria from RG 1.236
  - Calculation of fuel enthalpy and temperature via VIPRE-01 instead of adiabatic fuel model
  - Subchannel statistical analysis limit
  - Other minor changes to accommodate updated statistical subchannel method
  - Incorporate content from previous RAIs and add new detail, justification, and explanation to address NRC staff questions during review
- Unchanged:
  - SIMULATE-3K analysis and uncertainty treatment
  - Qualification (validation and applicability)
- Primary driver of the revision was the new RG 1.236
- REA method effectively not impacted by design changes
  - Increase in power was not a driver of the changes



## Summary and Conclusions

- Subchannel:
  - Statistical treatment of uncertainties allows for improved results while maintaining overall robust analysis approach
- Rod ejection:
  - Incorporate changes from RG 1.236 issuance
  - Simplify analysis structure to use VIPRE-01 for fuel calculations
  - Interface with updated subchannel method
- Improvements in methods while maintaining conservative results
- Results from calculations utilizing these methodologies are contained in Chapters 4 and 15 of the NuScale standard design approval application (SDAA) for the US460 design

# Acronyms

ACRS	Advisory Committee on Reactor Safeguards
CFR	Code of Federal Regulation
CHF	Critical Heat Flux
GDC	General Design Criteria
NRC	Nuclear Regulatory Commission
PCMI	Pellet Clad Mechanical Interaction
RAI	Request for Additional Information
REA	Rod Ejection Accident
RG	Regulatory Guide
RIA	Reactivity Initiated Accident
RSI	Request for Supplemental Information
SDAA	Standard Design Approval Application
SER	Safety Evaluation Report

Presentation to the ACRS Subcommittee  
Staff Review of NuScale Topical Reports

TR-108601-P, REV 4,  
“STATISTICAL SUBCHANNEL ANALYSIS METHODOLOGY,  
SUPPLEMENT 1 TO TR-0915-17564-P-A, REVISION 2,  
“SUBCHANNEL ANALYSIS METHODOLOGY””  
&  
TR-0716-50350-P, REV 3,  
“ROD EJECTION ACCIDENT METHODOLOGY”

February 6, 2024  
(Open Session)

---

# NRC Technical Review Areas/Contributors

- **Statistical Subchannel Analysis Methodology**

  - Rebecca Patton (BC), Reactor Systems NRR/DSS/SRNB

  - Antonio Barrett, NRR/DSS/SRNB

  - Joshua Kaizer, NRR/DSS/SFNB

  - Peter Lien, RES/DSA/CRAB II

- **Rod Ejection Accident Methodology**

  - Rebecca Patton (BC), Reactor Systems NRR/DSS/SRNB

  - Zhian Li, NRR/DSS/SRNB

  - Ryan Nolan, NRR/DSS/SRNB

  - Adam Rau, NRR/DSS/SNSB

  - Andrew Bielen, RES/DSA/FSCB

- **Project Managers**

  - Stacy Joseph, TR PM

  - Getachew Tesfaye, Lead PM

---

# SSAM Staff Review Timeline

- NuScale submitted its Topical Report (TR) TR-108601-P, Rev 0 on December 30, 2021 (ML21364A133) as supplemented by letters dated April 25, 2022 (ML22115A222) and December 13, 2022 (ML22347A314).
- Staff performed an audit between July 13, 2022 and September 27, 2023 (ML23295A001).
- Following the audit, NuScale submitted Revisions 3 and 4 on October 12, 2023 (ML23285A341) and November 6, 2023 (ML23285A341) of the TR.
- Staff issued the Advanced Safety Evaluation Report (SER) on November 6, 2023 (ML23277A007)

---

# SSAM Regulatory Basis

- General Design Criterion 10, “Reactor design,” of Appendix A

*The reactor core and associated coolant, control, and protection systems shall be designed with appropriate margin to assure that specified acceptable fuel design limits are not exceeded during any condition of normal operation, including the effects of anticipated operational occurrences.*

- Standard Review Plan, Section 4.4, “Thermal and Hydraulic Design”.

*..there should be a 95-percent probability at the 95-percent confidence level that the hot [fuel] rod in the core does not experience a DNB [departure from nucleate boiling] or boiling transition condition during normal operation or AOOs.*

---

# SSAM Staff SER Conclusions

- The SSAM is an acceptable methodology to calculate the margin to fuel thermal limits such as the critical heat flux ratio through a statistical combination of the uncertainties.
- There were two limitations and conditions:
  1. An applicant referencing [the SSAM] in the safety analysis must also reference an approved CHF correlation which has been demonstrated to be applicable for use with [the NSAM]. (Carry over from NSAM)
  2. The SSAM relies on multiple submodels to calculate the statistical critical heat flux analysis limit. While some of these submodels have been reviewed and approved as part of the NRC staff's review and approval of the SSAM, the submodels listed in the SER would need to be reviewed and approved before the application of this methodology for a licensing analysis.

---

# Staff Review Timeline

TR-0716-50350-P, Rev 3  
“Rod Ejection Accident Methodology”

- NuScale submitted its Topical Report (TR) TR-0716-50350-P, Rev 2 on December 21, 2021 (ML21351A400).
- NuScale supplemented its submittal by letter dated, September 14, 2022 in response to requests for additional information (RAI), RAI No. 9936 from the NRC staff.
- Staff performed a limited scope audit between April 19, 2023 and September 27, 2023 (ML23295A001).
- Following the audit, NuScale submitted Revision 3 of the TR on October 20, 2023 (ML23293A292)
- Staff issued the Advanced SER on January 4, 2024 (ML23310A166)



---

# Regulatory Basis

- General Design Criterion 28, “Reactivity Limits,” of Appendix A

*Criterion 28—Reactivity limits. The reactivity control systems shall be designed with appropriate limits on the potential amount and rate of reactivity increase to assure that the effects of postulated reactivity accidents can neither (1) result in damage to the reactor coolant pressure boundary greater than limited local yielding nor (2) sufficiently disturb the core, its support structures or other reactor pressure vessel internals to impair significantly the capability to cool the core. These postulated reactivity accidents shall include consideration of rod ejection (unless prevented by positive means), rod dropout, steam line rupture, changes in reactor coolant temperature and pressure, and cold water addition.*

- Standard Review Plan Sections 4.2 and 15.4.8 and Regulatory Guide 1.236, “Pressurized-Water Reactor Control Rod Ejection and Boiling-Water Reactor Control Rod Drop Accidents” for reactivity-initiated accidents.

---

# Staff SER Conclusions

- TR-0716-50350 P, Revision 3 provides a systematic methodology for performing rod ejection accident (REA) analysis subject to the following limitations and conditions:
  1. An applicant or licensee referencing this report is required to demonstrate the applicability of the REA methodology to the specific NPM design. The use of this methodology for a specific NPM design requires the NRC staff review and approval of the applicant or licensee determination of applicability.
  2. The REA methodology is limited to evaluation of REAs for fuel that has not experienced significant depletion with control rods inserted, such as from non-baseload operation.
  3. The staff's approval is limited to the use of the rod ejection methodology with TR-0616-48793-P-A, Revision 1 (Reference 14), "Nuclear Analysis Codes and Methods Qualification," and TR-108601-P, Revision 4 (Reference 13), "Statistical Subchannel Analysis Methodology, Supplement 1 to TR-0915-17564-P-A, Revision 2, Subchannel Analysis Methodology."

---

**Questions/comments from members  
of the public before the closed  
session starts?**

**From:** [Harold Scott](#)  
**To:** [Michael Snodderly](#)  
**Subject:** [External\_Sender] public comment for 2/6/24 ACRS SC  
**Date:** Monday, February 5, 2024 12:14:24 PM

---

My Topic is **amount** of proprietary marking (redaction)

can you or another NRC staff read out this message during public comment period NuScale meeting ? I have trouble speaking

What is it about plots of computer code output that makes them proprietary ?

I think the public would find value in seeing the explicit margins

I would appreciate ACRS members considering if the topic is a concern to be raised with the Commissioners.

Thanks for listening