

UNITED STATES OF AMERICA

U.S. NUCLEAR REGULATORY COMMISSION

MEETING WITH THE ADVISORY COMMITTEE ON
REACTOR SAFEGUARDS (ACRS)

DECEMBER 6, 2012

9:30 A.M.

TRANSCRIPT OF PROCEEDINGS

Public Meeting

Before the U.S. Nuclear Regulatory Commission:

Allison M. Macfarlane, Chairman

Kristine L. Svinicki, Commissioner

George Apostolakis, Commissioner

William D. Magwood, IV, Commissioner

William C. Ostendorff, Commissioner

APPEARANCES

ACRS Members:

Dr. Sam Armijo
Chairman

Mr. John W. Stetkar
Vice Chairman

Dr. Michael T. Ryan

Dr. Stephen P. Schultz

1 P R O C E E D I N G S

2 CHAIRMAN MACFARLANE: Okay. All right, so this morning, the
3 Commission will be briefed by the Advisory Committee on Reactor Safeguards.
4 And I'd like to start off by thanking the committee members for their service. We
5 very much appreciate all your insights, and I know that you are quite a revered
6 body here at the NRC. The committee represents an impressive array of
7 knowledge and experience, which they bring to bear in advising the Commission
8 on the important issues before us. Today we are going to begin with Dr. Sam
9 Armijo, the ACRS chairman, providing an overview of the activities on the
10 committee since our last meeting with the ACRS that occurred in June of 2012.
11 That will be followed by discussion of the revision of the regulations at 10-CFR
12 Part 20, for conformance with the International Commission on Radiological
13 Protection by Dr. Michael Ryan.

14 Next, we'll hear from Dr. Steven Schultz on the topic of filtered
15 containment vents for Mark I and Mark II BWR containments. And finally, we will
16 be briefed by ACRS vice chairman, Mr. John Stetkar on the topic of economic
17 consequences. So I really look forward to all your thoughts on these topics, and
18 for a thought-provoking discussion. But first, let me turn to my fellow
19 Commissioners to see if anybody has opening remarks. No? Okay, great. So
20 then, I will turn directly over to you, Dr. Armijo.

21 DR. ARMIJO: Thank you, Madam Chairman, and good morning.
22 Let's see if we can get our first slides up. There we are. Next slide, and next
23 slide. Since our last meeting with the Commission on June 7, 2012, we have
24 issued 19 reports on the following topics. SECY-12-0064, recommendations for
25 policy and technical direction to revise radiation protection regulations and

1 guidance, Dr. Ryan will provide more detail on this topic later in this meeting.

2 Next slide.

3 We have reviewed a draft SECY paper on consideration of
4 additional requirements for containment venting systems for containment venting
5 systems for boiling water reactors with Mark I and Mark II containment designs,
6 and Dr. Schultz will provide a detailed briefing as well.

7 We've reviewed the NRC staff's draft plans and status summaries
8 for Tier 3, Japan Lessons Learned Recommendations. Next slide. Draft interim
9 staff guidance documents in support of Tier 1 orders. In this particular report the
10 staff responded positively to our recommendations with the exception of
11 recommendations related to the resolution capabilities of the spent fuel pool
12 water level instrumentation and our recommendation for the additional
13 requirement for pool temperature measurement capability. With that -- those
14 exceptions -- in view of those exceptions, we've responded to the August 15,
15 2012, EDO letter regarding our recommendations, and we continue to
16 recommend those improved capabilities. We understand that the differences
17 between the staff's views and ours are related to their understanding of the
18 Commission's directions. Our understanding is different, so perhaps you may
19 want to look at that again. Next slide.

20 We've reviewed SECY-12-0110, consideration of economic
21 consequences within the U.S. Nuclear Regulatory Commission's regulatory
22 framework, and Mr. John Stetkar will present more details later. We've reviewed
23 Chapters 5, 8, 10, 11, 12, of the safety evaluation report with open items for the
24 Comanche Peak Nuclear Power Plant Units 3 and 4, US-APWR reference
25 combined license application. Next.

1 We've reviewed Chapter 9 of the safety evaluation report with open
2 items for the US-APWR design certification application, and the long-term core
3 cooling for the South Texas project advanced boiling water reactor combined
4 license application. Next slide.

5 We've completed reviews of SECY-12-0081, risk-informed
6 regulatory framework for new reactors. Draft final NUREG-1934, nuclear power
7 plant fire modeling analysis guidelines, and Grand Gulf Nuclear Station Unit 1,
8 extended power uprate license and request. Next slide.

9 Reporting on our reviews of the final safety evaluation report
10 associated with the Florida Power and Light, St. Lucie Unit 1, license amendment
11 request for an extend power uprate, as well as a final safety evaluation report
12 associated with the Florida Power and Light, St. Lucie Unit 2 license amendment
13 request for an extended power uprate. Next slide.

14 We have reviewed the staff's -- reviewed the safety evaluation of
15 the WCAP-16793-NP revision two evaluation of long-term cooling, considering
16 particulate fibers and chemical debris in the recirculating fluid and technical
17 information needs affecting potential regulation of extended storage and
18 transportation of spent nuclear fuel.

19 We've reported on the Interim Staff Guidance 8, Revision 3, burn
20 up credit in the criticality safety analysis of PWR spent fuel and transportation
21 and storage casks, and Draft Regulatory Guide DG-1290, proposed revision of
22 Regulatory Guide 1.59, design basis floods for nuclear power plants. Finally,
23 we've reviewed and reported on proposed revision one to Regulatory Guide
24 1.192, operation and maintenance code case acceptability ASME-OM code.

25 New plant activities include ongoing reviews of design certification -

1 - I'm sorry. Thank you. We're on the right slide. New plant activities include
2 ongoing reviews of the design certification applications and safety evaluation
3 reports associated with the U.S. EPR and the U.S. APWR designs. Adequacy of
4 long-term core cooling approach for the U.S. APWR, reference combined license
5 applications for ABWR, ESPWR, U.S. APWR, and U.S. EPR. And subsequent
6 combined license applications for application for AP1000. Next slide.

7 Future license renewal activities include interim and final reviews to
8 be performed for Grand Gulf, South Texas Project, Limerick, Davis Besse, and
9 Callaway. Future power uprate activities will include reviews of extended power
10 uprate applications for Crystal River 3, Brown's Ferry 1, 2 and 3, Monticello, and
11 Peach Bottom 2 and 3. Next slide.

12 Other ongoing activities will include Fukushima longer-term efforts,
13 for example the Recommendation 1, station blackout rule Tier 3
14 recommendations. Also, uncertainties in SOARCA analysis, Watts Bar 2
15 construction activities, fire modeling applications, Naval reactors, Gerald Ford
16 Class, small modular reactors designed specific review standards, and other
17 emerging technical issues. I want to close my presentation and turn time over to
18 Dr. Ryan.

19 DR. RYAN: Thank you, Sam. Good morning Chairman and good
20 morning Commissioners. I'm happy to talk to you today about the proposed
21 revisions to NRC radiation protection requirements and guidance put forth in 10
22 CFR 20.

23 In SRM SECY-08-0197, the staff was directed to proceed with
24 stakeholder interactions and data analysis to make NRC radiation protection
25 requirements and guides more consistent with ICRP publication 103 in their 2007

1 recommendations. In SECY-12-0064, the staff presented the results of its
2 analysis and requested guidance from the Commission on several issues,
3 namely updating methodologies and terminologies and dose assessment,
4 revising the limits for occupational total effective dose equivalent, revising the
5 dose limit for the lens of the eye, revising the dose limit for exposure to the
6 embryo fetus.

7 Staff recommendations also included a ALARA planning, protection
8 of the environment, units of radiation exposure and dose, reporting of
9 occupational exposure, and revisions of 10 CFR Part 50 Appendix I to make
10 them consistent with the dose methodology in 10 CFR Part 20.

11 The experience to date is that there has been excellent compliance
12 with the five Rem per year limit reported for reactor and fuel cycle facility
13 workers. Compliance and issues -- compliance issues and challenges have
14 been reported in some medical worker categories. Our recommendations focus
15 on the rulemaking to revise occupational dose limits and that that rulemaking
16 should not be undertaken. Improvements to dose calculation methods should be
17 implemented as recommended by the staff.

18 Three, ALARA guidance should be improved for licensees that
19 could benefit from additional ALARA practice. The staff should continue to work
20 on alternative approaches for individual protection for those who are considered
21 at or near the current limit. And dose limits for the lens of the eye and the
22 embryo fetus should also -- efforts on that area should continue.

23 The reporting of occupational exposure by industry segments not
24 currently reporting should be added to the database. The basis for the
25 recommendations is -- for any change to the dose limits, should be based on a

1 clear safety benefit. And the current limits plus ALARA do provide adequate
2 protection for the large majority of workers. My own view is that I've always
3 considered a radiation exposure limit in addition to ALARA because ALARA is
4 the activity that causes us to think about radiation exposure in the workplace and
5 keep it as low as reasonably achievable. So that, to me, from a practitioner's
6 standpoint is a very important part of radiation protection practice.

7 The reduction of dose limits could have unintended negative
8 consequences, and could impede activities with real safety benefits. A little used
9 clause is the "planned special exposure." Planned special exposures can be
10 invoked to have occupational radiation exposure apart from the annual limit. So I
11 wonder if by reducing the limit, we might stimulate the use of the planned special
12 exposure category, which is a very rare thing in my practice to date. So that's
13 something to think about. Is there going to be an unintended consequence
14 there? So I'd be happy to provide details on that if you'd like. Well, with that, that
15 is the essence of our letter and I think that's the essence of my comments. So
16 thank you very much for your time and attention.

17 DR. SCHULTZ: We'll move to the next presentation. I'm going to
18 present today on our review of the draft SECY paper on consideration of
19 additional requirements for containment venting systems for BWR Mark I and
20 Mark II designs. This is our major effort by the Fukushima subcommittee since
21 we met in June. Next slide please.

22 If you recall, the subcommittee on Fukushima for the ACRS is a
23 committee of the whole, so all of the ACRS members have participated in all of
24 the meetings that we're about to discuss, and of course, in the letter writing
25 process. Subcommittee meetings were held in June, discussions with the staff

1 through August, and met formally in September, and we had a meeting at the
2 beginning of October and the end of October. The committee completed review
3 as a full committee during the November meeting and then prepared the letter
4 report in November, issued it to you so that you had that information in
5 consideration of the staff's paper. Background, this process came forward with
6 the staff requirements memorandum asking the staff to consider filtration of
7 containment vents together with the Tier 1 issue of hardened vents for BWR
8 Mark I and Mark II containments. The order, EA-12-050, was issued March 12,
9 2012. This was the order to examine the improvement to the venting systems,
10 and the SECY paper on filtration events was then to be delivered to the
11 Commission by the end of November 2012. And it was this draft SECY paper
12 then that was reviewed by the Committee in early November and provided as
13 input to you. Next slide please.

14 The order modifying the licenses with regard to reliable
15 containment hardened vents was applicable as noted only to BWR facilities with
16 Mark I and Mark II containment structures, and focused on the venting reliability
17 only under design basis accident conditions. Therefore, in beginning the process
18 of developing the SECY paper -- next slide please -- the staff prepared the
19 following options.

20 The first was to continue with the implementation of that order,
21 which was considered as the status quo. Second, to develop severe accident
22 capable vents, that is, to upgrade and replace the option one venting design.
23 Item three was to consider then the filtered vents, install filter venting system.
24 And the fourth was a performance based approach to establish performance
25 based criteria to be addressed by the licensees. Next slide please.

1 The high level points that frame our thinking on this project were
2 that at Fukushima, failure to operate systems as designed added to release of
3 radioactive materials. This is a very general statement, but it certainly applied as
4 well to the operation or non-operation related to the venting systems. Because of
5 relatively small volumes, venting is important to the severe accident management
6 in Mark I and Mark II BWRs. Currently the filtration is provided by physical
7 processes within these reactors. The suppressant pool and the drywell sprays
8 particularly. Next slide please.

9 As we examine then how these processes work, we look at issues
10 like under the station blackout conditions. Even under the B.5.b considerations
11 or the FLEX proposals. Moving forward to provide additional equipment
12 capability, drywell sprays can lose effectiveness, and as the suppression pool
13 floods, operators will vent from the drywell. And without drywell sprays, this
14 could lead to an unscrubbed release of radioactive aerosol. Next slide please.

15 As a result, the staff has developed a position concluding that
16 improved filtering strategy can compensate for loss of containment barriers due
17 to venting, for example, drywell flooding. So for particular tailored scenarios, this
18 becomes important. Also, filtered venting -- additional filter -- filtration would
19 improve confidence to depressurize containment when addressing other severe
20 accident challenges. And as a result, would provide substantial improvement in
21 containment performance.

22 The staff also concludes on the next slide that an improved filtering
23 strategy would provide defense-in-depth, addressing uncertainties in severe
24 accident prevention, progression, and mitigation, and would improve
25 effectiveness of emergency planning and evacuation. And so the staff

1 recommended in the draft SECY the filtering vent strategy option three, adding
2 filtered vents. And in addition, recommending option two, the capability of severe
3 accident venting systems. Next slide please.

4 With regard to ACRS considerations then, we recognize, as does
5 the staff, that option three does not meet qualitative cost benefit based upon
6 current NRC guidance of evaluation. Therefore, the staff uses several qualitative
7 considerations, including defense-in-depth, to recommend option three. And we
8 agree with this, that is, we agree with the use of qualitative considerations
9 including defense-in-depth. This approach is appropriate given lower margin and
10 high conditional failure probabilities for Mark I and Mark II containment systems
11 that have been recognized for several decades. Next slide please.

12 The staff and industry then completed studies of severe accident
13 progression and containment performance as a result of the work that has been
14 performed over the several months that we have examined this issue. For
15 certain sequences, the addition of filtration systems on the vent would reduce
16 radioactive material releases. For other sequences, existing plant filtration
17 systems operate efficiently, such that additional filtration would provide little or no
18 added benefits.

19 On this one slide, we represent a substantial amount of work that
20 has been done by the staff, the industry, the national laboratories and
21 consultants, and the interaction that has occurred as a result of many meetings
22 between the staff and other agencies, as well as with the industry and the public.
23 Next slide please.

24 Our considerations then -- our considerations continue with the
25 retention of radioactive material and containment being the primary measure for

1 success. And we're sure the staff agrees with this versus, but versus option
2 three, the filtered vent, and chooses the filtered vent to improve certain
3 scenarios. We come to the conclusion that option four would allow more latitude
4 and scope for innovation, and in fact, may result in more effective solutions. At
5 this point with respect to defining the performance criteria that would be used, the
6 staff has taken limited steps to develop the performance measures for retention.
7 But the choice of option three would lead to that development. Next slide please.

8 In addition, the ACRS believes it's extremely important to consider
9 the potential for unintended consequences with the addition of any particular
10 system, or change in any particular system in the plant, unintended
11 consequences can result, and need to be considered. Besides effectiveness of
12 filtering strategies and systems, other characteristics also need to be considered
13 in moving forward with any implementation of improvement to keep the
14 containment loads well below design levels, to rely primarily on passive
15 components, maintain compatibility with actions to flood the drywell, and mitigate
16 overfilling of the wet well. Next slide please.

17 And when relying upon the suppression pool scrubbing, make sure
18 that the pool temperature is below saturation temperature. Preserve the integrity
19 of the drywell head seal, very important as we learned with Fukushima. And
20 also, with respect to the Fukushima experience, address hydrogen control. And
21 in addition, severe accident procedure integration, which is ongoing, as well as
22 the hydrogen control issue resolution. With all of these elements described in the
23 last several consideration slides, we draw our following conclusions. Next slide
24 please.

25 Firstly, additional measures for source term mitigation are not

1 justified by risk-informed cost benefit analyses relying on generic PRAs, risk
2 metrics, estimates of averted cost and uncertainties. This is the conclusion
3 developed by the staff, and it was determined that the cost benefit analysis
4 results do not support filtered vents, but additional consideration would be
5 required. And that was the additional defense-in-depth measures that should be
6 considered to compensate for uncertainties in quantitative techniques. And we
7 agree with that. We note that with respect to the cost benefit evaluation, if we
8 look at option three, and option two and three were both evaluated with regard to
9 cost benefit, the advantage seen for the option three filtered vent also includes
10 the improvements to the venting system to make it capable for severe accidents.
11 And more than half the benefit attributed to the filtered vent system is due to the
12 improvements to only the vent system itself. Next slide please.

13 The implementation of a performance based approach, option four,
14 is our recommendation for what should be completed to reduce severe accident
15 radioactive releases. The option three, installation of external filtered vents, may
16 in fact become an outcome or a partial outcome of option four.

17 And finally, we also recommend that the severe accident capable
18 vents, option two, are an essential part of any controlled venting strategy based
19 on the several considerations that we've described earlier. And with that, I
20 conclude my presentation. I turn to John Stetkar.

21 MR. STETKAR: Thanks, Steve. I needed the extra time. First
22 slide, please. This morning we're going to talk about the SECY-12-0110
23 consideration of economic consequences within the U.S. NRC's regulatory
24 framework. We had a joint meeting of our regulatory policies and practices
25 subcommittee and our reliability and PRA subcommittee to consider this matter

1 on October 2 of this year. The full committee met to deliberate on it in our
2 November full committee meeting when you received our letter on November 13.
3 Next slide please.

4 To refresh your memory, because I keep seeing the SECY a few
5 months ago, I believe, the staff presented four options within -- or three options
6 within the SECY. First option was a status -- essentially a status quo. Update
7 existing guidance methods according to the current schedule and frequency that
8 the staff does their routine updates. The second option was characterized as an
9 enhanced consistency, which would increase priorities for more integrated
10 updates to the existing guidance and methods. And then the third option was to
11 explore potential changes to the regulatory framework in the staffs' words, to
12 more expressly consider adverse offsite economic consequences. Next slide
13 please.

14 The staff recommendation was to adopt option two, indicating that
15 that option would enhance the currency and consistency of the existing
16 regulatory framework through updates to guidance documents for performing
17 cost benefit analyses in support of regulatory backfit and environmental analysis
18 in the context of the current process. Next slide.

19 To provide a little bit of background for our recommendations, it's
20 worthwhile to review the existing treatment of economic consequences within the
21 existing framework. They are considered. They are considered in a number of
22 places, two of which are on this slide. Those are the NEPA reviews that are
23 performed for the evaluation of severe accident mitigation alternatives in license
24 renewals and the evaluation of what's called severe accident mitigation design
25 alternatives for design certifications and new plant licensing. Next slide.

1 Economic consequences are also evaluated as part of the
2 regulatory analyses that are performed by the staff for proposed NRC actions,
3 and probably most importantly and most visibly, economic consequences are
4 considered in cost benefit analyses that are performed for backfits. However, it's
5 important to notice that economic consequences are considered only if the staff
6 concludes that a proposed backfit first provides a substantial increase to public
7 health and safety. If the proposed backfit does not meet that criterion, then
8 economic consequences are not part of the decision process. Next slide.

9 The staff and a number of stakeholders have identified
10 shortcomings and inconsistencies in the methods, tools, and data that are
11 currently used for a quantitative evaluation of economic consequences within the
12 existing framework. That's been an important part of the dialogue between the
13 staff and stakeholders. And the staff agrees that there are needs for
14 improvements in that area. Next slide.

15 Public health risk. The focus of the regulations in the reactor
16 oversight process of the agency is, as it should be, protection of public health
17 and safety. For example, the current risk informed regulatory framework uses
18 core damage frequency and large early release frequency as metrics for the
19 evaluation of reactor safety and severe offsite health consequences. Next slide.
20 That process has been very effective. We've seen improvements to structures,
21 equipment, procedures, training, emergency planning, and so forth that in fact
22 have resulted in measureable reductions in both the frequency and
23 consequences of accident scenarios that were previously identified as potential
24 threats to severe public health consequences. We've made real strides by that
25 focus. Next slide.

1 However, the risk of economic -- adverse economic consequences
2 has historically received less emphasis in regulatory decision-making primarily
3 due to the deference to the emphasis on public health consequences. As we all
4 know, the events at Fukushima Dai-ichi have heightened concerns about the
5 societal impacts from land and water contamination, economic displacement, and
6 so forth, despite the fact that there were no immediately measurable adverse
7 health consequences from those accidents. Next slide.

8 This is actually, for those of us in the PRA business, not all that
9 surprising. Full scope PRAs have identified the fact that land contamination and
10 economic consequences are important constituents of a complete plant risk
11 profile. So it's not surprising that we've seen the events at Fukushima, at least
12 from a consequent perspective. We've also learned through those PRAs that risk
13 is measured by both the frequency and consequences of accidents, depends
14 very importantly on specific features of the plant design and the site environment,
15 which has also been reinforced by the unfortunate experience at Fukushima.
16 Next slide.

17 Now, over the next few months, the Commission will begin very
18 important deliberations on a number of very closely interrelated issues, and
19 we've listed four of those on this slide: those being, Fukushima near term task
20 force Recommendation 1 regarding the regulatory framework.
21 Recommendations from the risk management task force as embodied in
22 NUREG-2150. This particular issue, that's regulatory treatment of severe
23 accident economic consequences, and something that Steve just mentioned,
24 guidance for the installation of filters within containment hardened venting
25 systems. They're all interrelated to some greater or lesser extent. Next slide.

1 Those deliberations could result in one or more Commission policy
2 decisions. For example, decisions could involve the prominence and degree to
3 which quantitative risk information is used in the overall regulatory process. It's
4 an important decision. Within the context of those decisions, there could be
5 Commission policy regarding how broad categories of accident consequences
6 are treated within risk informed decisions. And by broad categories of
7 consequences, I mean for example, public health consequences as one
8 category. Another category could be economic consequences, land
9 contamination, and then there could be other types of consequences that could
10 be considered as a matter of Commission policy. Next slide.

11 Depending on the outcome of those deliberations, there could be a
12 number of difference options for the treatment of economic consequences within
13 the regulatory framework. For example, there could be the possibility of a
14 quantitative risk goal for economic consequences as a complement to the current
15 quantitative health objectives. Another method of possibly treating economic
16 consequences would be within the so called design enhancement category of
17 beyond design basis accidents as proposed within the framework that's been
18 presented in NUREG-2150. Or there could be a continuation of the treatment
19 under the existing regulatory framework. Next slide.

20 Now within that context are -- we have four recommendations. The
21 first recommendation is that we support option three in SECY-12-0110 to explore
22 whether changes to the regulatory framework are needed to further consider the
23 adverse economic consequences from severe accidents. We also noted that
24 possible changes to the treatment of economic consequences should not be
25 considered outside the context from the other ongoing initiatives that we've just

1 discussed. Next slide.

2 There's a risk that decisions that address issues related to the
3 treatment of severe accidents and beyond design basis events on an isolated
4 topic-by-topic basis could give rise to unintended regulatory inconsistencies.
5 Next slide.

6 Because of that we feel that the staff guidance and methods for
7 consideration of economic consequences from severe accidents should be
8 subsidiary and developed in the context of any Commission policy decisions
9 regarding the resolution of NTF Recommendation 1 and a risk management
10 task force recommendations in NUREG-2150; in other words set the stage for
11 the regulatory framework and make these decisions within that context. Next
12 slide.

13 Recommendation 3: in support of that recommendation we
14 reiterated that decisions need to be made on how broad categories of severe
15 accident consequences, that I mentioned earlier, will need to be treated within
16 the NRC's risk informed regulatory framework.

17 And finally our last recommendation -- next slide -- is that
18 regardless of whether changes are made to the regulatory framework we do
19 support the notion that the methodology tools data for evaluating economic
20 consequences from severe accidents should be improved, that's consistent with
21 the staff's conclusions and it's consistent from many stakeholders. However, the
22 priorities for those improvements and their required technical attributes depend
23 very importantly on the prominence to which economic consequences will be
24 treated within the regulatory framework. So just making changes to improve
25 things needs to be informed by the level at which those decisions will affect the

1 regulatory process. And with that I am finished. Thank you.

2 CHAIRMAN MACFARLANE: Thank you. Excellent. Okay, we will
3 now start off with questions and very fittingly we will start off with Commissioner
4 Apostolakis.

5 COMMISSIONER APOSTOLAKIS: Thank you, Madam Chairman.
6 This issue of interconnected issues you mentioned, for example, in the case of
7 filtered vents, if the Commission were to approve an expanded use of economic
8 consequences, would that considerably change the cost-benefit analysis the staff
9 did? So we wouldn't need the qualitative elements?

10 DR. SCHULTZ: It could change it.

11 COMMISSIONER APOSTOLAKIS: It could change it.

12 DR. SCHULTZ: Yes.

13 COMMISSIONER APOSTOLAKIS: So indeed there are
14 connections here.

15 DR. SCHULTZ: There are connections on what we talked about.

16 COMMISSIONER APOSTOLAKIS: What does that mean then? I
17 mean, the staff is supposed to come back with final recommendations,
18 Recommendation 1 and NUREG-2150 sometime next November or December.
19 Should we postpone all decisions until then? There is no Committee position,
20 but individual views would be very welcomed.

21 [laughter]

22 MR. STETKAR: A wise person once said we provide input to the
23 Commission.

24 [laughter]

25 COMMISSIONER APOSTOLAKIS: It's really a difficult situation

1 because, you know, I don't know what the final outcome of Recommendation 1
2 will be. And then I have problems what to do with economic consequences
3 before I know that. So I think what John said at the end, you know, that maybe
4 we should be focusing on tools and methods is that the way out so we can work
5 on tools and methods until we have an idea what the Commission would decide
6 on this broad -- on these broad issues? Anyone.

7 MR. STETKAR: I'll take a stab at that. I think we all agree that we
8 should have appropriate tools and methods for evaluating any technical issue. I
9 think the problem in the real world with resource constraints that we all face is
10 that if you embark on a program to develop the best possible tools and methods
11 and data and then discover that that degree of sophistication may not be
12 necessary, those resources might have been better allocated in other area. Now
13 again, we don't make decisions, but certainly, everyone agrees that there needs
14 to be improvements to the way that economic consequences are evaluated
15 within the tools that we have available.

16 COMMISSIONER APOSTOLAKIS: See, the tools for doing cost-
17 benefit analysis, for example, I mean, everybody says that we need to upgrade it
18 is one thing. And I think it's fine. The big question there, it seems to me, where
19 to put in the regulatory framework -- and you spoke about it, John -- the
20 economic consequence evaluation. And to what extent? Well, since we're
21 talking about that. I found it very interesting in your letter, in two places, you're
22 talking about, for example, in light of the accidents at Fukushima, the NRC now --
23 Page 2 of the letter on economic consequences, "The NRC now faces a question
24 regarding whether appropriate weight is afforded to offsite economic
25 consequences in fully integrated risk informed system." And then there is -- there

1 are additional comments by three distinguished members that say that there is
2 concern regarding implementation of option three. "This effort will require the
3 commitment of substantial staff resources for several years, create a regulatory
4 momentum of its own, and potentially raise NRC regulation of land contamination
5 and economic consequences to be on an equal footing with protection of health
6 and safety."

7 The staff has an option, the safety goal statement to put economic
8 consequences there. They don't say how they will do that. But -- and the
9 Committee is kind of silent on that particular option. But given that you talk about
10 relative weights and you are talking about, well, not all of you, but three, the
11 potential of treating economic consequences on an equal footing with protection
12 of health and safety. Would you go for that? Again, individual comments.
13 Would you put economic consequences, even though John Stetkar says that,
14 you know, they are part of the complete risk picture, or would you use a weight
15 and say that, you know, maybe health and safety is first and then economic
16 consequences?

17 MR. STETKAR: Let me try my response first. And let me put a
18 little bit of context in our letter on that notion of weight. I think that during our
19 presentations and our discussion with the staff, we were struck by this notion that
20 in any cost benefit analysis there was an initial pass-fail criterion that was made
21 strictly on public health risk, and that economic consequences were always
22 directly subsidiary to that decision. In other words, the way that the process was
23 presented to us was you made a decision whether or not a proposed change
24 would satisfy the criterion from a public health consequence perspective first.
25 And then, and only then, if the answer to that question was yes did the cost of

1 adverse economic consequences be factored into the formula. So that was a
2 notion of weight that already it has received within practice within the cost-benefit
3 analysis process. A de facto very subsidiary weight. Once, once you pass that
4 bar, then it's considered -- brings into the question the quality of the tools and the
5 methods and things like that. So that's the notion of the weight within our letter.
6 So regarding a quantitative weight should they receive --

7 COMMISSIONER APOSTOLAKIS: Well, that would be --

8 MR. STETKAR: -- X percent versus Y percent --

9 COMMISSIONER APOSTOLAKIS: That's probably judgment.

10 [talking simultaneously]

11 MR. STETKAR: That's judgment -- and in the context that I tried to
12 paint that in some sense is part of the risk curve.

13 COMMISSIONER APOSTOLAKIS: Would anyone disagree with
14 me -- oh, I'm sorry. Sam.

15 DR. ARMIJO: Commissioner, yeah, I disagree. We're definitely
16 concerned, at least three of us, about this --

17 COMMISSIONER APOSTOLAKIS: You disagree with whom?

18 DR. ARMIJO: The dilution of myself and the two --

19 COMMISSIONER APOSTOLAKIS: Yeah. Yeah.

20 DR. ARMIJO: -- added members. The -- to put -- the wording in
21 the SECY was quite disturbing. I wrote this down because I didn't want to
22 mischaracterize it in any way; and part of the wording in that SECY document 12-
23 0110 was to explore changes in the backfit regulations including new exceptions
24 to the backfit analysis which would reflect a policy decision to treat economic
25 consequences as equivalent in regulatory character to matters of adequate

1 protection or compliance. It went on further -- and the point that John raised --
2 alternatives could include modifying the backfit analysis to allow either, either a
3 substantial increase in protection to public health and safety or a substantial
4 reduction in off siting economic consequences. That meant they're on the same
5 level. And to me that's --

6 COMMISSIONER APOSTOLAKIS: I understand, yeah.

7 DR. ARMIJO: -- that is something that we should not do,
8 particularly the use of adequate protection which, I believe, is a unique and
9 powerful regulatory authority available to the Commission to protect health and
10 safety. And it should not be used to impose requirements to address matters of
11 far less importance. And in my view, property can be repaired, replaced, cleaned
12 up, and is far less important than health and safety.

13 COMMISSIONER APOSTOLAKIS: I -- yeah, and I tend to agree
14 with that position and I'm a bit surprised that the rest of the Committee felt this
15 was not worth putting in the letter. But, you know, that's your letter. I have two
16 quick questions. Steve, you didn't mention it but I've had meetings with senior
17 management and they're telling me that the reason they won't -- I mean, they
18 don't have any problem with a performance based approach to filtered vents, to
19 this particular issue; however, they feel that we have to order the installation of
20 filtered vents now because if we go with the performance based approach this
21 issue may drive it for many years, you know, they will submit a strategy the staff
22 won't like, they go back to improve it, blah blah blah blah. So before you know it,
23 you are 10, 15 years and you haven't done anything. Well can we combine the
24 two and say, you know, we'll have a performance based approach but if within X
25 years your proposed strategy's not approved you install the filters.

1 DR. SCHULTZ: That is one approach. Let me --

2 COMMISSIONER APOSTOLAKIS: I think it's a pretty good
3 approach.

4 [laughter]

5 I mean, the staff has a point, so, we have to do something about it.

6 DR. SCHULTZ: There is a point there, and I would certainly not
7 want the process to move in that direction where it takes a long time to
8 implement the containment performance improvement, features that we want to
9 see, the outcome that we want to see. Our approach of recommending option
10 four does not say that this ought to take a long period of time. The reason I have
11 focused carefully on the work that was done in the last really four months
12 associated with the evaluation of severe accident performance related issues in
13 BWR Mark I and II is we were impressed by how much was learned by the staff
14 and by the industry in those interactions and analyses in a very short period of
15 time. We were also wanting to have information that's not yet developed on
16 severe accident procedure integration for these containments and also for
17 hydrogen control, which is still ongoing because in those areas this work still
18 continues and more information is being gathered. So the approach would be, I
19 would hope, that a schedule would be set by the Commission.

20 COMMISSIONER APOSTOLAKIS: So you do it --

21 DR. SCHULTZ: To move forward with alacrity, you know, to
22 address this. And I think that the industry is prepared to do it. I think the staff is
23 prepared to do it and I think we do need to integrate these other elements into
24 our final decision associated with this.

25 COMMISSIONER APOSTOLAKIS: Madam Chairman, will we have

1 another round of questions?

2 DR. SCHULTZ: You're -- what you recommended would be one
3 alternative.

4 COMMISSIONER APOSTOLAKIS: Okay. I'm sorry.

5 CHAIRMAN MACFARLANE: No, no.

6 COMMISSIONER APOSTOLAKIS: Okay. Back to you.

7 CHAIRMAN MACFARLANE: We can come back. We're way
8 ahead of time. So, save it, you'll probably get some more questions.

9 COMMISSIONER APOSTOLAKIS: Okay.

10 CHAIRMAN MACFARLANE: Okay? How about if we do that? So
11 I'm going to turn to Commissioner Magwood.

12 COMMISSIONER MAGWOOD: Thank you, Chairman. I'm going
13 to use part of my 10 minutes for a variety of purposes before I start asking
14 questions. One is I wanted to personally welcome Margie to the table. This is
15 her first time sitting with us as General Counsel, congratulations. And I look
16 forward to watching you develop the skills of looking interested even with
17 Commissioner Apostolakis is talking.

18 [laughter]

19 But I also -- I also wanted to reiterate my thanks and
20 congratulations to Mr. Sieber for his long service and to note that, Madam
21 Chairman, that it was not Carnegie Mellon University back in 1961, it was
22 Carnegie Institute of Technology in 1961. Nevertheless, --

23 CHAIRMAN MACFARLANE: Thank you for that correction, yes.

24 COMMISSIONER MAGWOOD: Nevertheless, the lineage is intact
25 and as a graduate in '82 and '83, it's good to welcome you to today and to thank

1 you for your service. 1961 was an important year, it was also the launching of
2 the U.S.S. Enterprise, the carrier which was inactivated on Saturday, I attended
3 the ceremonies for that. And I was pleased when the secretary of Navy
4 announced that the next carrier in line, CVN-80 [spelled phonetically] will be
5 named Enterprise and I was really quite pleased with it. Just over 12,000 people
6 who were there. As someone else has a deep connection with 1961, I just
7 wanted to make it clear, I am not retiring, at least --

8 [laughter]

9 -- not yet. My first question, and first, let me, let me thank
10 Commissioner Apostolakis for his line of questioning, I thought that was really
11 quite interesting.

12 [laughter]

13 But I actually was interested in that. And I think -- I think he was
14 able to pull off some interesting issues so that gives a lot to think about.

15 But one thing I wanted to follow up with, Mr. Schultz, is this issue of the
16 qualitative factors. You've -- and also the committee's thoughts on that, but there
17 was, on Slide 39, I wanted to see if you help me reconcile Slide 39 with the use
18 of qualitative factors because it seems to me that Slide 39 says something a little
19 bit different. It says additional defense-in-depth should be considered to
20 compensate for uncertainties and qualitative, quantitative techniques, is that -- is
21 that how you expect -- is that a reflection of the staff's approach in using
22 qualitative factors, is this -- is this consistent or are you saying something
23 different?

24 DR. SCHULTZ: No, we're not saying anything differently here. The
25 staff considered a large number of qualitative features to draw their conclusions.

1 The Committee considered mostly defense-in-depth as what we considered what
2 we call the qualitative feature that would drive our conclusion that containment
3 performance improvement was required.

4 COMMISSIONER MAGWOOD: As a general matter, is the
5 Committee, is the Committee comfortable with the use of qualitative factors and
6 decisions like this because it -- well, one, one consequence that is that you can
7 use qualitative factors to make almost any decision and can you give me some
8 reflection of how the Committee discussed how to apply qualitative factors and
9 when to use qualitative factors and looks like Sam, you want to --

10 DR. ARMIJO: I was impressed by the willingness of the industry
11 people recognition that they wanted to do a better job of retaining fission
12 products in the containment. So there was no -- and there was no defense or
13 attempt to say, "Well, there's no -- doesn't meet the cost benefit requirement or
14 test so we really don't need to do anything." I sense that there was a recognition
15 just on good engineering practice that we can -- that we can and should do a
16 better job. Exactly how we do it was the issue. I personally have no problems
17 with defense-in-depth, use of defense-in-depth for this purpose, but it is a
18 judgment call, you're right. It can be abused. And we certainly would prefer
19 quantitative justification if we could do it. But when you can't, you have to use
20 judgment and in this case I think the Committee was satisfied.

21 COMMISSIONER MAGWOOD: Okay. I appreciate that.

22 DR. SCHULTZ: I would like to add to that. The Committee was
23 willing based upon all of -- there was a lot of quantitative work that went into
24 supporting those qualitative components that went into the decision And so in
25 that regard, there was a level of comfort. At the same time the concern that you

1 raised is very important. For example, it would be portrayed in the discussions
2 we had that, okay, for BWR Mark I and Mark II containments we would use this
3 approach and we would draw a conclusion that improvements are required.
4 Would, in fact, the same approach be able to push us in a direction where we
5 don't believe improvements are required, large PWR dry containments for
6 example. And so there is that continuing concern and that's why we do
7 interrelate what we're talking about here, with the elements that John discussed
8 and that Commissioner Apostolakis raised earlier.

9 COMMISSIONER MAGWOOD: And I appreciate that. It seems to
10 me that you could, because, you know, defense-in-depth is a judgment of -- in
11 and of itself, you could make that same judgment with large dry containments.
12 And clearly internationally people have made that judgment. So again, my
13 concern is not so much whether this -- irrespective of whether, you know,
14 venting, vent filtering is a good idea or not, the analysis process used to get there
15 is something that, I think, is very important to get right. Not just for this, but really
16 is a precedent for other decisions. So it's -- it may be something that may be
17 worth the Commission thinking about as a more generic factor and maybe asking
18 the ACRS's advice on that, on that aspect.

19 Let me switch over to talk to Mike for just a moment. I appreciate
20 your comments, I thought the ACRS did a very good job in analyzing the Part 20
21 changes, it's a very complex matter, and your input is very much appreciated.
22 One -- there was an additional comment that was added to the ACRS letter
23 regarding cumulative doses. And this is something that I've wondered about for
24 quite some time and I was pleased to see that there was some discussion on the
25 Committee about this. Can you give us some reflection of where the Committee

1 is as a whole on cumulative dose and what issues were discussed?

2 DR. RYAN: Well, I think cumulative dose at the limit for a worker is
3 50 years at 5 rem; so it's 250 Rem would be a lifetime cumulative limit. I don't
4 know of anybody that comes even close to that limit, most folks are well below
5 five in a given year and most folks don't work that number of years.

6 I think that the cumulative dose is really where you have a lifetime
7 metric for risk because it's the cumulative dose that presents the cumulative risk.
8 And I think lowering the dose doesn't necessarily change the risk, I'll tell you why.
9 Within the regulations under 20.1206 plannedspecial exposures could be used,
10 for example, up to -- equal to the annual limit in a given year or five times the
11 annual limit in a worker's life time. So there's this option which is, in my
12 experience, I've never used it; I've never seen it used. So I wonder if by lowering
13 the numerical limit will simply be driving people to invoke plannedspecial
14 exposures to things they need to do and have to do. So I just caution that there
15 might be a secondary effect there that needs to be thought through.

16 COMMISSIONER MAGWOOD: So if I understand your reflection
17 on this, I think what I hear you saying is a practical matter, the cumulative doses
18 don't matter because we just never see those.

19 DR. RYAN: And I think we never really see doses anywhere near
20 the limit, I mean, folks typically operate, in my own experience, below 2 Rem in
21 the radioactive waste industry; it's below 2 Rem a year now and has been for an
22 awful long time. I went back and talked to some of my old colleagues and got
23 cumulative data that basically shows that.

24 Now, you know, certain high activity jobs, steam generator work
25 and other things in utilities might result in larger doses for a particular work

1 evolution, but I think most radiation protection practitioners very carefully manage
2 cumulative dose per worker, cumulative dose for the workforce, and then
3 individual planning. And that's where I think radiation protection practice in the
4 United States, in particular, excels is in ALARA planning.

5 COMMISSIONER MAGWOOD: There's -- as we talked about this,
6 I heard some thought about looking at the ALARA sections of Part 20 which right
7 now avoids any quantitative approach. But the idea, perhaps, putting goals or
8 something in ALARA, is that something that, I don't know, as a health physicist,
9 do you find that offensive or is that a good idea?

10 DR. RYAN: I sure don't. In fact, you know, every place I've worked
11 established ALARA goals and we had numerical limits, that was very specific to
12 the context of that work activity and those workers and so on. So it was tailored,
13 but the idea of ALARA goals is certainly not foreign to me. And I think that if it's
14 structured in a way where a licensee can develop those goals, particularly the
15 numerical aspects of the goals and how they achieve what they're being asked to
16 achieve, wouldn't be distasteful. I may be completely wrong, but I think that
17 would certainly be my view and those of many of my colleagues.

18 COMMISSIONER MAGWOOD: So rather than have a set goal in
19 regulation, your advice would be to assure that goals are being set by licensees -
20 -

21 DR. RYAN: Have a requirement that an ALARA program should
22 establish ALARA goals for that particular work activity and evolution. You know,
23 it may be that doses in the 2 Rem per year range are fine, wherein some other
24 activity doses above 500 millirem wouldn't be acceptable. So I think allowing that
25 flexibility to tailor it to the specific licensee's activities would be effective.

1 COMMISSIONER MAGWOOD: Interesting. All right. Thank you.
2 Thank you, Chairman.

3 CHAIRMAN MACFARLANE: Commissioner Ostendorff.

4 COMMISSIONER OSTENDORFF: Thank you, Chairman. Thank
5 you all for being here. I want to start out Sam by thanking you for your
6 leadership of ACRS. I thank the members at the table and those in the audience
7 here. I'm struck when I read your November 13th letter highlighting the 599th
8 meeting of the ACRS; and every time I see the rich history of the ACRS in
9 advising this body and our predecessors I'm struck by the important legacy that
10 you all collectively represent. And how unique we are as an agency, compared
11 to my experience in Department of Defense, Department of Energy, dealing with
12 similar bodies, I don't know that I'm aware of any other body that has the same
13 gravitas in rich history and ongoing service that your body does. So I commend
14 you and your members for that.

15 I want to pick up maybe where Commissioner Magwood was going
16 with Dr. Ryan here if I can just for a minute. And this is one on the lifetime
17 cumulative -- I want to focus on the lifetime cumulative dose. I think when I
18 retired the Navy in 2002, I had 16 years of sea duty. And thankfully to Charlie,
19 and his comrades at Naval Reactors, my lifetime exposure was like 980 millirem.
20 Period. Lifetime. Serving on six submarines, many years at sea; and, again,
21 that's not by accident.

22 I heard a sea story, some of you may know Vice Admiral, at the
23 time he was a vice admiral, he retired from the Navy as an admiral, Rich Mies, he
24 was my boss back in 1996. And he told me there's an anecdote -- he was invited
25 to go to Russia and visit a submarine force, and go on a typhoon class

1 submarine -- think "Hunt for Red October", Sean Connery -- and he also visited a
2 sailor's home that was really a nursing home for submarine sailors in the Soviet
3 navy -- I'm using the Soviet navy term intentionally -- who had significant health
4 effects from radiation exposure because of the tradeoff between shielding and
5 speed on their submarine designs. And he saw people in their 40s that all had
6 white hair. My wife has white hair, so nothing against that.

7 [laughter]

8 DR. RYAN: My wife will be happy to hear that as well.

9 COMMISSIONER OSTENDORFF: But the impact was looking at
10 the radiation impact on these individuals who had higher exposures; I don't know
11 what their -- I have no idea what their lifetime exposures may have been. But in
12 kind of going to Commissioner Magwood's point, do we have any data on lifetime
13 exposures and the impacts on health that would help inform this 100 Rem
14 lifetime exposure goal? Can you comment on that briefly?

15 DR. RYAN: I think most exposures that for work forces that I'm
16 familiar with in the United States would be, you know, well below that on
17 average. Now if -- and there could have been individual workers in say, the early
18 days of the complex sites at Oak Ridge, or Hanford, or other places. I'm not
19 familiar; I haven't studied those databases in detail. I can tell you from my own
20 experience in the weapons complex at Mayak that their doses are way above --

21 COMMISSIONER OSTENDORFF: I know. That's what --

22 DR. RYAN: Way above what we would see in the United States.
23 So that's --

24 COMMISSIONER OSTENDORFF: Is there any data, that's a great
25 example. Is there anything associated with the Russian experience that we can -

1 -

2 DR. RYAN: There's a new set of texts out on their radio chemical
3 operations which I would be happy to share with you.

4 COMMISSIONER OSTENDORFF: That'd be interesting because I
5 think that might help provide a data point that might be useful for the
6 Commission.

7 DR. RYAN: The way I would approach the question of the 100
8 Rem is I would have a tendency to look at the current work force across a broad
9 spectrum of industry types, whether it's fuel fabrication, reactor operations, or
10 medical, or whatever it might be. And try to look at the current data, say for the
11 last decade, because that's really where ALARA practice is going to be best
12 reflected for what is happening now as in the last decade or so. So, I would try
13 and extract that information and see where it lies. I think if you go much past that
14 in history, you're getting into different kinds of practices that were viewed
15 differently, and now we've evolved, and you know, any place I've been or places
16 that I think are of high quality, have a very active and aggressive ALARA
17 program, and that's where the action is in terms of radiation safety. It's not in a
18 dose limit. It's not necessarily in protective clothing, although that's helpful on
19 occasion, but it's on the principle and practice of how do we maintain everything
20 as low as reasonably achievable with regard to radiation exposure.

21 COMMISSIONER OSTENDORFF: Okay, thank you.

22 DR. RYAN: So, I guess I'll take an action item and --

23 COMMISSIONER OSTENDORFF: I'd appreciate it. It'd be helpful
24 for me to better understand that. I wanted to go back to the line of questioning
25 Commissioner Apostolakis started in his round, and this gets into the

1 coherency/consistency between the Commission's decisions on one paper, and
2 another paper, and another paper, and I think the ACRS has very helpfully and
3 thoughtfully highlighted those to us, and so we're grateful for that.

4 I want to maybe just to -- because I don't have -- well, let me start
5 out with a very simple question, because I think that's -- John, if I can approach
6 you on this. So let's just say, and I look at Steve's presentation -- let's take the
7 filtered vent recommendation, and then let's take the economic consequence.
8 Just limit this question to those two papers. I'm not going to get into the other
9 Near Term Task Force or Risk Management Task Force at this stage. So, if, you
10 know, the staff recommends filters to install filters, the ACRS option four looks at
11 a more performance based approach, if the Commission chose, John, to go with
12 option three or option four, but did not change the economic consequence
13 methodology, let's say stayed with option one or option two under economic
14 consequences. You know where I'm going with this. Will we be inconsistent as
15 a regulator? Would we be failing to provide predictable stability -- predictability
16 and stability of our regulations if we said yes to filters or some other alternative
17 venting strategies, but did not take a different approach on economic
18 consequences from what we're currently doing because we have to be able to
19 answer that question ourselves?

20 MR. STETKAR: You do.

21 COMMISSIONER OSTENDORFF: Before we vote on any of
22 these, I think.

23 MR. STETKAR: It's a difficult question for us to answer, certainly.

24 COMMISSIONER OSTENDORFF: And I'm not asking for a
25 Committee view I'm asking strictly an individual view.

1 MR. STETKAR: I think -- I wouldn't paint it as quite black and white
2 as you have. I think there's a gray middle ground that could achieve sort of both
3 objectives. I'm not quite sure what that is. I mean I have my own personal ideas
4 about how it could be done, but I don't think it's appropriate to bring those forth
5 right now. I think it's certainly something, as you've raised, that you need to be
6 considerate of -- and that's one of the reasons why in my discussion I said that
7 some of the decisions regarding that fundamental framework, the degree to
8 which you want to place economic considerations with regard to public health
9 and safety. They don't have to be equal. They don't have to necessarily be
10 directly A is always more important than B. I think that there are tools that we
11 have that could provide you very good information on a plant specific basis
12 information about the potential benefits from installing a filter at plant X versus
13 plant Y. Now, those benefits, quite honestly, are not going to be achieved in
14 public health.

15 COMMISSIONER OSTENDORFF: Okay.

16 MR. STETKAR: You will not see a measurable benefit in the public
17 health. I have done enough risk assessments, level three risk assessments that I
18 can pretty much say that you won't see those benefits in public health. You may
19 very well see benefits for a particular site, the particular design, and a particular
20 population demographic in terms of economic consequences.

21 COMMISSIONER OSTENDORFF: Okay. I'm going to put Sam on
22 the spot here, because in your economic consequence additional comments that
23 you've already discussed, and I found it very helpful, and I took note of the
24 "create a regulatory momentum of its own" phrase, which got my attention. Do
25 you want to comment on this question about the consistency or predictability of

1 our regulatory framework if we decided on option three or four on filters but did
2 not change our economic consequences methodology?

3 DR. ARMIJO: I personally don't see an inconsistency, because I
4 really look at the reasoning for the filters, or the option four approach is really a
5 defense-in-depth measure, and at the bottom of it is health and safety, whether
6 there is a release, the immediate releases would be health and safety of workers,
7 you know, when you vent, you get a lot of noble gasses that the filters won't
8 touch. So, you've got to think in terms of those things. I just think that economic
9 consequences are a purely money issue, and purely money issues should not be
10 on the same level as health and safety, and there are other mechanisms, Price
11 Anderson legislation. Whether those numbers are correct or not, or adequate,
12 that's a matter for the Congress, liability insurance on the part of licensees. So, I
13 really don't see too much of an inconsistency, but you know, I haven't thought
14 about it enough to really make a final conclusion on that, but the answer at this
15 point, I'd say no. I don't see a problem.

16 COMMISSIONER OSTENDORFF: Thank you, thank you,
17 Chairman.

18 CHAIRMAN MACFARLANE: Okay, thank you. Let me add my
19 thanks to you all, to all your hard work.

20 COMMISSIONER APOSTOLAKIS: Commission Svinicki? It's
21 you?

22 Oh, no, it's me? [laughs] I've got some backseat drivers here.

23 [laughter]

24 He just wants to go again.

25 [laughter]

1 Anyway, let me again start and say I really want to thank you all for
2 your hard work. It's such an impressive list of work that you've done. Really, it's
3 sort of overwhelming. So, I really appreciate all of your hard work, and I
4 appreciate your dedication to this, and to giving the Commission the advice that
5 you do. So, very much appreciate it.

6 I have a number of questions. Let's see if I can get through all of
7 mine. Probably not, so I'll get to go again too. Let me start off with Dr. Ryan and
8 the issue of radiation protection. I'm going to start off by noting that in your letter
9 you argue that in the absence of a clear and well demonstrated benefit, we
10 disagree with lowering the dose limits. At the same time, some of your reasoning
11 for lowering those dose limits, you demand a well demonstrated reasoning to
12 lower the dose limits, but your reasoning for not lowering those dose limits is not
13 well demonstrated in my view. Compliance with lower dose limits could have
14 unintended consequences. Further, the lower dose limits could inhibit the
15 response of workers. So I would like to see more of a balance here, that if you're
16 going to demand that level of backup of evidence, you should provide it
17 yourselves.

18 DR. RYAN: Okay, well, that's fair enough, and I'd be happy to at
19 least address that in part.

20 CHAIRMAN MACFARLANE: Let me just say that I think there's a
21 larger issue here for all of your reports. I would like to see more of the evidence.
22 I know that you, as I said, you've done all this work, and I know you've done a lot
23 of -- put a lot of time and effort into this, and I don't feel that it's reflected in these
24 letters. I would like to see some references and citations to the work that you've
25 done. That would certainly help me to understand your reasoning more. I'm

1 looking for something, you know, not as long as a National Academy report. I
2 know that's not what you're doing here, but I would like to see something that
3 goes in between there, that does you know, explain some of your reasoning into
4 your recommendations, but maybe you want to respond that. And then I'll
5 continue.

6 DR. RYAN: Fair enough. On the specifics of lowering a dose limit, I
7 don't think that would change the character of a work force for a particular reactor
8 plant, for example. Under the provisions of the plant's special exposure
9 requirement or allowance in 10 CFR, workers may have up to the annual limit in
10 any given year, and up to five times the annual limit in a lifetime, in addition to
11 and separate from their routine annual exposure. So, the regulations themselves
12 allow for incremental exposure over and above the annual limit, under the
13 specific circumstances of the plant's special exposure. In my experience, that's
14 rarely used. In fact, I can't tell you a time when it's been used in my experience,
15 but I imagine if the numerical limit does come down it'll be used more often.

16 So I don't know what we've accomplished in terms of worker
17 exposure if we still maintain this allowance versus a lower numerical limit for an
18 annual dose. That's just one thought, and I think that's some of the
19 consequences or potential consequences that ought to be evaluated before any
20 numerical limit is changed.

21 That's one example, and I agree with you. It would probably have been
22 helpful if that was more carefully delineated in the letter and I'll surely take your
23 advice on doing that in the future, for future reference.

24 CHAIRMAN MACFARLANE: Well, I think it's a request to the
25 ACRS in general --

1 DR. RYAN: Oh, absolutely. No, I appreciate that.

2 CHAIRMAN MACFARLANE: -- to add more backup, and
3 something for you guys to consider anyway. You know, continuing with this, I do
4 want to note that I don't feel that you actually have a real majority in your views
5 here, because half of you dissented, and I do want to note that. And given that
6 the preponderance of the scientific community, international scientific community
7 has coalesced around a dose limit different from our current limits, I'm really still
8 struggling to understand why we should maintain the current limits in Part 20.
9 You know, you have the ICRP, the BEIR studies, National Academy, UNSCEAR,
10 NCRP. It seems pretty good to me, but not good to you.

11 DR. RYAN: I guess my view is that the international and the
12 National recommending bodies are looking at a body of evidence that doesn't
13 necessarily take into account the actual practice. So the actual practice in
14 radiation exposure if the limit is five, and the typical exposures are well below
15 that, we've accomplished the same thing. However, maintaining the flexibility
16 that under certain circumstances that a higher individual does might be
17 appropriate for human work activity.

18 CHAIRMAN MACFARLANE: You know, it does seem like it's not
19 an issue of what's going on at reactors, it more of an issue in medical settings in
20 the U.S., and I think that's an area of concern.

21 DR. RYAN: Absolutely, so you know, if you get outside of the
22 reactor and look at some of the medical questions, there are important issues
23 there. However, I don't know that we'd be changing the doses that people
24 receive. They'd simply be having planned special exposures instead of dose
25 under a limit. That would have to be addressed if you want to change the dose

1 limits.

2 CHAIRMAN MACFARLANE: [affirmative]

3 DR. RYAN: Now, I'm not recommending that. In fact, I would
4 recommend not to do that, because there are lots of reasons when planned
5 special exposures are appropriate and important to have available. So, I think
6 it's a broader question than what's the numerical limit. I think the context of all
7 the different categories of workers in radiation exposures they received and the
8 satisfaction with which we think that's been evaluated and implemented is a
9 much bigger question that should be addressed before we embark on a change
10 to the annual limit.

11 CHAIRMAN MACFARLANE: Did you want to add something?

12 DR. POWERS: As sort of the leading author of the added
13 comments, let me just sort of make a few things. I don't think that we really
14 dissented that. We, you know, we're not necessarily endorsing the notion of
15 going to a two Rem limit. I think we do agree that there seems to be a great deal
16 of agreement in the science that the risk is higher, and that should be addressed.

17 CHAIRMAN MACFARLANE: [affirmative]

18 DR. POWERS: It's high, and again, we're talking about a
19 population of people where the cumulative doses are up in the 10 Rem and
20 above range, and so you know, questions about how applicable these results are
21 to very low exposures I don't think are really germane to this particular problem.
22 We are talking in a problem where there's agreement among all the scientific
23 organizations that have addressed this. The risk is higher than we thought it
24 was, and what the added comments really said was we ought to think about that.
25 You know, are there ways to handle it? You know, Mike looks at this special

1 exposure thing as a defect. To me that's an argument that you could live with
2 lower limits. You have these special exposures, but they would be controlled.
3 They would be tracked. You'd understand them better, and --

4 CHAIRMAN MACFARLANE: Right, I agree.

5 DR. POWERS: And so, you know, there are ways to go different
6 ways here, but again, I don't want to label it as a dissent, but I think we do think
7 that we really ought to take into account that the preponderance of scientific
8 opinion at the moment is that the risks have gone up, and those higher risks are
9 applicable to the population we're talking about. We're not often in cumulative
10 dose here for people receiving very low exposures. We're talking about
11 occupational workers --

12 CHAIRMAN MACFARLANE: Right.

13 DR. POWERS: -- with significant dose.

14 CHAIRMAN MACFARLANE: Well, I agree, and I think your doses
15 are incredibly -- very impressive, and so if you try, you can achieve it. You know,
16 that's what you're telling me.

17 COMMISSIONER OSTENDORFF: If I can comment on it, I think
18 very unique set of circumstances with the Naval nuclear propulsion program.
19 Quite frankly, the doses that are really the higher ones in the regulated entities,
20 are not at nuclear power plants by and large. It's more the radiopharmaceutical,
21 medical --

22 CHAIRMAN MACFARLANE: Yes. And I think that is an area of
23 concern. I don't know how many of you have gone to get an X-Ray or CAT scan.
24 Has any technician been able to tell you what your dose will be? No? They
25 never tell me.

1 DR. RYAN: I couldn't agree with you more, that that's an
2 opportunity for improvement.

3 CHAIRMAN MACFARLANE: So, they don't know their dose either.

4 DR. RYAN: Well, I think we certainly know the doses. I'm not
5 trying to imply that, you know, anybody regulated under an NRC or an
6 Agreement State license doesn't understand and know their doses. I'm simply
7 questioning whether a change from five Rem per year to two Rem per year is an
8 effective way to do anything different. You know again, I don't take a dose limit
9 alone, I absolutely couple an ALARA requirement with a dose limit, because if
10 you do one well you may not be getting the best outcome. If you look at both
11 together, you could probably optimize your activity, and maintain that dose as
12 well as reasonably achievable.

13 CHAIRMAN MACFARLANE: I always try to keep in mind that the
14 best is the enemy of the good, but let me turn to Commissioner Svinicki.

15 COMMISSIONER SVINICKI: Well, I will add my thanks to all my
16 colleagues for the work that you all do, and for a lot of you who are willing to
17 subject yourself to being multi-term members of the ACRS. I'm always pleased
18 when I see that one of our very capable members is interested in continuing on
19 the ACRS. So I encourage that, and I think that the longevity that some of you
20 have on these issues has also been a substantial subsidiary, you know, benefit
21 from a multi-term members. Dr. Shack is squirming in his chair, and other people
22 are who have --

23 [laughter]

24 -- long service, he has kind of blazed a trail, I think, but in any event
25 thank you all for the work that you do. I was invited, very honored, asked to give

1 the Edward Teller Lecture this week in South Carolina, and so I was realizing that
2 I didn't know as much about Dr. Teller as I should. I've heard a lot of histories of
3 the Manhattan Project, but Dr. Edward Teller, of course, I learned that he did not
4 like this term, but he was the father of the hydrogen bomb. But one of the things
5 that I learned about him is that he can be characterized as -- now ACRS has
6 changed names over time, and when it was codified into law, in amendments to
7 the AEA, Atomic Energy Act, it took its name of Advisory Committee on Reactor
8 Safeguards -- but prior to that, there were a couple of bodies that were really
9 your predecessors but had slightly different names, but Dr. Teller was, if the
10 history can be relied upon, could be considered to be the first Chairman of the
11 ACRS. So, you have had people, luminaries of the atomic and nuclear sciences
12 that have served on this committee, in my view, that continues to this day with all
13 of you. I was going to say with the gentlemen serving now, but with Dr. Rempe
14 as well. So, we have one woman on the ACRS. So progress, right? That only
15 took 60 years or so --

16 [laughter]

17 -- to get a woman on the ACRS, but in any event, I'm sorry I'm
18 using all my time taking a little trip down into the history here.

19 I did want to share an observation, Dr. Ryan. I agree with you on
20 how -- my observation of how seriously ALARA is taken at a number of nuclear
21 facilities. I have a practice every time I visit a nuclear power plant. They're
22 always eager to give me recent operating history, so they'll talk about their most
23 recent outage, and they talk about how many days, and what work they
24 undertook, and I always ask the question immediately. I say, "How did you do on
25 your dose goal for your outage?" They have a dose goal well below the

1 regulatory limits, and it has been my experience in almost five years on this
2 Commission, there was never a time that either the site vice president or the
3 plant manager didn't know that off the top of his head. They never had to look it
4 up. They knew exactly what their goal was, and exactly how much under it in
5 every instance. Sometimes they're a little closer to it -- to the goal than they
6 would have liked, but it's well below the requirements.

7 And so I just share that in terms of the very -- what I've observed to
8 be a very disciplined approach to ALARA. It's almost as if they're not all that
9 cognizant of the regulatory limits, because their goals for themselves are so far
10 below that that they're not even -- if they ventured anywhere near to the
11 regulatory limit, I think they would view it as a complete breakdown of their
12 ALARA program. So, I just wanted to share that observation as well.

13 The other thing, and my colleagues have asked some really
14 wonderful questions. We had good topics today. We had kind of harmonization
15 with international goals on radiation protection under a topic of ICRP, we had
16 economic consequences. We had filtered vents, and something that I, you know,
17 I wonder a little bit, is it just me, but I've acknowledged here I'm kind of a student
18 of history, and I do feel that a lot of complex policy is in front of the Commission
19 right now. A lot of it where it's under the heading of post-Fukushima activities,
20 but it's not limited to that, as our discussion about ICRP and updating dose limits,
21 attest to that. But what I think I'm observing though is that is unique and kind of
22 AEC or NRC history is that we have a lot of this policy being evaluated and
23 opined upon by NRC staff or ACRS members when you review the NRC staff's
24 products. And I feel that there's a bit of a blurring that's going on. NRC staff
25 members don't qualify for their jobs by demonstrating a competency as

1 policymakers, and with all due respect to the members of the ACRS, you are not,
2 you are chosen for your technical preeminence, nationally and internationally on
3 various topics. And so I know that it is likely that every NRC staff member and
4 ACRS member, they are likely to have a view on these policy matters. Whether
5 or not you think we do it well, the job of weighing these factors and making these
6 decisions, the members on this side of the table are again, whether you think we
7 do it well or not, we're chosen for our ability to weigh these -- for our experience
8 in weighing important policy matters. And so the buck is going to stop on this
9 side of the table, and my view of the history is not -- I think there was more of a
10 division than previously between the NRC staff's technical analysis, and then
11 when things fell into the policy domain, my reading of papers historically was that
12 there was more of an attempt to draw a bright line there.

13 And I think that the use of the qualitative factors in order for NRC
14 staff to tip between the various options, to me is somewhat precedence setting,
15 and I could be wrong, and there may be many papers where staff said, "I will now
16 use policy judgments in order to decide between the recommendations," but I
17 can't think of any off the top of my head. I've talked to a lot of people with more
18 experience at NRC than me.

19 So I think we've ventured into something new, but I think that really
20 falls squarely on the shoulders of the members of the Commission, and again,
21 we are political appointees for a reason, because we are expected to use our
22 discernment, to weigh those various factors.

23 Is this anything that's come up as you, again, you have the staff
24 present to you, so if there's policy judgments embedded in what they've done,
25 then you're going to have to sort your way through that, but how have you

1 addressed that as a Committee trying to keep the fact that you are not policy
2 advisors? You are a technical committee.

3 DR. ARMIJO: Yeah, we understand that, and it comes up in our
4 discussions. You know, this is really not our game and it's not what we're here
5 for, but this is what we've got to review, and we will just provide our views. It's
6 simple as that. We certainly do not seek to make a policy, provide policy advice.
7 If it comes to us in the course of documents that we have to review, we just do
8 the best we can.

9 COMMISSIONER SVINICKI: John, did you want to make a
10 comment?

11 MR. STETKAR: Some of my -- and I hope my comments are a
12 letter on the economic consequences weren't misinterpreted as recommending a
13 certain policy. I think that in my experience, we do see a large number of
14 individual pieces of information presented to us by the staff, and that's been
15 especially intense over the last year and a half, the post-Fukushima era, and I
16 think that some of our comments regarding the need for an integrated
17 perspective arise out of that. We're not trying to recommend a particular policy
18 direction, but if you're making a technical decision or a pseudo-policy decision, if
19 you want to put it that way, with regard to a specific issue in isolation, and you
20 see another related issue perhaps two or three months later within its own little
21 box, that's the sense that we're trying to raise, that there are interrelationships
22 there that might not necessarily be appreciated by the staff, because they're
23 working individually on those issues.

24 COMMISSIONER SVINICKI: Well, and I'll --

25 DR. STETKAR: And if you see them, you know, staggered in time

1 that way also, you're faced with those decisions, and you're well aware of the
2 integration, obviously.

3 COMMISSIONER SVINICKI: And I don't. I framed this as if it's
4 very clear to see, and truly, you know, what we're deciding is if you will, technical
5 policy. So, it is, you know, it's a judgment, and the policies are heavily influenced
6 by technical factors, and I think both the ACRS and the staff are working to
7 again, kind of lay out what the implications and considerations are as we go
8 about our policymaking role, which is also not simple, and it's a very, very difficult
9 thing and a lot of different factors to be assessed.

10 But I have one other issue that -- it's not something that you would
11 have a report on, but as you reflect on the totality of what you're reviewing in
12 terms of post-Fukushima activities of the NRC, what percentage of it would you
13 say is actually arising from information learned from the events in Fukushima,
14 and what amount of it is essentially kind of a regulatory reconsideration or do
15 over of just issues that since Fukushima happened, we're now just going to
16 reconsider? One Near Term Task Force recommendation obviously should
17 come to mind immediately, which is overhauling the regulatory framework. I
18 mean that seems to me is that that is such a global overarching recommendation
19 that it's very difficult to say that has its origins in some specific accident
20 sequence that occurred at Fukushima -- and what -- do you think that we are
21 basically taking an opportunity for a kind of a regulatory do over on a number of
22 items that doesn't really have -- in your view, does most of it have its origins and
23 things were actually learned from the events in Fukushima?

24 DR. ARMIJO: Is that addressed to me? Well, I think some of it is
25 definitely unconnected to Fukushima, you know, whether our regulatory system

1 or framework is a patchwork, which I don't agree with, or not, has nothing to do
2 with Fukushima. Venting is a big issue at Fukushima, and that's directly related
3 to concerns about the spent fuel pool. They were concerns. There was no real
4 actual danger, but we are doing some things that will improve ability to monitor
5 the spent fuel pools, the water level, and hopefully temperature measurement.
6 So, that's directly connected. So, there's --

7 COMMISSIONER SVINICKI: But things like, I mean multi-unit
8 events, okay? We have multiple units at sites here, and so do they in Japan --
9 it's very hard for me to say that that's a learning from Fukushima that we ought to
10 look at, you know, multi-unit accidents, because that's what I mean by that, is
11 like, what about Fukushima is new, that is -- some of this seems just a
12 fundamental consideration of how we regulate.

13 DR. ARMIJO: Well, I wanted to add the hazard reevaluations. It's
14 very important that we have recognition, that the hazards that we thought were
15 adequate, you know, we better look at them again to see if they, you know, some
16 of these -- and we're talking about mind boggling hazards and not just routine,
17 and so I think that's all very valuable. So, I would say a great bulk of what we're
18 doing is lessons learned from Fukushima, but there's some stuff that is truly do
19 over in my opinion, unrelated.

20 COMMISSIONER SVINICKI: Okay, thank you. John.

21 MR. STETKAR: Thanks. Yeah, I echo Sam's quite a bit, and I also
22 add the fact that Fukushima, in a sense, has brought to attention, immediate
23 attention, very dramatic immediate attention, many issues that have been I think
24 addressed to a greater or lesser extent by the industry and by the staff, for a
25 large number of years. You mentioned multi-unit events. There have been

1 projects developed to develop multi-unit risk models for some, a small number of
2 sites in the U.S. They haven't received very much prominence because they're
3 expensive and there has been no regulatory focus in that area. There has been
4 a lot of work done on seismic risk assessment, and I think we're all familiar with
5 that, but it has not received very much attention.

6 So that I think one of the outfalls from Fukushima, disregarding the
7 regulatory framework issue is are there things that have been addressed to a
8 greater or lesser extent throughout the technical community, both the staff and
9 the industry for a long number of years, that perhaps should receive greater
10 attention. This is a wakeup call. It's the same as Three Mile Island. Three Mile
11 Island woke us up to the extent that perhaps we didn't have the right type of
12 operating procedures. Perhaps we didn't have the right type of operator training
13 for certain types of accidents. Perhaps we hadn't focused our attention on the
14 right types of accidents. You know the design basis, it wasn't a design basis
15 accident at Three Mile Island. Fukushima has served as another wakeup call in
16 that area.

17 COMMISSIONER SVINICKI: Okay, thank you.

18 DR. SCHULTZ: I would like to add to that from the perspective of
19 the Fukushima sub-committee. A large part of what we are examining, the very
20 largest part, are technical issues, and they are technical issues, as both Sam and
21 John have indicated, have been around, and have been examined over the last
22 several decades for the reactors, but there is an enhanced need and interest to
23 move forward, to apply lessons learned, very dramatic ones for example, with
24 regard to hydrogen control and in all aspects of operation, but specifically in
25 severe accident response, and procedures, and integration of procedures, and

1 moving through to provide more appropriate and better support to public health
2 and safety.

3 COMMISSIONER SVINICKI: Thank you, thank you.

4 CHAIRMAN MACFARLANE: Commissioner Apostolakis?

5 COMMISSIONER APOSTOLAKIS: Thank you. Two quick
6 questions. Steve, you say on Slide 37, important to consider potential for
7 unintended consequences, but if you go to the letter on Page 4 of the letter, the
8 issue of unintended negative consequences is raised in the paragraph that says
9 that really talks about a performance based approach. I'm wondering if we order
10 to install filters, is there a potential for unintended consequences, negative
11 consequences? Is it a characteristic only of option four or option three as well?

12 DR. SCHULTZ: No, it's a characteristic that must be examined for
13 both.

14 COMMISSIONER APOSTOLAKIS: For both.

15 DR. SCHULTZ: The fundamental unintended consequence for
16 option three would be improper use of the filtered vents, so that for some reason
17 either improper use or for mechanical failure the vent opens at the wrong time,
18 and a release happens when it doesn't need to happen, and that's why we
19 focused on option four to examine how do we contain the material.

20 COMMISSIONER APOSTOLAKIS: But that issue is raised in the
21 context of option four. So, one would assume that option three doesn't have that,
22 but you say, no, in option three also.

23 DR. SCHULTZ: No, it was intended to be a broad statement in the
24 beginning, and we specifically felt we needed to address it for option four as well.

25 COMMISSIONER APOSTOLAKIS: Now, Sam, you said something

1 earlier in passing, that economic consequences are a purely money issue, is it
2 really true. Is it really true that it's purely a money issue?

3 DR. ARMIJO: Yeah, and let's --

4 COMMISSIONER APOSTOLAKIS: Just another thought. I don't
5 think we should over play the issue of the fact that people were not killed in
6 Fukushima. I mean the wind was blowing in the right direction. If it was blowing
7 in a different direction, I don't know how many deaths we would have. But again
8 coming back to your statement, is it really purely money, money? The money
9 issues is --

10 DR. ARMIJO: No, no, it isn't . That was an overstatement. Mostly
11 a money issue, but you know, when we measure there are human
12 consequences, you know, people having to leave their homes, having to be
13 displaced for long periods of time. Yeah, those are real issues, and so that's kind
14 of a little bit overlapping into health and safety, but it's on the economic
15 consequence ledger.

16 COMMISSIONER APOSTOLAKIS: I mean it's a sizeable impact,
17 isn't it?

18 DR. ARMIJO: Yeah, there's human impact. There's no question
19 about it.

20 COMMISSIONER APOSTOLAKIS: Okay, thank you.

21 CHAIRMAN MACFARLANE: Commissioner Magwood.

22 COMMISSIONER MAGWOOD: Thank you, Chairman. You know
23 the history probably doesn't reflect it, Commissioner Svinicki, but I received
24 probably what was one of the last new ideas from Dr. Teller. He actually applied
25 for an EERE grant at DOE some years ago, just within the same year -- right

1 before he died. We didn't accept it, but it was an interesting idea. It was actually
2 for a sub-surface small reactor. So, maybe he was prescient. So, we'll see.
3 Maybe ultimately he'll be proven correct on that.

4 I think I want to talk a little bit more about filters. One thing about
5 the filters in the discussion we've had so far that really hasn't been made entirely
6 clear to me is whether we can characterize what percentage of sequences, or
7 what portion of the likely sequences, would the filters actually provide real
8 benefit? Is that something the Committee has talked about in any way? Can you
9 characterize that? Are we talking about a very large number of sequences, are
10 we talking about a very narrow range of sequences.

11 Dr. SCHULTZ: There have been a couple of evaluations done, one
12 by the industry and by the staff. The staff has examined that in the
13 documentation that is provided in the SECY as attachment. So, they've identified
14 the particular sequences. I described the one that is most prevalent in that
15 sequence where the release is associated with the inability of the drywell sprays
16 to function properly, and the releases to the vent. That sequence was evaluated
17 by the industry to be a representation of about maybe 10 percent of the risk
18 associated with the containment and its release in that factor.

19 Other features that one needs to take into consider is how much
20 will the vent provide as a benefit for the other sequences of release that achieve
21 or receive cleanup from the systems, the cleanup systems that are in the reactor
22 where inherent cleanup is taking place. The general feeling, although it's
23 disputed, but the general feeling is that the cleanup systems will reduce the level
24 of activity by a factor of let's say 1,000, and in that case the filtered vent would
25 provide very little additional cleanup, and that is in fact representative of

1 somewhere between 50 and 90 percent of the range, depending on what
2 evaluation you take on the other side of filtered vents.

3 There is of course as we've already expressed, there is noble
4 gasses that will not be affected by the vent, and will be released if the vent is
5 opened. So that were you get into the unintended consequences.

6 COMMISSIONER MAGWOOD: Yeah, and I appreciate the way
7 you referenced the staff paper, but you've added a characterization which I
8 hadn't heard, which was I guess you'd say was about 10 percent.

9 DR. SCHULTZ: That was a feature that was developed by the
10 industry as they were looking for other ways in which the plant systems could be
11 augmented, or the procedures could be augmented to achieve, as we were
12 discussing in option four, achieve the intended consequence of containment, and
13 containment performance improvement.

14 COMMISSIONER MAGWOOD: I appreciate that. One other quick
15 question. I think I'm going to ask John to comment on this. As I've discovered
16 since being here, the discussion of codes is a very emotional issue, and one
17 question I have is when we're thinking about this issue of land contamination,
18 when we're using MAX to basically give us the best estimates, and I think -- is
19 that the right thing to be doing? Is it well equipped for that? I'll let you take some
20 of the heat here.

21 MR. STETKAR: I can pass along the heat because I don't know
22 anything about MAX. It's my understanding that it's not consistent with other
23 current state of the art codes for atmosphere dispersion analysis. It'll handle I
24 believe, and I may need some help from Dr. Rempe, who is much more familiar,
25 aren't you? Or perhaps Dr. Powers, regarding what it can and can't do. I know it

1 won't handle varying meteorological conditions over the duration of the event in
2 terms of different wind patterns and things like that. I believe it's got a multi-puff
3 release model today. I'm not sure --

4 DR. POWERS: MAX is a Gaussian Plume model, which allows for
5 statistically sampling a year's worth of weather and in that it tries to give you an
6 integrated average of what kind of consequences you would get. It is more tuned
7 for predicting health consequences than it is economic modeling. That's simply a
8 reflection of where the focus of the agency is. It does predict economic
9 consequences, but that has not received the kind of attention that it would -- that
10 modeling has not received the kind of attention it would if that were one of the
11 Commission's safety goals.

12 And, of course, economic modeling is a very challenging thing to
13 keep up to date, because where there's weather changes over 50 100 year times
14 scheduled, economic activity around a nuclear power plant changes on certainly
15 a decade scale, maybe even a little faster than that. So it would represent a
16 challenge for the modelers to keep up with that and, you know, they just have not
17 because it's not a major thing for them to do. They do calculating -- every time
18 they run a calculation you get the output on economic consequence modeling.

19 Are there better economic consequence models available that
20 could be incorporated to MAX? Absolutely. Absolutely. And if -- where do you
21 put your resources on these sorts of things? It would be a significant resource
22 commitment to upgrade the Max type of modeling.

23 Consistently the approximation made of the Gaussian Plume has
24 been found to be entirely adequate for regulatory needs. Is it adequate for a
25 specific event at a specific plant or a specific experiment? No. It is an attempt to

1 statistically average over the weather that you have at a plant over the course of
2 a year. It's used for risk assessment. It's not used for comparing two
3 experiments.

4 In fact, when we look at the deposition of radioactivity following the
5 Fukushima accident and look at that, MAX does pretty darn well, pretty darn well.
6 I can, on the other hand, show you additional -- other kinds of experiments where
7 MAX, and indeed very sophisticated multi-puff tracking models do very poorly. I
8 can show you that for all the modeling plumes wandering around rugged terrain
9 and with varying weather is a big challenge, technical challenge. MAX continues
10 to get lots of assessment, lots of attention, lots of comparisons, and again, it has
11 been the presumption that it is adequate for regulatory needs for the purposes of
12 assessing health consequences.

13 COMMISSIONER MAGWOOD: Excellent. Thank you very much.

14 DR. POWERS: Economic modeling, you get an approximation.

15 COMMISSIONER MAGWOOD: Thank you. That was a pretty
16 comprehensive lifeline.

17 MR. STETKAR: Yeah. You like the answer?

18 [laughter]

19 That's, by the way, one of -- the last bullet on my last slide in terms
20 of the degree to which the tools, and I was thinking primarily MAX, the amount of
21 resources that are allocated to improving facets of MAX that have been identified
22 in a wide variety of areas, ought to be tailored to how the code will be used, as
23 Dr. Powers mentioned. If the primary purpose for the use of the code is to
24 develop a general assessment of average health consequences for a typical site,
25 it might be okay for that purpose. If it's meant to develop a detailed evaluation of

1 health consequences for a specific accident at a site that has very challenging
2 terrain and weather patterns with a population demographic that might be
3 distributed uniquely, it might need quite a bit of update to handle that problem.

4 COMMISSIONER MAGWOOD: Thank you very much. Thank you,
5 Chairman.

6 CHAIRMAN MACFARLANE: Commissioner Ostendorff.

7 COMMISSIONER OSTENDORFF: Thank you Chairman. Steve, I
8 want to go back to you on filtered vents for a minute. Under the ACRS position
9 for option four allowing alternative strategies, can you comment briefly on your
10 thoughts or the Committee's thoughts on what kind of testing might be required in
11 order to provide assurance that the projected decontamination factor might be
12 reached under an alternative strategy other than filters?

13 DR. SCHULTZ: I might call upon Dana again. The Committee did
14 consider this. We didn't move to consider what kind of testing might be required,
15 because we feel that based upon the work, at least, that we were informed of in
16 the evaluation of severe accident, both by the staff, by the National Labs, by
17 industry, were based upon the best information that is currently available. We
18 weren't identifying any particular additional information that's required. Filtered
19 ventilation system developers came both to the staff and also presented to us
20 and they provided data that they thought would be appropriate to demonstrate
21 what their systems would be able to provide. And we didn't feel that in terms of
22 advanced either facility experiments or that even experiments would, in fact, be
23 further required to make decisions about where we might go with either
24 equipment performance development implementation of changes with regard to
25 response procedures and so forth would be needed.

1 So we weren't really looking or examining it in any extensive plan or
2 any plan really whatsoever associated with those things that would be needed to
3 move in the right direction with regard to improving containment performance.

4 There's certainly programs that have been done. We did have a
5 recommendation as added comment to be sure that we were continuing the
6 process of evaluating our techniques and tools that are really not only adequate,
7 but well recognized as the premier tools to do these kinds of evaluations, the
8 MELCOR, as well as the methodologies developed here that those tools ought to
9 be informed by the work that is currently ongoing, as well as anything we might
10 gain from the work of evaluation that's being done to compare our predictions
11 with Fukushima Daiichi results.

12 Joy, do you have an additional comment you'd like to make?

13 DR. REMPE: Briefly. With respect to the filtered vents, if you're
14 going to rely on defense-in-depth, the analysis was adequate, but if you're going
15 to try and go with option four and you're going to say what's comparable to what
16 was done with the analysis of the improvement associated with filtered vents,
17 then the information that we reviewed in that enclosure does indicate that you do
18 need to spend a bit more time in benchmarking that code against the more
19 recent data, which it indicated in the attachment that we received it had not been
20 done yet, because it was beyond the scope of the program. Furthermore, it
21 appeared that -- and again, I'm -- the staff has made a valiant effort with the time
22 and schedule and allocations they received, but they are working very hard to try
23 to accomplish their goals. But there were -- more emphasis, I believe, as
24 indicated in the added comments, needs to be placed on that analysis.

25 COMMISSIONER OSTENDORFF: Okay, thank you.

1 DR. SCHULTZ: And I would add to Joy's comment that there was
2 significant progress in learning and understanding ongoing between the
3 professionals on the staff and within industry that was occurring because of the
4 interactions associated with this project this summer in a very short period of
5 time. So part of option four, our recommended with option four is to move that
6 forward and given the progress that was made in three or four months, and the
7 progress that needs to be made in, I would say, another three or four months,
8 associated with procedure development and hydrogen control and so forth,
9 perhaps a little longer than that. That's the timeframe I think we're talking about
10 to move forward with a better understanding of what can be done to improve the
11 performance of the containments. These particular containments.

12 COMMISSIONER OSTENDORFF: Thank you. Thank you,
13 Chairman.

14 CHAIRMAN MACFARLANE: Okay. Just a word, Sam, on
15 economic consequences and it's just only a matter of money. You know, they
16 think there were significant mental health impacts that would fall under the term
17 health impacts. There have been extremely significant political impacts, which I
18 think are important to consider.

19 Anyway. Back to filtered vents. So, I wonder if you guys can be a
20 little more specific, maybe quantify, seeing how we like to do that, the amount of
21 time required to take on option four. You know, you've specifically now
22 mentioned a number of instances where you would require more information and
23 there's additional information you would need to do more to really -- than the staff
24 has done hopefully. So how much time would it take to do that? Because we
25 suffer under -- as an agency under the -- a few issues, such as the fire protection

1 issue and the sump issue that have gone on for decades, some of them, and I
2 would not like to see this issue fall into that category. So do you have a
3 quantifiable estimate of the amount of time?

4 DR. SCHULTZ: I will start with "it depends."

5 [laughter]

6 And I don't mean to be facetious. It depends on the direction given.
7 The direction given to reach the point at where we are associated with the SECY
8 paper, was, you know, clearly directed that the SECY paper would develop the
9 recommendations that are being brought forward now by the end of November
10 and the recommendations with quantitative evaluations based upon the work that
11 has been done in a very short period of time are on your doorstep.

12 So, as I mentioned, I feel that -- and we haven't discussed this as a
13 committee directly, but I feel based upon the discussions we have had, but more
14 importantly, the discussions we've had with the staff and with the industry, that no
15 one is expected -- there's a fear that that could happen, but given proper
16 direction I don't think it will happen. I think the intensity that has been applied to
17 this issue already can be continued. I do think it needs to be coupled with some
18 initiatives that are ongoing and that would contribute greatly to better
19 understanding of what needs to be done. And that is, again, hydrogen control
20 and severe accident procedure development and integration or review and
21 integration. In particular, now we're talking about for these containment types,
22 and I will tell you that this is, as we understand, already ongoing. It's already
23 ongoing by the industry, as well as a lot of thought development by the staff, at
24 least. We haven't gotten a report from the staff on this.

25 So, let's just say then that an appropriate timeframe for meeting this

1 better understanding that we would like to have developed for implementation of
2 option four might be a year.

3 CHAIRMAN MACFARLANE: And if within a year you still have a
4 bunch of open questions, would you kick it further down the road or say make a
5 decision?

6 DR. SCHULTZ: You can always have open questions. At some
7 point a decision needs to be made, and I do believe that not only the staff, but of
8 course, I'll just let it be as Commissioner Svinicki indicated that the staff would
9 recommend and the Commission would decide. But I do believe, and the
10 Committee does believe, that a better recommendation could be developed in
11 that timeframe than what is presented now.

12 CHAIRMAN MACFARLANE: Okay. Thank you.

13 COMMISSIONER SVINICKI: Dr. Ryan, the ACRS as a whole has
14 been very involved in looking at GSI-191, but I in concert with other members of
15 the Commission have worked hard to have the NRC staff look at and react to
16 some of the dose estimates that could be incurred for the total job of removing
17 the fibrous insulation to some levels that are being contemplated by the NRC
18 staff. The response that we got from the NRC staff in our request for them to
19 look at that were fairly summary. They just kind of canvassed for industry
20 estimates, which I think can range as high as 300 to 500 Rem for the total dose
21 incurred to implement some of these options, and the staff said they just didn't
22 have a basis to think that that was unreasonable, they just didn't have any basis
23 to opine on it one way or another.

24 Do you think that if we did a compel regulatory action as we're
25 contemplating and require extensive removal at some plants that would have

1 these higher doses, do you think that there would be finally some licensee
2 invoking the procedure -- the provision of our regulations that you've mentioned
3 multiple times today on the special cases? Do you think it would necessitate
4 that?

5 DR. RYAN: That's hard to say. I think it would really boil down to
6 how many workers would be involved, you know, what the size of the workforce
7 is.

8 COMMISSIONER SVINICKI: So you can just spread that dose
9 around --

10 DR. RYAN: How many plants, you know a particular group would
11 go to? Would it be one company with 50 people or 50 companies with 1,000
12 people? It's hard to say. So the collective dose is one fact, but then how that
13 would be distributed in a workforce it would just be hard to say. So I'd need a
14 little bit more kind of insight as to what the work plans are and the number of
15 folks involved in an individual work plans to come up with an answer to your
16 question.

17 COMMISSIONER SVINICKI: Okay, thank you. John, did you want
18 to add something?

19 MR. STETKAR: Yeah, I would add something that you need to
20 look very carefully at the skill sets that are required. I mean, the skill set that's
21 required to remove insulation isn't necessarily a very technically focused skill set
22 as compared to someone performing a particular operation or maintenance
23 activity that requires a very, very specialized skill set where there would be a
24 more likelihood of invoking special considerations. So I think I would tend to
25 agree with Mike in my experience that those types of activities -- the cumulative

1 dose across the whole workforce would certainly be elevated; however, making
2 special considerations for individual workers most likely would not.

3 DR. RYAN: Just as a guess I would say that planned special
4 exposures would probably not be something invoked in that particular work
5 activity. It's usually where a specialized function and specialized skill set that
6 even comes into question.

7 COMMISSIONER SVINICKI: Okay, thank you. And the last
8 question I had was more mundane. I had to beg the indulgence of my good
9 colleagues on this side of the table to give me an extension on voting on the
10 ICRP matter for some months, because the staff's paper became very out of
11 sequence with the ACRS's consideration of the paper and I appreciate that my
12 colleagues supported me in that so that I could have the ACRS views in hand
13 when I voted, which was something that was just personally important to me.
14 Are you satisfied with the amount of coordination between your Committee, your
15 subcommittees, and the NRC staff? Is there a good opportunity to get in
16 alignment in terms of schedules so that the Commission does not have a paper
17 in hand well in advance of the Committee's consideration?

18 DR. ARMIJO: In this particular case, we had to schedule two
19 subcommittee meetings, and we'd only planned for one because the nature of
20 the documents we were reviewing. The issue didn't close after one
21 subcommittee meeting. We had to require another one, then who knows what
22 other things interfered, but basically it was going the normal progression, which
23 normally works. Fukushima's been very difficult, because times are compressed.
24 Schedules are tight. And, but -- by and large we're -- I'm satisfied as Chairman
25 that we're getting things done in reasonable order. This particular one took much

1 more work than everybody anticipated.

2 COMMISSIONER SVINICKI: And I was simply using that as an
3 example. I wasn't trying to be critical of either the staff or the ACRS and I know
4 that with the increased pace of activities you've added additional meetings, and I
5 know your subcommittees are more active than ever, so I appreciate your
6 balancing all of that workload. As you project into '13 and '14, do you think that
7 you can sustain at this pace or is it getting to be some membership, you know,
8 meeting thresholds for the amount of time they can put into this?

9 DR. ARMIJO: Just looking right now, the workload in front of us
10 actually would be somewhat lighter, but you know, there can be peaks in a
11 particular issue where we're going to have to do some juggling, but right now it's
12 a little bit lighter. Some things are slowing down. The reviews of some of the --
13 on the table may just be deferred indefinitely in the particular plants.

14 COMMISSIONER SVINICKI: Okay.

15 MR. STETKAR: We've already seen plant license renewals and
16 power upgrades being pushed out because of the waste confidence issue, for
17 example. That frees up a little bit of our time -- in time for the staff to shuffle
18 things. So that's one area where we've already seen a measurable drop off.
19 There have been some extensions in the new plant licensing also. I think there's
20 a partial fallout from that.

21 COMMISSIONER SVINICKI: Okay, well thank you for juggling all
22 that. Thank you.

23 CHAIRMAN MACFARLANE: Okay. All right. Well, I think we have
24 come to the end of our allotted time. I really appreciate all your comments and I
25 appreciate the questions and the lively back and forth. It was a very fruitful

1 meeting and it is now adjourned.

2 [whereupon, the proceedings were concluded]

3